

TABLE OF CONTENTS

Table of Contents.....	1
<u>Table of Motions.....</u>	<u>3</u>
<u>Call to Order.....</u>	<u>4</u>
<u>Adoption of Agenda.....</u>	<u>6</u>
<u>Consideration of the 166<sup>th</sup> Meeting Verbatim Transcription and 167<sup>th</sup> Webinar Meeting .....</u>	<u>7</u>
<u>Executive Director's Report.....</u>	<u>8</u>
<u>SSC Report.....</u>	<u>10</u>
<u>SEDAR 57 Presentation.....</u>	<u>16</u>
<u>Proposed Harvest Control Rules for the U.S. Caribbean.....</u>	<u>37</u>
<u>Review of the Pertinent State and Federal Management Regulations in the USVI.....</u>	<u>68</u>
<u>Endangered Species Act Listing Determination Status.....</u>	<u>89</u>
<u>New Fishers Association St. Thomas/St. John.....</u>	<u>93</u>
<u>Public Comment Period.....</u>	<u>101</u>
<u>Administrative Matters.....</u>	<u>103</u>
<u>Highly Migratory Species Update.....</u>	<u>107</u>
<u>Discussion of Technical Advisory Panel.....</u>	<u>135</u>
<u>Red Hind Studies.....</u>	<u>138</u>
<u>Oceanographic Connectivity Studies USVI/PR.....</u>	<u>147</u>
<u>Outreach and Education Advisory Panel Update.....</u>	<u>159</u>
<u>Portrait of Puerto Rico's Commercial Fisheries Two Years After the Impact of Hurricane Maria.....</u>	<u>170</u>
<u>SEAMAP-C PR Update with the Use of Underwater Video Images for Fish Counts and Habitat Description.....</u>	<u>173</u>

1	<u>Histological Validation of Visual Sex Determination for Reef Fish</u>	
2	<u>Species.....</u>	<u>178</u>
3		
4	<u>Ciguatera Studies Report.....</u>	<u>181</u>
5		
6	<u>Department of State Comments.....</u>	<u>192</u>
7		
8	<u>Enforcement Issues.....</u>	<u>194</u>
9	<u>Puerto Rico DNER.....</u>	<u>194</u>
10	<u>USVI DPNR.....</u>	<u>195</u>
11	<u>U.S. Coast Guard.....</u>	<u>197</u>
12	<u>NMFS/NOAA.....</u>	<u>198</u>
13		
14	<u>MREP Meeting.....</u>	<u>200</u>
15		
16	<u>Next Meeting.....</u>	<u>203</u>
17		
18	<u>Adjournment.....</u>	<u>206</u>
19		
20		
21		

- - -

TABLE OF MOTIONS

PAGE 106: Motion to appoint Sennai Habtes, Alida Ortiz, and Bill Arnold to the Ecosystem-Based Management Technical Advisory Panel. The motion carried on page 107.

- - -

**CARIBBEAN FISHERY MANAGEMENT COUNCIL**  
**168<sup>TH</sup> REGULAR COUNCIL MEETING**  
**Hilton Ponce Golf and Casino Resort**  
**Ponce, Puerto Rico**

DECEMBER 10-11, 2019

The Caribbean Fishery Management Council convened at the Hilton Ponce Golf and Casino Resort, Ponce, Puerto Rico, Tuesday morning, December 10, 2019, and was called to order at 9:00 o'clock a.m. by Chairman Marcos Hanke.

**CALL TO ORDER**

**MARCOS HANKE:** Good morning, everyone. We're going to start the meeting. We are still working on Go to Meeting, some technical problems. During the day, or as soon as possible, we're going to address that problem, and we'll keep you posted.

Good morning, everyone. Today is December 10, and it's 9:10 a.m., and we are in Ponce, Puerto Rico. Welcome, everyone. This meeting is the 168<sup>th</sup> Caribbean Council Meeting, and let's start with a roll call, please. Natalia.

**NATALIA PERDOMO:** Natalia Perdomo, council staff.

**GRACIELA GARCIA-MOLINER:** Graciela Garcia-Moliner, council staff.

**BILL ARNOLD:** Bill Arnold, NOAA Fisheries.

**CARLOS FARCHETTE:** Carlos Farchette, council member, St. Croix District.

**JEAN-PIERRE ORIOLE:** Jean-Pierre Oriol, Commissioner, Department of Planning and Natural Resources for the U.S. Virgin Islands.

**DAMARIS DELGADO:** Good morning. Damaris Delgado, Puerto Rico DNER.

**TONY BLANCHARD:** Tony Blanchard, St. Thomas/St. John, council.

**MARCOS HANKE:** Marcos Hanke, Chairman, Caribbean Council.

**MIGUEL ROLON:** Miguel Rolon, council staff.

**ROY CRABTREE:** Roy Crabtree, NOAA Fisheries.

**JOCELYN D'AMBROSIO:** Jocelyn D'Ambrosio, NOAA Office of General Counsel.

1  
2 **SHANNON CALAY:** Shannon Calay, Southeast Fisheries Science Center.  
3  
4 **VANESSA RAMIREZ:** Vanessa Ramirez, council member and commercial  
5 fisherman.  
6  
7 **JEREMY MONTES:** Jeremy Montes, U.S. Coast Guard.  
8  
9 **DEIDRE WARNER-KRAMER:** Deidre Warner-Kramer, Department of State.  
10  
11 **LOREN REMSBERG:** Loren Remsberg, NOAA Office of General Counsel.  
12  
13 **KEVIN MCCARTHY:** Kevin McCarthy, Southeast Fisheries Science  
14 Center.  
15  
16 **HOWARD FORBES:** Howard Forbes, DPNR Enforcement.  
17  
18 **MANNY ANTONARAS:** Manny Antonaras, NOAA Office of Law Enforcement.  
19  
20 **MIGUEL BORGES:** Miguel Borges, Office of Law Enforcement, NOAA.  
21  
22 **MARIA LOPEZ:** Maria Lopez, NOAA Fisheries.  
23  
24 **JACK MCGOVERN:** Jack McGovern, NOAA Fisheries.  
25  
26 **DIANA MARTINO:** Diana Martino, council staff.  
27  
28 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC Chair.  
29  
30 **JULIAN MAGRAS:** Julian Magras, DAP Chair, St. Thomas/St. John.  
31  
32 **WILLIAM TOBIAS:** William Tobias, Vice Chair, DAP, St. Croix.  
33  
34 **NELSON CRESPO:** Nelson Crespo, DAP Chair, Puerto Rico.  
35  
36 **ALIDA ORTIZ:** Alida Ortiz, Outreach and Education Advisory Panel.  
37  
38 **MARIA DE LOS IRIZARRY:** María de los Irizarry, council staff.  
39  
40 **TONY IAROCCI:** Tony Iarocci, commercial fisherman.  
41  
42 **SAM CHEN:** Sam Chen, NOAA Fisheries.  
43  
44 **MADISON HARRIS:** Madi Harris, NOAA Fisheries International  
45 Affairs.  
46  
47 **RUTH GOMEZ:** Ruth Gomez, St. Thomas/St. John Fishermen's  
48 Association.

1  
2 **ORIAN TZADIK:** Orian Tzadik, The Pew Charitable Trusts.

3  
4 **YASMIN VELEZ:** Yasmin Velez, scientist, the Pew Charitable Trusts.  
5 I am introducing you to our new manager in the U.S. Caribbean  
6 region, and I will let him say his name.

7  
8 **DAVID ORTIZ:** David Ortiz, new manager of Pew Caribbean.

9  
10 **LAUREN O'BRIEN:** Lauren O'Brien, Gulf of Maine Research Institute.

11  
12 **SEAN MEEHAN:** Sean Meehan, Recreational Fishing Coordinator, NOAA  
13 Fisheries.

14  
15 **WILSON SANTIAGO:** Wilson Santiago, Puerto Rico DNER.

16  
17 **ADOPTION OF AGENDA**

18  
19 **MARCOS HANKE:** Thank you. The next item on the agenda is Adoption  
20 of the Agenda. Graciela.

21  
22 **GRACIELA GARCIA-MOLINER:** You have a couple of changes. One is  
23 you will have the SSC report, and it will include, within that  
24 same section of the agenda, a SEDAR 57 spiny lobster presentation  
25 by Shannon Calay from the Southeast Fisheries Science Center.  
26 After that, we'll have a discussion on the ABC control rule.

27  
28 In addition to that, tomorrow, there is a change in -- The queen  
29 triggerfish biological studies will not be presented. We talked  
30 to Jesus, and he will be presenting after he has conducted all of  
31 the research, and so he'll be back with us sometime in 2020. The  
32 oceanographic connectivity studies in the USVI and Puerto Rico,  
33 it's not Jorge Capella. It's Miguel Canals who will be presenting,  
34 and the ciguatera studies report will be presented by Miguel del  
35 Pozo, who is actually conducting ciguatera research in the area.  
36 I saw some slides, because there is a new listing, or new threat  
37 of listing, queen conch under the ESA, and so I don't know if you  
38 want to include that in the agenda as of right now.

39  
40 **JOCELYN D'AMBROSIO:** Sure. We can give a little bit of an update  
41 on the status of the queen conch listing, which we've been talking  
42 about at past meetings, the determination that was challenged, and  
43 the court has issued a decision, and so we have a little bit of an  
44 update.

45  
46 **GRACIELA GARCIA-MOLINER:** That needs to be added to the agenda.

47  
48 **MIGUEL ROLON:** That will be right after lunch.

1  
2 **MARCOS HANKE:** Noted. Thank you. Anything else, Graciela?

3  
4 **GRACIELA GARCIA-MOLINER:** Not that I have in my notes, except if  
5 we have anything new for the ED report that I don't have in my  
6 notes.

7  
8 **MARCOS HANKE:** We need a motion to adopt the agenda.

9  
10 **MIGUEL ROLON:** Just to clarify that Damaris Delgado is here in her  
11 capacity as the representative of the Department of Natural and  
12 Environmental Resources in Puerto Rico, but there is a  
13 technicality. She has been appointed less than forty-eight hours,  
14 and so she will participate in all the discussion, but she cannot  
15 vote.

16  
17 **CARLOS FARCHETTE:** Motion to accept the agenda as amended.

18  
19 **DAMARIS DELGADO:** I just wanted to clarify that there have been  
20 some organizational changes within DNER, and there is going to be  
21 a new bureau, the Bureau of Fisheries, and so it's not going to be  
22 the usual Fish and Wildlife Bureau, and I am directing, right now,  
23 that new Bureau of Fisheries, and so I am waiting, pending the  
24 confirmation of that designation, but I have been assigned the  
25 role of leading that new bureau within DNER.

26  
27 **MARCOS HANKE:** Thank you, Damaris.

28  
29 **CARLOS FARCHETTE:** Motion to accept the agenda as amended.

30  
31 **TONY BLANCHARD:** Second.

32  
33 **CONSIDERATION OF 166<sup>TH</sup> COUNCIL MEETING VERBATIM TRANSCRIPTIONS**  
34 **AND 167<sup>TH</sup> WEBINAR MEETING**  
35

36 **MARCOS HANKE:** All in favor. No objections? Thank you very much  
37 to everybody. The next item on the Agenda is Consideration of the  
38 166<sup>th</sup> Council Meeting Verbatim Transcription. Any comment?

39  
40 **CARLOS FARCHETTE:** I have a comment. The webinar didn't work out  
41 very good, when it came to our audio, and so I think we need to  
42 consider some improvement to that somehow in the future.

43  
44 **MIGUEL ROLON:** Funny that you mention it, because we just hired a  
45 new guy who is working on it. What happened was we were in a  
46 transition, and the provider wasn't working that well with us, and  
47 so hopefully we will avoid webinars, but, if we have one, it will  
48 work.

1  
2 **MARCOS HANKE:** We took note of that. Thank you, Carlos. Do we  
3 have a motion to adopt?  
4

5 **CARLOS FARCHETTE:** Motion to adopt the verbatim transcription of  
6 the 166<sup>th</sup> Council Meeting and the 167<sup>th</sup> webinar meeting.  
7

8 **TONY BLANCHARD:** Second.  
9

10 **MARCOS HANKE:** All in favor. Any comment or objection? Thank you  
11 very much to all. Now the Executive Director's Report.  
12

### 13 **EXECUTIVE DIRECTOR'S REPORT**

14

15 **MIGUEL ROLON:** We just wanted to start by welcoming Deidre from  
16 the Department of State. The Department of State is a member of  
17 each council, and I am glad that she was able to attend two meetings  
18 in a row. We were talking, and the last time she was in this hotel  
19 was when we discussed -- a long time ago, and so, whenever you  
20 want to say something, please do so.  
21

22 At this time, my report is kind of a boring part of the meeting,  
23 but let me tell you that the budget for 2020 is -- We received  
24 funding, and we have to be careful with it, because we only  
25 received a partial amount, and there is no guarantee that we are  
26 going to receive the full amount, and that's a technical thing  
27 that we have to say in every meeting, but, according to Chris  
28 Oliver, there is no foreseeable problems to receive the budget as  
29 approved for all the eight councils.  
30

31 Actually, Tony and Marcos and I were at the meeting of the CCC,  
32 and they told us that, in addition to the base funding, all  
33 councils may receive additional funding for items that in the past  
34 used to be called soft money, but, in this case, what they are  
35 going to do is to add to the basic funding, to the base funding,  
36 some additional monies, at the discretion of the head of the  
37 National Marine Fisheries Service, in this case Mr. Chris Oliver.  
38 Then, Mr. Chairman, I would like to call to the front Bill Arnold.  
39 Bill, sorry, but --  
40

41 **CARLOS FARCHETTE:** Marcos, while Bill is going up there, do we  
42 have a jump drive for this meeting?  
43

44 **MIGUEL ROLON:** We wanted to say something nice about this  
45 gentleman, but we all know him, and Bill is retiring on the 17<sup>th</sup>  
46 of January of 2020, a happy fellow, and he might be working with  
47 us in different capacities, but, at this time, we wanted to  
48 recognize Bill and his interest and his academic experience.



1 People tend to forget that he's got a PhD, and he had publications  
2 before he came to work with us, and, not only does he understand  
3 the science and can translate the science to layman's terms, but  
4 he understands the people, and he has been instrumental in working  
5 with the fishers of the U.S. Virgin Islands and Puerto Rico.

6  
7 We are grateful for all of his work. He's one of the most organized  
8 persons I have ever met. I mean, he can tell you all this put  
9 thing and put it on a scale. He has been supported with a good  
10 staff, and Maria is here, which is probably the one who is going  
11 to be sitting from now on at the meeting, but, at this time, we  
12 wanted to thank you and recognize all your work, and we're going  
13 to give you something.

14  
15 We cannot give you a reef, but we copied this from Superman movies,  
16 and so we have a reef in a bottle, and we can give it to you right  
17 now. While I look for it, Marcos will say something nice.

18  
19 **MARCOS HANKE:** My words is more on the lines that, coming from the  
20 industry, I can testify and assure you that there is just a few  
21 people, and Bill is one very special person, that makes the bridge  
22 and makes the scientific connection and really got into the heart  
23 of the fishermen, helping them to be precise on the things that  
24 they say at the council and make this meeting much more productive.  
25 We really appreciate everything, Bill. Thank you very much.  
26 *(Applause)*

27  
28 **MIGUEL ROLON:** Bill, this is the reef in a bottle.

29  
30 **BILL ARNOLD:** This is what they're supposed to look like?

31  
32 **MIGUEL ROLON:** Yes. You don't need a management measure for that.  
33 You just keep it in the bottle. Anyway, thank you, Bill, and we  
34 wish you the best in your endeavors, but we would like to see your  
35 face once in a while, working with the council in different  
36 capacities, as I said, especially with the ecosystem-based  
37 management. You have a lot to contribute in the future, and, if  
38 you don't get tired of us, we would like to have you around. Do  
39 you want to say something?

40  
41 **BILL ARNOLD:** I want to say that I'm going to miss you guys. I  
42 really am. The best part of this whole thing has been the people,  
43 and I truly mean that from the bottom of my heart. It's been a  
44 privilege and an honor to be able to work with you guys, and it's  
45 been a great learning experience and a fantastic challenge. Yes,  
46 you're challenging, and so thank you, all. *(Applause)*

47  
48 **JULIAN MAGRAS:** Bill, on behalf of the fishermen of the U.S. Virgin

1 Islands, I would like to say a special thank you for all the  
2 dedication that you have given to us. You taught us a lot, and we  
3 have come a long, long way in the whole council process, and we  
4 are looking forward -- Even though you're retiring, we're looking  
5 forward to doing a lot of work with you and you to continue teaching  
6 us and guiding us in the right direction.

7  
8 I know that sometimes we butt heads, but, at the end of the day,  
9 we come up with something that can work for both the environment  
10 and for the fishers, and so thank you very much for all of your  
11 dedication that you have given the fishers over the years.  
12 (Applause)

13  
14 **MIGUEL ROLON:** That's it for me.

15  
16 **MARCOS HANKE:** Thank you very much, Miguel, and let's keep going  
17 on. Bill instructed me to be very effective on this meeting, and  
18 I will do so. I will try to keep the schedule, and I want to say  
19 something that is very important for this meeting. That is that  
20 we have to be very precise and very effective on the participation,  
21 because the agenda is very loaded, and I look forward to your  
22 cooperation, and we need to keep the timing sharp and moving  
23 forward. Thank you to all for your cooperation on that part. Now  
24 we are going to go to Miguel again.

25  
26 **MIGUEL ROLON:** Just that there's a cable here, if somebody is  
27 missing a cable, and it's going to be sitting here. If you  
28 recognize it from a distance, it's yours.

29  
30 **MARCOS HANKE:** The next item on the agenda is the SSC Report.  
31 Richard.

### 32 33 **SSC REPORT**

34  
35 **RICHARD APPELDOORN:** Thank you. I would add my own note that Bill  
36 has been as effective at driving the SSC as he has been at driving  
37 the council, and we're all going to miss his participation there  
38 as well. Thank you.

39  
40 This is going to be something that I think you're all going to  
41 look forward to, because it's going to be short. We were looking  
42 at two things in this three-day meeting. One was the continuation  
43 of the development of the conceptual ecosystem model, and the other  
44 was to hear a presentation and make recommendations on the SEDAR  
45 57 that was recently concluded, and that's the one on spiny  
46 lobster.

47  
48 Looking at the conceptual model issues first, this is where we

1 left you at the last meeting. We had a mess of lines going through  
2 all kinds of boxes, and we spent most of the meeting somewhat  
3 cleaning up some of those lines and then replacing them with a lot  
4 more, and so it now kind of looks like this. It's a work in  
5 progress, and so stay tuned, and so let me go to SEDAR 57.

6  
7 We were given a presentation, and you're going to have a  
8 presentation right after this, and so you'll see that what I'm  
9 going to say is really not based on you knowing the details of  
10 SEDAR 57, but, first of all, we support that the stock assessments  
11 for the three islands do provide the best scientific information  
12 available relative to the stock determination criteria of  
13 overfishing status and overfished status.

14  
15 We also accept and recommend the use of the value of fishing  
16 mortality at 30 percent spawning potential ratio as an MSY proxy  
17 for spiny lobster. We also supported the outcome of the SEDAR 57  
18 for all three islands, which said that overfishing is not occurring  
19 relative to the recommended value of F for our proxy and the  
20 populations are not overfished relative to the council's minimum  
21 stock status threshold level of 75 percent of the biomass at MSY.

22  
23 The SSC supports and recommends the use of the assessment to  
24 establish the management reference points using the Tier 3 of the  
25 ABC control rule.

26  
27 Following that then, the SSC recommends that the determination of  
28 the components of Tier 3 be implemented, and this is sigma, and I  
29 will give an example of what I mean here, which is determined by  
30 the SSC, and the P\* value, which is determined by the council, and  
31 I have a slide that shows those two, and there will be a subsequent  
32 presentation on those as well.

33  
34 Importantly, that previous bullet took place at like 5:07 on the  
35 last day of the meeting, and so we did not have time to evaluate  
36 the research recommendations in the SEDAR 57 stock assessments,  
37 and so we're requesting time to be able to address those in a  
38 future meeting.

39  
40 Where are we going next? This is the Tier 3 data-limited  
41 quantitative assessment control rule, and it's used when we have  
42 relatively data-limited or out-of-date assessments. Here, we're  
43 talking about data-limited. We have an MSY proxy, which was that  
44 30 percent spawning potential ratio value, and we have a number of  
45 stock determinant criteria, and the important one is this one,  
46 OFL, which just comes out of the analysis, and that's our basis  
47 for that moving forward to get ABCs and ACLs.

1 The ABC is determined from the OFL, the overfishing limit, as  
2 reduced or buffered by scientific uncertainty and reflecting the  
3 acceptable probability of overfishing, and so scientific  
4 uncertainty is what the SSC provides input on, but the council  
5 determines what is the acceptable probability of overfishing.

6  
7 There is an additional constraint here that talks about the width  
8 of the probability density function, and I will show a picture of  
9 that, and there's a minimum of this indicator of variance, if you  
10 will. It has to be greater than two-times a minimum variance, and  
11 that minimum was actually set in the Tier 1 control rule as 0.5,  
12 and so two-times that would be one.

13  
14 This is kind of what we're talking about. We have a probability  
15 density function here of what OFL should be, and this is made-up  
16 data, and so it's not from the assessment, and it's centered on  
17 100 here, and the width of this distribution is defined by a mean,  
18 and it's defined by a variance, or a coefficient of variation,  
19 which is really, for Tier 3, kind of more of what we're dealing  
20 with.

21  
22 The width of this is determined by this variance, and so this is  
23 the probability density function of predicted overfishing limit,  
24 and so you can see there is uncertainty here as to where this OFL  
25 should be, but we have a point here which is a peak, and so this  
26 would represent the goal of where we should never go beyond, and  
27 that is a 50 percent chance of having overfishing, and so it needs  
28 to be buffered below that, and so, the wider that distribution is,  
29 the more uncertainty there is on where that OFL should actually  
30 set, and, thus, this width represents the scientific uncertainty,  
31 and that's the part that the SSC deals with.

32  
33 The final step is we have a distribution, and this is looking at  
34 the green one now, where here is our 50 percent probability,  
35 including our MSY, and we don't want to go to a point where we're  
36 catching beyond that, and so we want to avoid this level of catch,  
37 and so it needs to be buffered down, to some degree, and this  
38 buffering down --

39  
40 This is what the council's responsibility will be, through the  
41 application of what's called the  $P^*$ , and the  $P^*$  is going to be  
42 related to the level that you're bringing down from 0.5 to some  
43 level down here, and these can be quite extreme, and some of the  
44 councils have adopted values that range from 0.45, in the best  
45 like Tier 1 cases, down to -- Well, Shannon, who will give the  
46 presentation, knows more about this, but 0.25 I have seen, and so  
47 it depends on the risk that the council is willing to accept for  
48 the level of analysis that is available, and so, the greater the

1 degree of uncertainty, you might want to buffer more, but this is  
2 a discussion that you're going to have and make decisions on.  
3 That's not the SSC's role.

4  
5 The last step in this is that you're going to do some kind of  
6 buffering, and so this is the risk of overfishing coming in here,  
7 and that's your buffer, and you would then go from -- The risk of  
8 overfishing is the level of risk that the council is willing to  
9 accept that overfishing will not occur, and that's set by the  
10 council and reflected by this value of  $P^*$ , and so you're getting  
11 your MSY here, and that's buffered either to the blue line, if our  
12 distribution looked like this, or to the green line, down to here,  
13 if our distribution was that, and so that's the process that we're  
14 looking forward to engaging the council on.

15  
16 The SSC still needs to look at how we are setting the width, but  
17 I think the lobster case looks to be fairly straightforward, and  
18 so I did have a note there that that width is going to depend not  
19 only on the outcome of the assessment, but how we feel some of the  
20 assumptions that are incorporated into that -- Do we have to give  
21 extra concern, because some of those assumptions are kind of  
22 tricky, or does everything look fairly straightforward and we can  
23 go with the minimum values or what, and so that's the discussion  
24 the SSC will be having in the future, as we look toward that, but  
25 we're very happy that this assessment really looks like, as I said,  
26 the best scientific available information, and we can go from our  
27 kind of educated guesswork in Tier 4 up to something a little bit  
28 more reliable in Tier 3, and maybe, in the future, even higher,  
29 and so that's my report. Thank you. Any questions?

30  
31 **MARCOS HANKE:** Thank you, Richard. Any questions? Miguel.

32  
33 **MIGUEL ROLON:** Richard, how different -- For example, in the case  
34 of the spiny lobster, how different is this approach from what we  
35 have right now?

36  
37 **RICHARD APPELDOORN:** This is completely different.

38  
39 **MIGUEL ROLON:** In what way?

40  
41 **RICHARD APPELDOORN:** Tier 4 was based on catch only, and the SSC  
42 had to make some kind of reasonable and, in some cases, obtuse  
43 assumptions about what is going on in the fishery and how we can  
44 relate the vulnerability of species relative to their life  
45 histories to what their potential vulnerability would be and to  
46 fishing pressure.

47  
48 We assign different classes in Tier 4 based on those kinds of

1 vulnerabilities, and we had to come up with some kind of level  
2 from which we call -- I actually forget what it was called, the  
3 sustainable yield level or something like that, because we didn't  
4 have any idea of where an MSY really should be, or OFL, and we're  
5 basically going on this is what has happened in the past, and,  
6 based on that, we think we can do this, and how do we generate  
7 these numbers across all the species in some kind of organized  
8 way, and so we developed the rules to do that, based on means, if  
9 we thought there might be a problem, or medians, if we thought  
10 there might not be a problem, and then we're buffering up by some  
11 -- Not buffering up, but going up to set the sustainable yield  
12 level based on a criteria that is scientific educated guessing,  
13 based on our understanding of the species and our understanding of  
14 the performance of the fisheries over the long term.

15  
16 Now we actually have a quantitative assessment that is giving us  
17 a prediction with a degree of variance around that, and so, not  
18 only do we have a target, but we know what the variability around  
19 that is as well, and so it's just completely different. It's  
20 really a quantitative assessment versus expert opinion by the SSC.  
21 Bill.

22  
23 **BILL ARNOLD:** You may have said this, Richard, and I apologize if  
24 I missed it, but the X-axis, the hundred-and-some-odd-thousand  
25 pounds, that's just an example, right?

26  
27 **RICHARD APPELDOORN:** That is totally artificial numbers, yes.  
28 Julian.

29  
30 **JULIAN MAGRAS:** I must say that I was involved in the SEDAR 57  
31 process, and it was a great experience, from being in the process  
32 from the beginning to the very end, to the final assessment, and  
33 I felt that the scientists, the Southeast Fisheries Science Center,  
34 and all the different scientists, not only that sits on the SSC  
35 for the Caribbean Fishery Management Council, but the other  
36 scientists in the final assessment, they really had a lot of  
37 questions for the fishers, from the three different islands, and,  
38 with us being present, we were able to accomplish and take away a  
39 lot of the uncertainty factors, and we were able to bring it into  
40 a more tight fit.

41  
42 It was great working with Richard and his team and the different  
43 scientists at the Southeast Fisheries Science Center and all the  
44 NOAA people, and this was a great experience, and I look forward  
45 to us doing more, so that we can close the gaps and get some other  
46 assessments done for different species, and so great job. Thank  
47 you.

1 **RICHARD APPELDOORN:** I would like to add that there's some kind of  
2 follow-ups to this. As I mentioned, one, the SSC is going to look  
3 at this, and we have to look at the assumptions behind the  
4 analysis, and so, if they affect some of the uncertainty that may  
5 not be reflected in the numbers that come out, we need to take  
6 that into account, and so one of the follow-ups to this was that  
7 there was a real question about selectivity, and, in particular,  
8 our larger lobsters not being taken, either because they can't get  
9 into the traps, or the market doesn't like them, or they're too  
10 deep, for whatever reasons.

11  
12 One of the things that has already happened is that the studies to  
13 answer that question are already being initiated, and so, when the  
14 SSC gets together to start working on these things, hopefully those  
15 parts of uncertainty will already be answered.

16  
17 Another thing that came out of this is that the SEAMAP program,  
18 and I think we're hearing a presentation on SEAMAP tomorrow, but  
19 the SEAMAP program is looking at lobster, and one of the issues  
20 there was age structures and growth, and so SEAMAP, which is due  
21 to start their latest cycle of lobster investigations, is going to  
22 try to look at those things, and so, again, because we have this  
23 quantitative assessment, we can actually target what do we need to  
24 make this better, and, because of that, the places where those  
25 assessments can be done to make these things better are picking up  
26 on these things already, even though the SSC hasn't made any  
27 recommendations on those research priorities itself, and other  
28 entities have already picked up on this, and so it's a really good  
29 trigger for improving what we have already, because we can more  
30 isolate that this is the thing we need to make it better or that  
31 thing will make it better.

32  
33 **MARCOS HANKE:** Miguel.

34  
35 **MIGUEL ROLON:** Today, and you will hear a presentation later on,  
36 but what we need to do as a council is for you to understand your  
37 responsibility next year.  $P^*$  is a number that will give you a  
38 range of alternatives that you can do, statistically speaking, and  
39 we need to understand what  $P^*$  means, so that, when we get to the  
40 point that you are going to select the risk percentage that you  
41 want, you will be able to do so with knowledge of the underlying  
42 numbers and concepts.

43  
44 The island-based FMP has been submitted, and Graciela was  
45 mentioning that to me, and so the island-based FMPs are being  
46 submitted as requested by the council, and the council had a motion  
47 in the spring to submit the island-based FMPs, and remember there  
48 are three of them, to review by the Southeast Fisheries Science

1 Center and the Regional Office, and you also gave a license to the  
2 staff to work the little items that needed to be arranged and also  
3 to incorporate whatever was needed, according to the law.

4  
5 Already it has been done, and the Chair submitted the island-based  
6 FMPs to the review process, and so, in 2020, those three management  
7 plans should be given the nay or yea by the Secretary. Let's say  
8 that they approve the island-based FMPs, and so immediately we  
9 will have to start working on these items.

10  
11 In the case of the P\*, usually when I ask a fisherman what range  
12 you want, he says as much as I can get, and so, according to the  
13 law, you can get as much as you can, provided that you have a  
14 buffer that will eliminate the possibility of going to overfishing,  
15 and so what Richard is presenting today gives you the range in  
16 that example, gives you the range of possibilities, and where you  
17 should be.

18  
19 Remember that you can say, okay, we're going to fish at MSY, but,  
20 if you go a little bit off MSY, the fishery is shut down, and it's  
21 closed for whatever time is needed, and so it's important for all  
22 the council members, if you have a question, especially after  
23 Shannon's presentation, to move the discussion, so you don't leave  
24 the meeting without any questions being answered. The same with  
25 the Chairs of the DAPs or anybody in the public. Richard, is that  
26 it for you at this time, or do you need more? Okay.

27  
28 **MARCOS HANKE:** Thank you very much, Richard. Let's follow-up with  
29 Shannon's presentation, please.

#### 30 31 **SEDAR 57 SPINY LOBSTER PRESENTATION**

32  
33 **SHANNON CALAY:** Thank you very much, and it's a pleasure to follow  
34 the excellent presentation of Rich. I think that you'll see that  
35 a number of the things that he introduced are also contained in my  
36 presentation, and we can either go quickly through them or we can  
37 have a more in-depth discussion.

38  
39 I am going to start by briefly presenting the spiny lobster  
40 assessment, SEDAR 57, and there were actually three stock  
41 assessments conducted, one for each island platform, and so there  
42 is an assessment for St. Thomas, St. Croix, and for Puerto Rico.

43  
44 Stock assessments essentially use models to determine whether  
45 fishing yield is sustainable and to determine the stock size and  
46 whether it is above or below the level that can produce maximum  
47 sustainable yield. They also are used to quantify the uncertainty  
48 of the status of the stock estimates and to provide management



1 advice, including annual catch limits and maximum sustainable  
2 yield, and so they are essentially used to provide management  
3 advice to optimize resource utilization, and the figure on the  
4 right-hand side just shows you essentially a schematic of the stock  
5 assessment process.

6  
7 The important thing to mention here is that this was conducted  
8 through the SEDAR process, and it was reviewed by a panel of  
9 experts and by the SSC in October, and it will be finalized by the  
10 SSC at a later date. All of the documents for the SEDAR are  
11 available, and I will give you links to a few of them at the end  
12 of this presentation, but all of the documentation is available on  
13 the SEDAR website.

14  
15 This is a summary of the various management measures that are in  
16 place for spiny lobster, and so they include annual catch limits  
17 by the island-based fishery management areas that were determined  
18 through this catch-only Tier 4 process. There are also management  
19 measures on the minimum size limit, currently 3.5 inches, or 8.9  
20 centimeters, carapace length.

21  
22 There are bag limits for recreational harvest in federal waters,  
23 and there are a number of gear restrictions on spiny lobster.  
24 There is a prohibition against taking egg-bearing female lobsters  
25 aboard a vessel, and spiny lobsters must be landed whole when they  
26 reach the port, and there are also similar restrictions on  
27 importing of spiny lobster.

28  
29 This table shows you the current annual catch limits that were  
30 effective in 2012 for spiny lobster on the three island platforms  
31 and also for spiny lobster -- I think these are the 2012 catch  
32 limits here, and the point I want to make here is how important  
33 spiny lobster is in the U.S. Caribbean across the three island  
34 platforms. It has the highest annual catch limit of any species.

35  
36 This is a brief history of the stock assessments that have been  
37 conducted on spiny lobster in the past, and the important thing to  
38 note here is that none of these processes, although they did  
39 produce management advice, none of these stock assessments, to  
40 date, could provide quantitative catch advice, such as an annual  
41 catch limit or an overfishing limit, as required by Magnuson, and  
42 so they were not very effective tools for management of the stock  
43 under the Magnuson law.

44  
45 I also wanted to point out, on this slide, that many of these  
46 approaches had very rigid assumptions about the selectivity or  
47 about various biological processes that took place. The Stock  
48 Synthesis tool that was used for SEDAR 57 has far more flexibility.

1 It allows us to estimate some of the biological behaviors, or the  
2 fishery behaviors, that formerly required strong assumptions, and,  
3 when these parameters were fixed in the stock assessment model, it  
4 gave us an integrated platform to look at the sensitivity of those  
5 assumptions to different values, say in the literature, and so  
6 Stock Synthesis is a very powerful platform to test your  
7 assumptions about the biology of an animal and about the fishery.

8  
9 We used Stock Synthesis Version 3.3, and so Stock Synthesis is an  
10 integrated catch-at-age model, and what does that mean? That  
11 basically means that we can provide all of the biological data and  
12 assumptions by age class or by cohort, and so, for example, natural  
13 mortality, maturity, these are all processes that are age-related,  
14 and so the catch is also presumed to be catch-at-age in an  
15 integrated modeling approach. You don't require catch-at-age  
16 information, but, intrinsically, the model will keep track of the  
17 animals by year and by age class, and that's what it means.

18  
19 The model simulates the stock dynamics of the fishery, and so the  
20 mortality processes, maturity, growth, and the dynamics of the  
21 fishery, including the fishing effort, the catch, and the  
22 selectivity.

23  
24 It is flexible in its ability to use the diversity of data,  
25 including information on age, size, and aggregate data from the  
26 surveys and fisheries, and so, in this particular case, we're using  
27 a very data-limited version of Stock Synthesis, which pretty much  
28 only contains information about the biology of the animal, the  
29 catch, and the length frequency of the catch from the TIP program,  
30 but, as additional sources of information become available, for  
31 example indices of abundance, they can also be added to this Stock  
32 Synthesis model to improve the model.

33  
34 This is rather detailed, but how does it work, essentially? We  
35 have a variety of different data sources, such as catch and the  
36 length composition data, and they give us various pieces of  
37 information about the true state of the fishery and the stock, and  
38 so Stock Synthesis essentially works in the same way that a linear  
39 regression works. It fits to all the various pieces of data that  
40 we have to allow us to create, essentially, the fisheries dynamics  
41 that produced that data.

42  
43 We want to have a good match between the data that we observed and  
44 the estimates, the data estimates, that come out of Stock  
45 Synthesis, and so, essentially, it uses a tuning process to fit to  
46 the observations, the same way you might fit a least squares  
47 regression, only integrated across all the data sources.

1 We want to choose -- We get to choose in the model which values we  
2 want to model, and we solve for the estimated parameters, and we  
3 also get to choose which values we fix, or assume, in the model,  
4 and I will get more into that later, but Stock Synthesis does  
5 require us to fix some parameters, but we can explore across ranges  
6 of plausible uncertainty.

7  
8 How did we do this? We essentially started from the lowest  
9 complexity, and we built up, and, as we built up, we tested how  
10 robust the model was, and we essentially developed a plan for --  
11 When we needed to, we borrowed information from another data source  
12 and fixed that in the model, or we reduced the complexity, and so,  
13 if we hit a point where the desired complexity could not be  
14 supported by the data that we had, we either borrowed data from  
15 other regions or we reduced the complexity, to avoid the problem.

16  
17 There is a summary of all these modeling steps provided in the  
18 stock assessment report and addenda, which are up on the SEDAR  
19 website.

20  
21 Now what data did we actually use across the three island  
22 platforms? We essentially used the annual removals, or catch, by  
23 gear, the landings, and we used the length composition data by  
24 gear. We had to fix a number of parameters, and I will discuss  
25 what we used to fix them, including the growth, natural mortality,  
26 maturity, steepness, which is a measure of how resilient a stock  
27 is, the reproductive capacity of a stock, and steepness -- 0.95  
28 indicates that a stock is very productive, and so quite resilient  
29 to fishing.

30  
31 We assumed a 50/50 sex ratio, and we used time blocks to represent  
32 changes in retention, due to a size limit, and so those are size-  
33 specific changes, and, essentially, when you impose a size limit,  
34 fishermen can retain animals above the size limit, but they must  
35 discard below, and so the model keeps track of those changes in  
36 fishing behavior.

37  
38 We did estimate parameters, including the unfished level of  
39 recruitment, and so that is the recruitment that occurred when the  
40 stock was at unfished condition, and we estimated parameters about  
41 the selectivity functions and retention, which I will talk about  
42 in a little bit more detail in subsequent slides.

43  
44 These are the data that were available to us for this modeling  
45 process, and so, on the top set of panels across the three island  
46 platforms, you can see the annual removals or catch. In St.  
47 Thomas, the annual catches are dominated by the pot and trap  
48 fisheries, which you can see in blue that the total is actually

1 the black line, and pots and traps is the blue line, and the orange  
2 component is diving gear.

3  
4 In St. Croix, again, you see -- Well, in this case, diving is the  
5 main source of removals, and diving is blue in that panel, just to  
6 make things super confusing, and orange shows you the pots and  
7 traps, and, in Puerto Rico, you actually have a combination of the  
8 gears, where you can see that diving gear now is in blue, and the  
9 pots and traps are in orange, and so kind of a similar magnitude  
10 across the time series of those different gear types.

11  
12 On the bottom panels, it shows you the length composition data  
13 that we had, and it shows you also that the main source of removals  
14 is also where we get the majority of the length composition data,  
15 which makes sense.

16  
17 We did fix several parameters, which is not unusual in stock  
18 assessments. Even data-rich stock assessments often fits these  
19 sorts of biological parameters, and this is the von Bertalanffy  
20 length function, as described by the document Leon et al. 1995.  
21 This shows you a sex-specific growth pattern, where males are  
22 actually larger at their maximum age.

23  
24 They are about 184 millimeters carapace length at maximum age, and  
25 females are smaller, and so that shows you, on the right-hand side,  
26 the blue line is the male growth pattern, and the orange is the  
27 females, and, on the left-hand side, you just had the length  
28 composition data aggregated across all islands and all gears, and,  
29 again, you can see here that the males are larger than the females.

30  
31 We also fixed natural mortality at an estimate from a document  
32 from Cruz et al. 1981, and the point estimate was 0.34 per year,  
33 and this is within a range of values, as specified by the FAO  
34 document in 2001, and their range was 0.3 to 0.4, and it's also  
35 similar to previous stock assessments conducted in the region.

36  
37 Release mortality is how many of the animals die after they are  
38 discarded, and we assumed that release mortality was negligible  
39 for spiny lobster, and so most of the animals that are discarded  
40 by the fisheries do survive.

41  
42 Diving was considered to be highly selective, meaning that the  
43 fishermen were able to select animals of the length that they  
44 preferred from what was available to them, and we assumed that  
45 there was limited handling time associated with trap fisheries and  
46 that post-release predation, how many animals were actually killed  
47 by predators after they were discarded by the fisheries, we assumed  
48 that mortality was unknown, and therefore negligible in the stock

1 assessment.

2  
3 There is a fecundity at length process involved here, and so, as  
4 animals grow, they produce more eggs, and that relationship is  
5 described by FAO 2001 and also used in the SEDAR 8 assessment of  
6 spiny lobster, and, finally, we have a relationship here with  
7 maturity at length, which is from a publication by Die in 2005,  
8 and this publication shows that the length at 50 percent maturity  
9 is ninety-two millimeters, which is very close to the size limit  
10 imposed in this fishery, which is three inches carapace length, or  
11 I believe 89 millimeters, and so that minimum size limit is set  
12 right about the age of 50 percent maturity.

13  
14 Selectivity is a jargon term that we use a lot in our community,  
15 but it's basically how animals are collected by fishing, and so  
16 let's say, on the top here, we have what's called an asymptotic or  
17 logistic selectivity pattern, and it's quite knife-edged at right  
18 about seventy-five millimeters.

19  
20 In this first one on the top, the asymptotic, it would say that no  
21 animals are selected for by that fishery until they're about  
22 seventy-five millimeters, and so either there is a gear selectivity  
23 component, and no animals smaller can be collected by the gear, or  
24 availability, or animals that small are not available to this  
25 fishery, because they don't exist where the fishery operates.

26  
27 At about seventy-five centimeters, it goes all the way up to one,  
28 and it's very knife-edged and flat-topped, meaning that every  
29 animal above seventy-five millimeters could be selected by that  
30 fishery, and so, if they are available, they can be caught, and  
31 so, with that one -- The one on top implies then that, if there  
32 are no animals that large that are in the catch, it's because they  
33 don't exist, because of fishing mortality, for example.

34  
35 Now, the one on the bottom is called a dome-shaped selectivity  
36 pattern, and this one means that, between say fifty and 150  
37 millimeters, that animals could be selected for by that fishery,  
38 and it's got a peak at about 100, but this one implies that, above  
39 say 150 millimeters, that the animals are simply not selected for  
40 for that fishery, and so they could be here, but maybe you would  
41 prefer a plate-sized fish or lobster, and so either the gear, the  
42 animal can't enter the gear, because it's too large, or the  
43 fishermen do not prefer to catch an animal that large, and so the  
44 selectivity goes to zero at these larger sizes.

45  
46 These are actually the selectivity patterns that we estimated in  
47 the stock assessment model, and so we see that they're all  
48 relatively dome-shaped, implying that animals larger than say 150,

1 or 100, millimeters fork length are basically unavailable to the  
2 fishermen or are not preferred by the fishermen, and so they are  
3 not observed in the catch.

4  
5 I did also want to mention that there were sensitivity runs that  
6 examine both logistic or asymptotic, and the dome-shaped  
7 selectivity function, and the models preferred the dome-shaped  
8 selectivity functions. They gave a better fit to the stock  
9 assessment model, and they were the ones that were chosen by the  
10 review workshop for the final advice, the dome-shaped selectivity  
11 functions.

12  
13 In St. Thomas, this is the model structure. We had two fisheries  
14 in St. Thomas, pots and traps and diving gear, and selectivity at  
15 length was estimated for the pots and traps, because they were the  
16 major predominant gear. That same selectivity pattern was mirrored  
17 for the diving fleet, because there was insufficient information  
18 to estimate a separate selectivity pattern for this small component  
19 of the catch.

20  
21 We assumed that the fishing mortality in the first year of the  
22 model was zero, and so, essentially, it starts off from an unfished  
23 condition in about 1970. The minimum size limit was eighty-nine  
24 millimeters, and that was introduced in 1985 in this model, and so  
25 we had two time blocks for retention, 1985 to 2003 and the second  
26 one for the more recent time period.

27  
28 Now, you notice that there are some years missing here, and those  
29 missing years are because that's a period of time where, for some  
30 reason, there were a lot of fish below the size limit reported,  
31 and it gave the model essentially fits to try to accommodate that,  
32 and so these years were actually not included in the estimation of  
33 retention, and so whatever happened, essentially in the  
34 intervening time period, we just assume is essentially the same  
35 underlying retention function as the earlier period. There were  
36 estimated quantities in this model, including the recruitment, at  
37 the time where there was no fishing and the selectivity functions.

38  
39 St. Croix had a very similar model structure, except now that the  
40 -- I believe it's the diving fleet is the majority fleet, and so  
41 we actually estimated its selectivity, and then we mirrored the  
42 pot and trap fleet to the same selectivity pattern, and we had the  
43 same time blocking of retention occurring. In this case, we're  
44 only estimating the time block for retention from 1985 to 2016,  
45 and so after the size limit. Prior to that time, in both St. Croix  
46 and St. Thomas, we're assuming that all animals were retained,  
47 because, before the size limit, there would have been no reason to  
48 discard lobsters. Here, we're estimating unfished recruitment,

again, and the selectivity parameters, and Puerto Rico is the next slide.

This is slightly more complicated, in that we have two types of fleets that both have significant landings, and so, in this case, we estimated the selectivity patterns for both of these fleets, and we assume that the  $F$  initial was zero for the pots and traps, which is the orange here, and so the initial fishing mortality is zero, but, as you can see, in the diving fleet, there were very substantial catches in the initial year of the stock assessment, and so we did have to estimate that initial fishing mortality value in Puerto Rico.

Again, we have time blocked retention patterns based on the size limits, and, here, we're estimating the initial  $F$  of the diving fleet and the retention parameters for each fleet and the selectivity, and so a slightly more complex structure of the Puerto Rican model.

Here are the stock assessment results, and so, on the top panel, these ones all show you the fishing mortality trends, and so I will explain. In St. Thomas, we assume that fishing mortality was zero in the first year of the stock assessment, and it shows you that, as you would expect, the fishing mortality increases through time, up to the mid-2000s, when it was about -- The fishery was taking about 17 percent of the available animals each year, according to the stock assessment. Since that time, there has been somewhat of a decrease and then, again, increase in the most recent years.

In St. Croix, the fishing mortality is zero in the beginning, and it's increasing to maybe 20 percent, and so, basically, fishing mortality is taking 20 percent of the available animals in St. Croix each year in the mid-2000s and then a rapid decrease.

In Puerto Rico, you actually have significant removals occurring in the first year of the stock assessment, and so I believe that says about 22 percent of the available animals were extracted by fishing in the initial year of the stock assessment, but that's been variable, but not trended, through time, and so there's been substantial fishing in Puerto Rico throughout the time series.

The bottom set of panels just show you the spawning depletion, and so the population size relative to unfished condition, and so starting off at unfished condition in St. Thomas and essentially decreasing through time, to about 40 percent of the unfished condition.

1 In St. Croix, you can see it's starting off again in unfished  
2 condition and going down to an SPR of about 30 percent in 2010, 30  
3 percent of the unfished condition, and then a rapid increase, and,  
4 in Puerto Rico, it's relatively flat through time, from about 20  
5 to 40 percent of the unfished stock size, and so a typical measure  
6 of a spawning stock at the level required to produce MSY is about  
7 30 percent, and so what you're seeing here is about 40, a little  
8 bit above 40, almost 0.6 here, and about 0.4 here, and so it kind  
9 of gives you an indication already that this stock seems to be in  
10 a fairly healthy condition.

11  
12 We did the peer review, which featured Center for Independent  
13 Expert reviewers as well as the SSC. They reviewed various  
14 sensitivities, and so they looked at our assumptions about natural  
15 mortality, growth, initial F, and selectivity. They reviewed a  
16 whole variety of diagnostics that are produced by SS, including  
17 retrospectives, jitters, correlation analyses, and likelihood  
18 profiles. These are all contained in the reports, if you would  
19 like to review them.

20  
21 They found all these diagnostics to be acceptable performance, and  
22 they did recommend, or they supported our conclusions, that spiny  
23 lobster is not overfished and not experiencing overfishing for the  
24 review workshop base cases, and they supported using a proxy for  
25 MSY of essentially SPR 30, and so they suggested a number of  
26 research areas, which are listed here.

27  
28 They suggested further research on selectivity, and they suggested  
29 research on the Puerto Rican expansion factors and on construction  
30 of indices of abundance, and they also recommended research to  
31 quantify various sources of mortality that were not included in  
32 the stock assessment, including mortality due to the recreational  
33 fishery from illegal and unreported fishing and discards. They  
34 prioritized St. Thomas, because they felt that St. Thomas was  
35 closer to the overfishing threshold.

36  
37 They also had a very high-priority recommendation to develop  
38 indices of abundance before the next stock assessment, and that is  
39 something that we're already working to achieve.

40  
41 **MIGUEL ROLON:** Shannon, before you go to the next slide, just a  
42 placeholder, so that, at the end of your presentation, can we  
43 prioritize those recommendations and see what the council can do  
44 to assist in solving some of the -- Not solving, but addressing  
45 some of those recommendations. Not now, but at the end of your  
46 presentation.

47  
48 **SHANNON CALAY:** Okay, and I did also want to mention, since we



1 have this slide up, that a lot of the research that we are outlining  
2 here we are already conducting, and so we've already arranged for  
3 funding to examine selectivity, and we're already working on catch  
4 validation. The indices of abundance is something that was  
5 discussed, and, basically, we're still working to try to improve  
6 our indices of abundance.

7  
8 We also just submitted a pretty extensive proposal, which I have  
9 not heard whether it will be funded or not, to develop fishery  
10 indicators for the Caribbean, and so a lot of the work that you  
11 are seeing here is already underway, and certainly we could use  
12 all the assistance that we can get to have additional work to  
13 improve these areas of research.

14  
15 These are the conclusions, and I realize this is very small, and  
16 so I will just highlight a few. The current spawning stock biomass  
17 relative to the spawning stock biomass that supports MSY, on all  
18 three model platforms, the number is higher than one, which means  
19 that we are not overfished, and we are above the spawning stock  
20 biomass that produces MSY.

21  
22 Also,  $F$  current relative to  $F_{MSY}$ , all of these numbers are below  
23 one, which suggests that we are also not overfishing spiny lobster  
24 on any of the island platforms.

25  
26 You see here an estimate of MSY, and St. Thomas is 134,000 pounds.  
27 It's 128,000 pounds in St. Croix, and it's about 433,000 pounds in  
28 Puerto Rico, and so I think the rest of it I will allow you to  
29 look at at your leisure.

30  
31 We typically get stock assessment results for the annual catch  
32 limits from projections of a stock assessment model, and that  
33 simply means that we take the model, with the terminal year, I  
34 believe, of 2016, and we had to make assumptions about the catches  
35 -- Well, we actually had estimates of the catches in 2017 and 2018,  
36 and these were the assumptions that we made.

37  
38 Basically, we project fishing at  $F$  that supports MSY, and so we  
39 project forward at  $F_{MSY}$ , which happens to also be the level that  
40 produces OFL, the overfishing limit, and this is the values that  
41 you get for 2019, 2020, and 2021 and 2022, and so the value outside  
42 of the parentheses is the OFL, the overfishing limit, estimated by  
43 the stock assessment, and inside the parentheses is, I believe,  
44 the standard deviation of that estimate.

45  
46 You can see it varies by year, because we're fishing at a constant  
47  $F$  in the projections, and so the catch you get from that constant  
48  $F$  actually will differ as the population size changes in the

1 projection.

2  
3 Just for comparison, I've got, on the bottom, the ACLs from 2012,  
4 the ACLs from the island-based fishery management plan, and the  
5 SEDAR 57 MSY estimates, and so you can see how they compare. This  
6 is just a summary of the model inputs, estimated and fixed  
7 parameters, and a summary of the research recommendations. Miguel.

8  
9 **MIGUEL ROLON:** From this report, especially the prior slide, where  
10 you have the ACL comparison with the table, the spiny lobster is  
11 okay. If you compare the ACL in the island-based FMPs, and let's  
12 say, for example, St. Thomas is 220,000, versus 185,000 now, and  
13 148,000 in 2020, and the lobster is doing okay, and so we don't  
14 need any other management measures, aside from the size limit that  
15 we implemented in 1981. Is that assessment true, or is that  
16 statement true?

17  
18 **SHANNON CALAY:** I am not entirely certain that I understand your  
19 question.

20  
21 **MIGUEL ROLON:** My question is do we need to do anything with the  
22 spiny lobster besides what we are doing right now?

23  
24 **SHANNON CALAY:** Well, basically, all that this stock assessment  
25 tells you is that we would say the overfishing limit in 2019 would  
26 be 185,943 pounds, and so you could take a variety of management  
27 measures that would ensure that catch does not exceed that level,  
28 but I don't -- The stock assessment doesn't give you information  
29 about which management measures you would take. It just provides  
30 a catch limit, and so there are other analyses that we could  
31 conduct, in cooperation with SERO, that would help you understand  
32 management options, but they're not directly contained in the stock  
33 assessment. That's an additional body of work.

34  
35 One thing you will notice here is this big jump between 2018 and  
36 2019, and I wanted to explain that a little bit. In 2016, which  
37 was the terminal year of the assessment, we assume that these low  
38 levels of catch in 2017 and 2018 are an effect of the hurricane,  
39 and so, essentially, the catches were very low because we believe  
40 effort was low, either because fishermen were not fishing or their  
41 gear had been destroyed, et cetera, et cetera.

42  
43 That left essentially spiny lobster in the water to reproduce and  
44 to grow, and so you can essentially catch those now, in 2019 and  
45 2020 and 2021, et cetera, and so, essentially, we're making the  
46 assumption that these low levels of catch which occurred post-  
47 hurricane are due to a decrease in effort and that the hurricane  
48 did not impact the population of animals. It did not directly

1 kill spiny lobster.

2  
3 That's why these numbers are quite large in the initial years,  
4 because you're actually above the level of biomass that supports  
5 MSY, and so you can fish them down a bit, and so you're actually  
6 fishing these animals down towards their maximum sustainable  
7 yield, which is 134,000 pounds, according to the stock assessment,  
8 and here as well. You can see you're fishing them down towards  
9 128,000, and you are fishing them down towards 433,000.

10  
11 That is essentially the SEDAR 57 assessment, and we can leave up  
12 this slide if it helps you with questions that you might ask, but,  
13 at this point, I will open the floor to any questions that you  
14 might have about the assessment.

15  
16 **MARCOS HANKE:** I have Tony Blanchard.

17  
18 **TONY BLANCHARD:** I've got a couple of questions. You have a slide  
19 there that states the maximum size of the female and the male  
20 lobster. The question is where did the information come from? In  
21 other words, where did you come up with the maximum size on the  
22 male and the female, and what would be the weight calculated to  
23 the length? That's question number one.

24  
25 **SHANNON CALAY:** I don't have the information handy about the  
26 weight-length relationship. I could get that for you during this  
27 meeting. The growth curve came from a paper by Leon et al. in  
28 1995. This comes from the document Leon et al. in 1995, and so  
29 these are just shapes that are fit to the underlying data, and,  
30 unfortunately, the underlying data is not plotted here on this  
31 plot, but you can see, with the length composition data that's  
32 available to us, we also see that males are larger than the  
33 females, and this can occur for a few different reasons. It can  
34 occur if the growth is different, which is our assumption, and so  
35 we're assuming here that males just grow larger than females.

36  
37 This can also occur if the mortality is different between the two  
38 sexes, but we assumed that mortality is the same, that the  
39 mortality at age is the same for males and females, and what  
40 differs is their growth, and so, if you're asking me where did it  
41 come from, in terms of location, I will also have to look that up  
42 for you.

43  
44 **MARCOS HANKE:** One follow-up.

45  
46 **TONY BLANCHARD:** Yes, because I believe that these numbers are  
47 off, and I believe that the lobsters in the Caribbean are actually  
48 bigger than this, and that's why I wanted to see what it calculated

1 to. The other thing is the projections on the last slide that you  
2 showed. The projections only go down, and now my question is how  
3 you could project that numbers are going to go down through time.  
4

5 **SHANNON CALAY:** All right, and so let's attack the first question  
6 first. The growth curves that I showed you with the L infinity  
7 value -- I should point out that this would just be the mean size  
8 of animals at age, and so there will be animals bigger and smaller  
9 at the same size, and this is not the maximum size, but it's the  
10 mean size at age, is what L infinity is, and so this does not mean  
11 that there aren't animals bigger than this.  
12

13 It just means that, at age-fourteen say, that there would be  
14 animals distributed above and below this curve. This does show  
15 you our estimate of the variation of the size, but this is just a  
16 CV, and so it still does not indicate the total range of sizes  
17 that could be available, and so, yes, there could be larger animals  
18 out there.  
19

20 Now, how do we project? We assume that the selectivity pattern  
21 that occurs in the last year of the stock assessment, which is  
22 that dome-shaped pattern, and so maybe you can find one of those  
23 dome-shaped patterns, and we assume that the selectivity of the  
24 fishery remains constant in the projections, and so any of these  
25 is fine.  
26

27 For example, if this was a selectivity pattern estimated in 2016,  
28 which it is, for St. Thomas, in the projections, the selectivity  
29 pattern of the fishery remains the same, but the animals in the  
30 projections continue to grow older and experience mortality,  
31 growth, reproduction, and fishing, and so, basically, we continue  
32 to estimate the population dynamics, but we assume that recruitment  
33 will be constant, that selectivity will be constant, and that the  
34 fishing effort will be FMSY, the fishing level that supports MSY.  
35

36 One more thing to mention about the projections, and maybe if you  
37 could just bring up that table again at the end. This would be an  
38 estimate of our overfishing limit in 2019, and let's say you  
39 actually caught less than this. Let's say you caught only 150,000  
40 pounds. That would mean that there's actually more available to  
41 catch in subsequent years, and so, any time you either have an  
42 underage or an overage in a fishery, it's going to impact the catch  
43 limits in subsequent years. That is just something to mention, a  
44 caveat of projections.  
45

46 What typically happens in our stock assessments is, once we  
47 actually know whether there was a substantial overage or underage  
48 in 2019, it might lead to a council request to update these

1 projections, so that we account for the actual level of fishing  
2 that took place.

3  
4 **TONY BLANCHARD:** My personal thing is I don't believe in  
5 projections, because things change very quickly, whether it's for  
6 the good or it's for the bad. The thing that gets to me is that  
7 the projections are always on the down side, meaning that it's  
8 always -- The trend is that the fishery is going to get weaker,  
9 just by looking at this, and, now, if the carapace length is three-  
10 and-a-half, and, according to the information you just brought  
11 earlier, the maturity at 50 percent was a three-inch carapace, and  
12 that would actually mean that they have quite a bit of time to  
13 produce more eggs, and, according to you, the bigger the lobster,  
14 the more eggs that they're going to produce.

15  
16 Actually, in my opinion, this don't calculate for me, because  
17 you're going to have bigger lobsters, and I'm going to tell you  
18 why we're going to have bigger lobsters. It's because how we fish.  
19 Nobody wants the eleven or twelve-pound lobster. The reality of  
20 it is that you can't come up with the money. An individual, most  
21 individuals, would not buy something that big, and so you are  
22 producing a lobster, you're bringing a lobster to market, that  
23 you're going to be able to sell, and that's the whole thing about  
24 bringing it to market, unless you're taking it for yourself.

25  
26 The majority of lobsters would fall within a size range, because  
27 of how we decide to take them, and so you're not calculating for  
28 as big as they come, as many of the sizes that we're going to  
29 release, because let's say we decide to keep lobsters no bigger  
30 than five pounds. The lobsters get a lot bigger than that and  
31 with all the eggs that they're producing, but the thing that gets  
32 to me is always on the down side and the projections. It's never  
33 that the fishery gets any better.

34  
35 To me, it looks like the fishery is going to get better when you're  
36 targeting a smaller lobster, and the minimum size for production  
37 is a three-inch, when we take a three-and-a-half, and so we're  
38 taking it straight up the middle, in my opinion, and so the  
39 projections don't work for me, and that's just my opinion.

40  
41 **MARCOS HANKE:** Roy, to that point?

42  
43 **ROY CRABTREE:** Yes, and so I agree with you. I don't believe in  
44 projections either, and I suspect Shannon doesn't really believe  
45 in projections, but we do them, but, when you're projecting out  
46 into the future, you don't know what's going to happen, and so  
47 they're usually pretty good maybe for a few years, but, beyond  
48 that, who knows?

1  
2 In this case, the stock is in somewhat better shape than the target  
3 level, and so, when you project out into the future, it's going to  
4 converge on MSY, because that's the way it's set up, so that it  
5 has to.

6  
7 If you were, though, in a rebuilding plan with an overfished stock,  
8 and you ran projections, they are going to show an increasing  
9 stock, and increasing catch levels, because the stock is going to  
10 rebuild under the projections, but the reality is we're assuming  
11 that recruitment is going to stay the same, and we know that it  
12 won't stay the same.

13  
14 It's going to go up, and it's going to go down, and it's going to  
15 bounce around, and then there are all kinds of unknowns, like  
16 what's going to happen with the market and what's going to happen  
17 with demand and hurricanes and all those things, and so you're  
18 right to be skeptical of projections.

19  
20 They're something we have to, because we have to set the catch  
21 levels, but we all know that the future is an unknown, and, the  
22 farther out into the future you try to project, the more difficult  
23 it becomes, and so we do them, and they guide us, but we know that,  
24 ultimately, they're wrong, and it won't come out exactly like that,  
25 but they don't necessarily go down. They can go up, but it just  
26 depends on what the status of the fishery is.

27  
28 I guess, in this case, we don't have ABCs, and it's my  
29 understanding that we need to have a discussion of what P\* we would  
30 use, and then what we need to do is we would then get an ABC, I  
31 guess at the next council meeting, maybe, in the April, and then  
32 we're going to need to do a framework amendment to reset our ACLs,  
33 and that will then go into place once the island-specific plans  
34 are implemented, and so I think our goal probably here ought to be  
35 to use this assessment and get the new ABCs and adjust our annual  
36 catch limits for the 2021 season, and so we would want to get those  
37 in place towards the end of next year, maybe.

38  
39 **MARCOS HANKE:** Thank you, Roy. Very quick, Tony, and then we'll  
40 go to Richard.

41  
42 **TONY BLANCHARD:** Okay. I'm glad that you said that, Roy, because  
43 now we're talking about predictions, or projections, I should say.  
44 Your projection is, when a stock is overfished and it's in a  
45 rebuilding process, that it's going to go up. Now, this don't  
46 have to do with lobsters, but I'm glad that you brought it up.  
47 What about the groupers? What are the projections on that?  
48

1 They are supposed to be in a rebuilding stage, and for how many  
2 years now we've closed down the fishery, and we can't come up with  
3 some kind of numbers to bring to the table? Do you understand the  
4 point that I'm trying to make?

5  
6 **ROY CRABTREE:** I understand your point, and so the dilemma we have  
7 here is we don't have projections for the grouper, because we don't  
8 have assessments, and so this is really the first quantitative  
9 assessment we've gotten, where we actually have projections, and  
10 so it's a big step forward for us, and it's the right direction,  
11 but we have a long ways to go to get to assessments for more of  
12 these finfish species, and, once we get a quantitative assessment,  
13 we'll get projections out of it, and they will be subject to all  
14 kinds of uncertainties and things, and maybe they will show the  
15 groupers weren't overfished to begin with, and I don't know what  
16 they will show, but that's our problem.

17  
18 I don't think we have projections for any other species we manage.  
19 We just have judgment calls that we think it was overfished, and  
20 we think the management we have put in place is about right, and  
21 so we think things should be improving, but we don't really know,  
22 and we really can't quantify or project it, and so that's kind of  
23 the dilemma.

24  
25 In the Gulf and in the South Atlantic, we have lots of stocks where  
26 we have assessments, and we have projections for all of those, and  
27 they go in different directions and all of that, but we just don't  
28 have that yet here.

29  
30 **MARCOS HANKE:** Tony, please, very quickly.

31  
32 **TONY BLANCHARD:** Okay. Let me get back to you, and this is the  
33 problem, is we always seem to project that things will get worse,  
34 or we're always assuming something is not right, and we are  
35 mandated to manage stocks, and I am talking about the grouper,  
36 specifically.

37  
38 We don't have the information, and Nemeth and the college goes out  
39 there every year, on the Grammanik and on the Grouper Bank, to  
40 study the groupers. I don't know if it's let's say our lack of  
41 not wanting to take it on to bring a stock assessment to these  
42 groupers, and I don't know whether we're afraid to see what the  
43 truth is, but I think we have a responsibility that we need to  
44 look at this stock, and I am not blaming you, but I'm just bringing  
45 it to the table, because you can't pick and choose what you're  
46 going to manage, because, at the end of the day, the only one that  
47 is really being affected here is the fishermen, and the commercial  
48 fishers, because the scientists are going to get the grant to go

1 inside there and study the fishery, and we get to sit outside and  
2 watch them make money off of our fishery. The truth of it is the  
3 stock of the grouper on the Grammanik, from what I understand,  
4 from talking to people that has dived on the bank, is the numbers  
5 are well up there.

6  
7 **ROY CRABTREE:** Well, I agree with what you're saying. I think the  
8 reason we started with spiny lobster here is because that's where  
9 we have the most information, but our goal is to get to some of  
10 these other stocks and get assessments there, and I understand  
11 that the fishermen pay a price for all this. We all pay a price  
12 for all of this, because we come down here, and we want to be able  
13 to eat these things, and they may not be available, because the  
14 fishery management isn't up to where it needs to get to.

15  
16 I don't think anybody is afraid of trying to get these assessments.  
17 I think we all want to get there, but it's just a process. They  
18 have made a lot of progress on how to do assessments for data-poor  
19 stocks, and we just are going to have to see what finfish species  
20 do we think we can apply these same methods to, and can we produce  
21 an assessment that is credible and that we think is good enough  
22 for us to manage them on.

23  
24 **MARCOS HANKE:** Let's include other people in the loop. I have  
25 Miguel and then Richard.

26  
27 **MIGUEL ROLON:** Remember the discussion among the council members  
28 is the most important part of any meeting, and I am glad that Tony  
29 brought all these questions to the table, because the exchange  
30 between Roy and Tony is what you really are after in this meeting.

31  
32 In the case of the spiny lobster, it's the first of all the species  
33 that we have, in forty years, that we have the numbers that the  
34 scientists can look at them and take them to peer review and come  
35 back to the council with specific numbers. That doesn't mean that  
36 any of the things that you have here will trigger an immediate  
37 action by the council and go running like crazy to close here and  
38 there. That's not what we're saying.

39  
40 What we're saying is that you have better information now to make  
41 a decision on the management of the species, especially the spiny  
42 lobster. The issue of the Nassau grouper and the other groupers  
43 is a very important one, and, once we have the island-based FMP  
44 approved, hopefully next year, you will be able to pinpoint issues  
45 that are actually related to the islands that you are going to  
46 have these management plans for.

47  
48 What Tony is talking about is your responsibility, and that's what



1 you are supposed to be doing in the next twenty years, and  
2 hopefully I won't be around, and so I believe that we should allow  
3 Shannon to finish the presentation with a discussion, and we have  
4 the Chair of the SSC raising his hand for a long time, but this is  
5 important that you all understand what this means.

6  
7 P\* is something that -- Actually, I found a lot of information  
8 about P\* and what it is, but I bet everybody is like me and is  
9 confused a little bit about what the hell is P\* and what it came  
10 from, and P\* is -- Luckily for us, we only have one, and  
11 psychologists have two, and doctors have three and four, because,  
12 if you want to drink poison, you want to make sure that it won't  
13 kill you, and so you need four stars, but you are talking about  
14 fisheries here, and the council, not at this meeting, and not at  
15 this moment, but, probably in the spring, you will have to come  
16 and decide some of the things that you have to do regarding the  
17 information with the P\* that we have here, which is the probability  
18 of -- We can discuss it later, but, if you have a question of what  
19 the hell is it, I'm sure that Shannon and Richard and Roy can  
20 explain to you a little bit better than me.

21  
22 Basically, now, what we need to do is to accept the report from  
23 the SEDAR 57, but also allow Shannon to finish, and then continue  
24 with the discussion, and we have plenty of time.

25  
26 **MARCOS HANKE:** I want to go to Richard.

27  
28 **RICHARD APPELDOORN:** I just want to make a comment relative to  
29 Miguel's initial question, which was is the management we have in  
30 place okay, and Shannon didn't show it, but we were presented this  
31 in the SSC, of what the track of the history of the various  
32 fisheries on the islands were over the time period of data  
33 analyzed, and, in that, and, Shannon, you can correct me if I'm  
34 wrong, but I think St. Croix exceeded the limits once, and then  
35 came back into compliance during its history. St. Thomas  
36 approached those limits, but never exceeded them, and Puerto Rico  
37 has not come dangerously close to exceeding the limits, and so,  
38 unless you set your OFLs and ABCs and ACLs at the proper limits -  
39 - Yes, it's certainly possible to exceed what the safe bounds of  
40 the fishing is.

41  
42 **MARCOS HANKE:** Thank you, Richard. I have Julian.

43  
44 **JULIAN MAGRAS:** Just one thing on the projections here for 2019.  
45 We project a higher number, but we must also, when looking at that  
46 number, take into consideration that a lot of the fishers still  
47 have not gone back to where they used to be in fishing effort, due  
48 to the fact that we haven't received our disaster funding, as yet,

1 and we don't have the monies to put back into our businesses to  
2 bring us back to that level.

3  
4 I think that 185,000 pounds is -- It should actually be a lower  
5 number, and then you go down, and so I have the same problem that  
6 Tony has with the projections and that, but I understand, at the  
7 same time, that you have to put numbers there, and we also have to  
8 take into consideration, because of the hurricanes also, and it's  
9 not only the catch per unit effort, but our fishery is a market-  
10 driven fishery. The big hotels, some of them are still not open,  
11 and those that are open aren't at 100 percent. That drives those  
12 numbers even lower. That's just my comment on that.

13  
14 The next thing is, in the recommendations area, of the last day of  
15 the final assessment meeting in Miami, one of the discussions that  
16 went on the table and went on the record was, in the reports, there  
17 was no place that showed clearly to the scientists during the final  
18 review where all of the area closures were at, and we had this  
19 discussion at the end of the day, where we were all able, from the  
20 three different sectors, able to put that information out there,  
21 and some of the scientists from the different areas were concerned  
22 about that, because they were like, well, wait, this can make this  
23 even go better for the fishermen, because you have all of these  
24 large protected areas, and you have done no assessments in those  
25 areas, and we're just talking about the lobster.

26  
27 We do assessments in all of the area closures, like we have the  
28 Red Hind Bank and the MCD, and we only study the Hind inside of  
29 there, and you have the Grammanik Bank, and you study the Nassau  
30 grouper, and you study the yellowfin grouper, but those banks don't  
31 only produce those species. They produce every species all year  
32 long, and so I see that it didn't make it to the recommendations  
33 list, and so, if possible, if a council member can add that to the  
34 recommendation list, that we do assessments in both federal waters  
35 and territorial waters, for the large area closures that we have.

36  
37 One last note is, when it comes to stock assessments, when we put  
38 the SFA in place back in 2005, we put a lot of seasonal closures  
39 in place, and, every meeting I attend, I request for stock  
40 assessments, and I know the next SEDAR is going to be on the queen  
41 triggerfish.

42  
43 Queen triggerfish is very important to our fishery, but, at the  
44 same time, it's not one of those stocks that has been closed on a  
45 seasonal closure for fifteen years and we still don't know what  
46 they are doing, and so I'm just throwing that out there, and I  
47 think we're moving in the right direction, but I think the council  
48 can make some improvements in some of those areas. Thank you.

1  
2 **MARCOS HANKE:** Shannon.

3  
4 **SHANNON CALAY:** I would like to respond to a few things about the  
5 projections, as mentioned by Tony and by Julian. I wanted to  
6 clarify that this decrease you see in the -- First of all, let me  
7 start by clarifying that this is not a predicted catch.

8  
9 This is not a prediction of the catch. This is the catch limit,  
10 above which you would be overfishing, and that's what the stock  
11 assessment model produces, and so, if the fishery does not actually  
12 catch as much as this, or if it exceeds this catch in 2019, the  
13 council could request, and this is what happens in other regions,  
14 in the Gulf and the South Atlantic, an updated series of  
15 projections.

16  
17 These values matter, and so this is our annual catch limit, and  
18 you would not want to exceed this value, but, if you are below it  
19 or above it, it affects all the subsequent numbers, and so you  
20 would ask for an update.

21  
22 All right. The next thing is it has nothing to do with the  
23 selectivity patterns that we projected that these numbers decrease  
24 through time. Instead, it's because you are above what is  
25 considered the maximum sustainable yield of this population, and  
26 so, because we project FMSY to give you the -- We allow you to  
27 have as much as you can take without overfishing, and the stock  
28 assessment model allows you to catch that surplus, and so it's  
29 allowing you to catch more than MSY as long as you're above the  
30 level that supports MSY, and you are essentially fishing down to  
31 the level that supports MSY.

32  
33 Then, if you carry these numbers out, through a long period of  
34 time, they would converge on MSY, and so that's why these numbers  
35 decrease, and it has nothing to do with the selectivity pattern.  
36 It's simply that, currently, in all three island platforms, we are  
37 above the level that supports MSY, and you can take the surplus.  
38 I think those are two of the questions. Then I can't remember the  
39 first question Julian asked that I could actually answer.

40  
41 **MARCOS HANKE:** The closed areas.

42  
43 **SHANNON CALAY:** That's the second question, but the second question  
44 about the closed areas -- I mean, currently, this model is not  
45 spatial in nature, and so it just takes the total removals and the  
46 length of those removals and the biological information, and it  
47 assumes that, however you manage the fishery, it has produced those  
48 removals and that length composition data and that that will

1 continue similarly into the future.

2  
3 What's important is, if you were to introduce a new management  
4 measure that we have not incorporated, that would have to be  
5 addressed in future assessments. Now, yes, you can absolutely  
6 make a recommendation that we try to improve upon how we are  
7 modeling the spatial nature of the stock assessment or how we are  
8 evaluating the various management measures, and that's certainly  
9 a good recommendation to make, but, at this time, the data  
10 limitations are relatively severe, and this particular model does  
11 not contain that sort of spatial structure to analyze specific  
12 closures.

13  
14 **MARCOS HANKE:** Thank you very much. I have many requests for a  
15 break. Because everybody is so interested, I think this is going  
16 to extend a little bit. I have Toby in the queue, and let's take  
17 a ten-minute break and come back for questions to Shannon.

18  
19 (Whereupon, a brief recess was taken.)  
20

21 **MARCOS HANKE:** Shannon is going to restart her presentation.  
22 Please take your seats. Thank you for your patience, Shannon.  
23 Let's keep going. Before you proceed, I have one question left  
24 from the queue before from Toby.

25  
26 **WILLIAM TOBIAS:** Thank you very much for your presentation. It  
27 was very interesting and very detailed, and it's nice to find out  
28 that we have some qualitative information now that the spiny  
29 lobster fishery is not overfished and not undergoing overfishing.  
30 Can you pull up the last or the next-to-the-last slide with the  
31 table? Thank you.

32  
33 Looking at the ACL and the new SEDAR 57 MSY figures for St. Croix  
34 and St. Thomas, the difference between St. Croix and St. Thomas  
35 really is not very much. What's interesting to note though is  
36 that the island platforms of those two areas are so very different.

37  
38 St. Croix is an oceanic island with probably only 10 percent the  
39 size of the platform of St. Thomas and St. John, yet the catch  
40 rate is -- The ACLs are slightly higher, or nearly as high, in the  
41 MSY projection.

42  
43 One of the recommendations that I would like to see forthcoming is  
44 why, in terms of recruitment, is the catch so high on St. Croix,  
45 given the platform being so small. Where does the recruitment  
46 come from? The larvae life cycle is extremely long, and, by the  
47 time these lobster get to marketable size, they are beyond three-  
48 years-plus in age, and so I think that recommendation I would like

1 to see come forth.

2  
3 **SHANNON CALAY:** Thank you. I will duly note that. Thank you.  
4 Shall we move on to the presentation?

5  
6 **MARCOS HANKE:** Yes, please.

7  
8 **PROPOSED HARVEST CONTROL RULES FOR THE U.S. CARIBBEAN**  
9

10 **SHANNON CALAY:** Okay. Some of the slides that I am going to show  
11 you were previewed by Rich, and so you'll have seen this before,  
12 and you will probably see it again in the future. This is a  
13 summary of the control rule and how the control rule works to go  
14 from OFL to estimates of ABC, acceptable biological catch.

15  
16 Just a few definitions. "Overfishing" just means that your annual  
17 rate of catch is too high to support MSY. MSY is the largest long-  
18 term average catch that can be taken under existing environmental  
19 and fishing conditions. Scientific uncertainty, what we're  
20 talking about is the uncertainty in the information about a stock  
21 and its MSY yield reference points, and so that could include, for  
22 example, incorrect specifications of biological information or  
23 fisheries selectivity. It could also include time lags in the  
24 assessment updates, potential ecosystem and environmental effects,  
25 and other factors.

26  
27 "Management uncertainty" is the uncertainty in the ability of  
28 managers to constrain the catch so that ACL is not exceeded, and  
29 so this could be estimation errors in the true catch amount, but  
30 it could also be late catch reporting, misreporting,  
31 underreporting, et cetera.

32  
33 You probably saw this slide a few years ago, but these are all the  
34 acronyms that are used under Magnuson, and overfishing limit,  
35 again, is the level above which -- It's the catch that should  
36 achieve MSY in the long term, and you are overfishing if you are  
37 above OFL. ABC is the acceptable biological catch, and it is a  
38 level reduced from OFL to account for scientific uncertainty, and  
39 that reduction is described by the ABC control rule.

40  
41 ACL is a level of catch that will invoke an accountability measure,  
42 such as a closure or a management action, and ACT is used by some  
43 councils, and it can be further reduced from ACL to account further  
44 for management uncertainty or to achieve optimum yield.

45  
46 Now, the important thing to note about this control rule is that  
47 you can set any one of these equal, but ABC, ACL, and ACT -- ABC  
48 cannot exceed OFL, and ACL cannot exceed ABC, but they could,

1 theoretically, be set equal to one another.

2  
3 One more thing about this. By MSRA definitions, this reduction is  
4 typically scientific uncertainty, and it's described by the SSC in  
5 its ABC control rule, and, from here to here, these are reductions  
6 that can be used by a council.

7  
8 How does this all work? First, we need to estimate the overfishing  
9 limit, and so, again, OFL, fishing at that level over the long  
10 term, will achieve the maximum sustainable yield, and it is also  
11 the level above which overfishing occurs.

12  
13 Now, OFL is only able to be properly estimated using a stock  
14 assessment model. Tiers 1 through 3 of the Caribbean control rule  
15 require stock assessment results to compute the OFL, and the recent  
16 spiny lobster assessment is considered a Tier 3 stock assessment,  
17 and it does produce that estimate of OFL that is required, but, to  
18 enact the ABC control rule, the SSC requires some input from the  
19 council, specifically regarding the acceptable risk or probability  
20 of overfishing, in order to develop the estimate of ABC.

21  
22 Richard showed you this, and this is the text, some text, from the  
23 Tier 3 control rule, and so condition for use is that you have  
24 either a relatively data-limited or an out-of-date stock  
25 assessment, and, in this case, we have a data-limited stock  
26 assessment.

27  
28 I wanted to point out that, unlike Tier 4, which is the catch-only  
29 tier, this stock assessment does produce your status determination  
30 criteria, and so it does produce real estimates of the maximum  
31 fishing mortality threshold, minimum stock size threshold, and  
32 MSY. These all are produced by the spiny lobster stock assessment.

33  
34 In your Tier 3 control rule, the OFL is specified as the annual  
35 catch when fishing at the maximum fishing mortality threshold,  
36 which is typically set at FMSY or its proxy, and so that is how we  
37 computed OFL, and we projected fishing at MFMT. Your ABC is the  
38 acceptable biological catch as reduced from OFL by scientific  
39 uncertainty, and it reflects, essentially, the acceptable -- Also  
40 by reflecting the acceptable probability of overfishing, which is  
41  $P^*$ .

42  
43 Scientific uncertainty is quantified by the SSC, by taking into  
44 account various information about the species life history and  
45 ecological function, perceived level of depletion and  
46 vulnerability of the stock to collapse, and, by definition, the  
47 acceptable probability of overfishing is determined by a council,  
48 typically, and it cannot exceed 50 percent, and it should almost

1 always be lower than that.

2  
3 Step one of this process is to estimate OFL using a stock  
4 assessment, which we have done. You just saw the review of the  
5 stock assessment, but stock assessments use information not just  
6 about catch, but about catch, catch per unit effort, length  
7 composition data, age composition data, which we don't have in  
8 this case, and fish growth, mortality, and reproduction rates to  
9 estimate the trends in fishing mortality and population size, as  
10 well as the current stock status, whether a stock is overfished or  
11 experiencing overfishing, and also its status determination  
12 criteria. All of these things require a stock assessment.

13  
14 A stock assessment can produce a point estimate of the overfishing  
15 limit, and this is just a theoretical example. None of the data  
16 you're about to see in the first bit of this presentation are real,  
17 but let's say you have a stock assessment and it says OFL equals  
18 100,000 pounds. That is called a point estimate.

19  
20 Now, you have, within a stock assessment, uncertainty in your data  
21 inputs and your model parameters, and that uncertainty can be used  
22 in the stock assessment, through a boot strapping process, for  
23 example, to produce a PDF, and so now say you have 1,000 outcomes,  
24 or I think, in this case, it was 10,000 permutations of the stock  
25 assessment that include the uncertainty in the various data inputs  
26 and assumptions, and so now it produces OFL estimates ranging from  
27 40,000 to roughly 300,000 pounds.

28  
29 Now, this is the cumulative probability, and so starting at zero  
30 and then someone out here, around 300,000 pounds, you have 100  
31 percent of your probability. The 50<sup>th</sup> percentile of this PDF occurs  
32 at 100,000 pounds, and that is your OFL, and so that's 50 percent  
33 probability of overfishing, and let me explain that a little bit  
34 more.

35  
36 In this case, remember that the estimate that comes from a stock  
37 assessment is truly just an estimate, and so let's say that your  
38 true OFL is actually lower than 100,000 pounds, and so 50 percent  
39 then of this distribution would -- If your true OFL is lower, than  
40 you have some probability of overfishing, and, by definition, we're  
41 assuming that -- This gets a little complex, but the OFL is set at  
42 the level that is a 50 percent probability of overfishing, and so  
43 a true OFL lower than that will indicate overfishing. If your  
44 true OFL is higher than that, you will actually be underexploiting  
45 the resource.

46  
47 What is ABC? Again, ABC is acceptable biological catch as reduced  
48 from the OFL by some measure of scientific uncertainty and

1 reflecting an acceptable probability of overfishing, and so,  
2 again, that's all  $P^*$  is. We're going to say  $P^*$  a thousand times,  
3 and it's just the acceptable probability of overfishing, and so  
4 there are actually two variables that determine how big is that  
5 reduction between OFL and ABC, and it is the sigma min that you  
6 will hear about and  $P^*$ .

7  
8 First, let's look just at the effect of  $P^*$ , which is -- We're  
9 asking the council for its advice on how to set  $P^*$ . The highest  
10 legal  $P^*$ , to my understanding, is 0.5, which has a 50 percent  
11 probability of overfishing. If you used a  $P^*$  of 0.5, you are  
12 implicitly setting OFL equal to ABC, and you are saying there is  
13 no scientific uncertainty. You are neglecting scientific  
14 uncertainty, and so one should only consider a  $P^*$  at or near 0.5  
15 for data-rich assessments, when you can assume that scientific  
16 uncertainty is negligible, and we are not in a data-rich assessment  
17 condition here in the U.S. Caribbean.

18  
19 Most councils have chosen to set  $P^*$  values ranging from 0.3 to  
20 0.4, or a 30 to 40 percent probability of overfishing, and they do  
21 this to avoid triggering overfished or overfishing determinations,  
22 and an overfishing determination requires the council to take  
23 essentially immediate action to end overfishing, and an overfished  
24 determination requires the implementation of a rebuilding plan, to  
25 bring the stock back up to an acceptable level of biomass.

26  
27 In either case, if these things happen, a significant reduction in  
28 catch can occur, and so that's why you set a buffer, to prevent  
29 these actions, which may require a substantial reduction in effort  
30 from a fishery.

31  
32 The effect of  $P^*$ , and so I showed you that 50 percent probability  
33 of your PDF on OFL is how we set the OFL level. In this case,  
34 that was 100,000 pounds. We're asking the council to give us  
35 advice on their acceptable risk of probability of overfishing, and  
36 they have to be lower than, or no higher than, at least 0.5, and  
37 so I'm showing you here, in yellow, a  $P^*$  of 0.4.

38  
39 If you just track essentially back to the cumulative probability,  
40 that one occurs in this yellow bar, and so it actually occurs at  
41 91,000 pounds, and so it's a 9 percent reduction from OFL if you  
42 choose a  $P^*$  of 0.4.

43  
44 If you were to go to a  $P^*$  of 0.25, which you might for say a data-  
45 limited assessment or for a stock you felt was at particular risk  
46 of overfishing for some reason, that would be the green bar here,  
47 and it is actually an ABC of 78,000 pounds and a 22 percent  
48 reduction from OFL.



1  
2 Now, for this example, I did use a sigma min of 0.36, which I will  
3 tell you why I did that in a moment, and I assume that OFL occurs  
4 at the 50<sup>th</sup> percentile, and so, in every one of these cases, OFL  
5 is 100,000 pounds, but ABC depends on how conservative you want to  
6 be with your P\* level.

7  
8 Typically, in management councils, for data-rich assessments, they  
9 might be looking at P\*s of about 0.45. The Gulf Council, for  
10 example, has set -- They have a tiers and dimensions table that  
11 they use to set P\*, but they have, by definition, set them to range  
12 between 0.5 and 0.3, and most of them are around 0.4 for assessed  
13 stocks. In some councils, they have chosen to use more  
14 conservative levels of P\*, for particularly data-limited stock  
15 assessments.

16  
17 That 0.36, that sigma min, just a little bit of a diversion and  
18 some background information, and it comes from a document called  
19 Ralston et al. in Fishery Bulletin published in 2011. What Ralston  
20 did, and his team, is actually look at the historical performance  
21 of a number of stock assessments, I think fifteen different stock  
22 assessments, and so what he is showing you here -- This is a whole  
23 bunch of assessments of Pacific whiting, which you can see has a  
24 -- These are the spawning biomass estimates that come from a whole  
25 bunch of different stock assessments conducted over time, and you  
26 can see that any one stock assessment model has some uncertainty,  
27 but, if you look at the performance of stock assessment models  
28 that are done over time, multiple times, they have an even higher  
29 level of uncertainty, and some of that is because you learn new  
30 information, information improves over time, and so your stock  
31 assessments change too, as information improves.

32  
33 In general, during the most recent years, they actually perform  
34 fairly similarly, and that's true of many stock assessments, and  
35 so now what he did is he looked at the deviations between all these  
36 different realizations of a stock assessment of Pacific whiting  
37 and fifteen other stocks.

38  
39 What he showed is, across all of these stock assessments that he  
40 examined, you could basically look at the variance structure, how  
41 variable the results are, and it turns out that this distribution,  
42 which I'm showing you for data-rich assessments conducted in the  
43 Pacific, had a sigma of 0.36, which is what, in this case, this  
44 author, used as sigma min. That's how that was derived, from  
45 looking at all of the stock assessments they conduct over many,  
46 many, many iterations.

47  
48 Now I'm kind of letting you know that, when you calculate ABC, the

1 percent reduction between ABC and OFL actually depends on both  
2 sigma min and  $P^*$ , and so sigma min is the scientific uncertainty,  
3 and it is essentially the SSC's determination of the plausible or  
4 of the likely, I should say, scientific uncertainty in a stock  
5 assessment model, and  $P^*$ , which is your probability of overfishing,  
6 as determined by the council.

7  
8 Here is your percent that -- It's ABC as a percentage of OFL, and  
9 so, when you're at 100 percent here, ABC is equal to OFL, and there  
10 is no buffer, and that occurs whenever you set  $P^*$  at 50 percent,  
11 and so, if you were to use a  $P^*$  of 50 percent, no matter what the  
12 scientific uncertainty of the stock assessment, you would be  
13 setting OFL equal to ABC, and there would be no buffer.

14  
15 Now, when you go down to 0.45, for example, you can see that, as  
16 sigma min increases from 0.36, 0.54, 0.72, 1.08, 1.44, and so, as  
17 your sigma min increases, so does the size of your buffer between  
18 OFL and ABC, and so let's just do one that's easy to read.

19  
20 At 0.4, and a sigma min of 0.36, the buffer -- The percent reduction  
21 is about 10 percent between OFL and ABC, or you could say that ABC  
22 is 90 percent of OFL, but, way down here, if you assume a much  
23 wider distribution, a much bigger scientific uncertainty, in this  
24 case a standard deviation of 1.44, the buffer now is about 30  
25 percent, and so your ABC is roughly 70 percent of OFL.

26  
27 Then, as you get down to  $P^*$  of 0.25, you can see that the buffer  
28 can be quite large, depending on your sigma min, and so remember  
29 that sigma min is the width of that distribution. What does this  
30 all mean for you?

31  
32 Here is spiny lobster, and I want to tell you, again, that these  
33 are preliminary results, preliminary OFL estimates, and we  
34 probably will need to -- We have currently assumed landings for  
35 2017 and 2018 in that assessment. As we get new information about  
36 those realized landings, that assessment could be updated, and so  
37 this is based on the base models that were presented to the SSC in  
38 October.

39  
40 Here is your OFL, and let's pay attention first to this first value  
41 for St. Thomas in 2020, and it says the OFL is 160,433 pounds in  
42 that year, and so, according to the SSC, they are currently  
43 expecting a sigma min value of 0.5, and Tier 3 requires that you  
44 use two-times sigma min, and so you're using a sigma min then of  
45 1.0 in this case, and what does this mean in terms of your  $P^*$   
46 values and your ABC?

47  
48 You will see again that a  $P^*$  of 50 percent, you return OFL equal

1 to ABC, and so 160,433, and so ABC is 100 percent of OFL, and there  
2 is no reduction, and you are assuming there is no scientific  
3 uncertainty, and, if you exceed 160,433, you will trigger  
4 accountability measures, because you will be overfishing. You  
5 will also trigger an overfishing determination.

6  
7 At a  $P^*$  of 0.45, the ABC is reduced 141,488, and so you've got  
8 about a 12 percent buffer now, and ABC is 88 percent of OFL, and  
9 so that's how that works, and so you will see that the difference  
10 between OFL and ABC gets larger as the  $P^*$  decreases.

11  
12 **MIGUEL ROLON:** Shannon, just a comment to the council members.  
13 Those two or three slides that Shannon just presented are the core  
14 of the discussion that you have to have, and, as I said before, if  
15 I'm a fisherman, I would like to have as many lobster as I can.  
16 Let the scientists figure out the  $P^*$  or whatever other star you  
17 need, but, in this case, the best available information, remember,  
18 has to be by the SSC.

19  
20 The Center provides you the best methodology they can, the best  
21 available assessment, but here is where you have to look at the  
22 picture and now project in your mind how will that affect your  
23 fishery, the management at the local level and the federal level  
24 of the lobster.

25  
26 Shannon has said, over and over again, that the ABC as close as  
27 the OFL is when you have good, reliable data, time series that you  
28 can rely on it. When you don't have that -- In our case, when you  
29 have uncertainty, you have to choose between the possibility of  
30 closing the fishery because you reach that OFL or creating the  
31 buffer that you need to preclude people from going over that  
32 overfishing, and that's what you need to decide.

33  
34 Maybe not at this meeting, but at the next meeting, but we need to  
35 give some indication to the scientists as to where you want to go.  
36 This explanation, to me, has been the best explanation ever of the  
37  $P^*$  and what happens whenever you choose one or the other.

38  
39 The sigma number is new to me, and I didn't know anything about  
40 the sigma number, and I am too old, and this was probably developed  
41 recently, but it gives you strength at the level that you are going  
42 to pick, and can we go to your graph, where you have the lines?

43  
44 That gives you a good picture of where are the parameters and what  
45 will happen if you pick one or the other. 0.25, if you think that  
46 you don't have any data whatsoever that will give you some  
47 confidence, you pick 0.25, but then you won't be able to survive  
48 any fishing dock, and so you move to the right of that curve. At

1 the end, you have 0.5, which is where you have all the data in the  
2 world to make your discussion, and so the council has to pick  
3 between 0.4, 0.45, and 0.3. That's where you need to look at and  
4 decide.

5  
6 Then you can ask the scientists that, if I pick one, any of those,  
7 then how the fishery will behave, and that's what the other table  
8 that Shannon is presenting to you gives the picture of where you're  
9 going to be. This time, she had numbers to present to you.

10  
11 **MARCOS HANKE:** Bill.

12  
13 **BILL ARNOLD:** Shannon, I have two questions, and one of them is on  
14 this. Now, this is my lack of understanding, but this is  
15 databased, as you explain it, but can you factor in an existing  
16 conservative approach to the fishery, for example that three-and-  
17 a-half versus three-inch for spiny lobster, and, if you did, how  
18 might that influence your choice of points along these curves?

19  
20 **SHANNON CALAY:** Well, usually, we have typically done things the  
21 other way around, where we have given -- The council has,  
22 essentially, determined OFL and ABC, and then, when we get requests  
23 to analyze different management measures, they come after,  
24 subsequently, and that requires often -- We have what we call a  
25 decision support tool, which could be used, because the decision  
26 support tool is a tool written for Stock Synthesis, which this  
27 model was done in, which does allow us to make some different  
28 decisions about management, for example selectivity and retention  
29 and size limits, and so we could be asked to provide information,  
30 through a council request, but, typically, already the council  
31 would have decided what their catch they desire is, and they would  
32 just be looking at minimum size limits that could achieve that  
33 catch, for example.

34  
35 **BILL ARNOLD:** I just like to make sure all the options are out  
36 there, and so my second question is on your last slide, the one  
37 with the --

38  
39 **SHANNON CALAY:** It's not quite my last slide, but it's getting  
40 there.

41  
42 **BILL ARNOLD:** Okay. Sorry. That one. Talking about doing things  
43 backwards, in the past, we have established the percent reduction,  
44 and that has tacitly created a  $P^*$ , and we didn't know what it was,  
45 but it was there, and so could we do that here? For example, again  
46 using spiny lobster as an example, the SSC set a reduction of 5  
47 percent, or the council did, and I don't remember who, but that's  
48 beside the point, and I assume that could be done, and you would

1 get a  $P^*$  of like 0.48, and there's no absolute obligation to choose  
2 a  $P^*$  that's 0.5, 0.4, or 0.45, right? It's just a continuum, isn't  
3 it?

4  
5 **SHANNON CALAY:** There is no obligation to choose 0.45 or 0.4. Yes,  
6 that's correct. It could be any value below 0.5, by law. You  
7 could, essentially, decide that you want to -- You want a 20  
8 percent buffer between OFL and ABC, and that will track directly  
9 to a  $P^*$  level. They are mappable.

10  
11 These reductions will always take place at this  $P^*$  level, the way  
12 we are currently computer them, because the way we're currently  
13 computing them is to establish sigma min and to establish  $P^*$ , and  
14 so we're not using directly the PDF that comes out of the stock  
15 assessment, because, typically, projections that come out of stock  
16 assessments have much lower uncertainty, because so many of the  
17 parameters are fixed and not estimated.

18  
19 That sigma min and  $P^*$  cause this reduction to be able to be directly  
20 mapped to a  $P^*$  level, the way we're computing it today, and so,  
21 yes, you could. If you wanted to say a 20 percent reduction, we  
22 could map it directly to the corresponding  $P^*$ .

23  
24 Now these ABCs show you how sigma min of 0.5 and this  $P^*$  affects  
25 this estimate of OFL, and so here's OFL, and these are the ABCs  
26 that would be derived using a different  $P^*$ , but now let's use 0.4,  
27 just as an example, and the sigma min of 0.5 to compute the ABCs  
28 for each year in each island platform.

29  
30 **MARCOS HANKE:** Shannon, excuse me. I have a question that I think  
31 is to the previous point. Julian and then Kevin.

32  
33 **JULIAN MAGRAS:** This goes back to your first presentation of where  
34 you're putting out the preliminary OFLs. In 2020, you have a  
35 number of 185,943 pounds. Now what we're looking at is 2020.

36  
37 **SHANNON CALAY:** I introduced a confusion here, because that 185,943  
38 is actually a 2019 estimate, and so these are the same estimates  
39 that come out of the final slide of the stock assessment, but you  
40 saw 2019 as well, but I took them out of this table, because you  
41 can't actually manage 2019 anymore. It's over.

42  
43 **JULIAN MAGRAS:** Well, I understand that, but that's a problem,  
44 because you're already introducing them, and you're showing me a  
45 higher number for a fishery that's not to its potential. We are  
46 slated to have all of our hotels open up by December of 2020, and  
47 so our catch is going to go up. What I see coming out of this is  
48 you're driving me into an overfishing place that I am not

1 comfortable with, because I previously saw that number of 185,000  
2 pounds, which should actually be the number for 2020.

3  
4 **SHANNON CALAY:** Correct.

5  
6 **JULIAN MAGRAS:** I am just putting it out there to the council that  
7 I think that these numbers need to be revisited, so we can come up  
8 with the right, corrected number, and so I'm a little confused.  
9 If I'm wrong, correct me.

10  
11 **ROY CRABTREE:** When do we expect we would get the 2019 landings?

12  
13 **KEVIN MCCARTHY:** That is entirely dependent upon territorial staff  
14 and their ability to get the data entered. I would hate to give  
15 them a deadline, because they sure don't work for me, but I think  
16 it's late spring, May let's call it.

17  
18 **ROY CRABTREE:** Shannon, if we got you the estimates for 2019, you  
19 could plug them into these projections and do that relatively  
20 easily?

21  
22 **SHANNON CALAY:** Yes, that's absolutely possible and routine.

23  
24 **ROY CRABTREE:** If our goal is to get this done by say the August  
25 meeting, we should be able to get those landings, and, if Julian  
26 is right and they come out lower, plug them in, and that would  
27 raise the values for future years, and so I think we can do that.

28  
29 **MARCOS HANKE:** Kevin.

30  
31 **KEVIN MCCARTHY:** A couple of things. One, in response to -- Well,  
32 let me clarify. There's a caveat with the landings for Puerto  
33 Rico, because recall that there is an expansion or a correction  
34 factor that gets added in, and sometimes that's delayed beyond  
35 what the actual input of the landings are, and so it's a little  
36 more complicated for Puerto Rico, and so I wouldn't want to --  
37 Well, first of all, I can't tell any of the staff down here when  
38 they need to have the data entered, but, typically, they're on  
39 about the same pace as the data entry is on the mainland, which is  
40 several months behind, and that's -- We've got late reports coming  
41 in and all of that kind of stuff, and so that's one thing.

42  
43 The other point that I had, before we got off on that subject, was  
44 I feel like we're entering a period of confusion here between what  
45 P\* is and what scientific uncertainty is, because I'm starting to  
46 hear this how can we work the numbers, and that's really not the  
47 intent here, and so I guess I would back up and ask Shannon to  
48 say, in your experience, what falls under the heading of scientific

1 uncertainty, because Bill asked a question about does this larger  
2 minimum size -- How does that fall into scientific uncertainty and  
3 how can we account for that, and would you put that in the realm  
4 of scientific uncertainty, and, if so, what else is in there, and,  
5 if not, what else is in there? What is scientific uncertainty, in  
6 your experience, versus the P\* factor?

7  
8 **SHANNON CALAY:** The Science Center right now has essentially  
9 advised that this sigma value, which is the width of the PDF that  
10 we're talking about, be determined by the SSC, and you can't,  
11 unfortunately, use directly the bootstraps that might come out of  
12 the stock assessment, because that usually will produce an  
13 underestimate of the true uncertainty, because it is just one  
14 realization of a model, for one reason, and you saw, with the  
15 Ralston paper that I showed you, that, if we were to conduct the  
16 stock assessment over and over again for years, there would be  
17 more uncertainty between the models than in any one model, than  
18 within a model.

19  
20 The other reason being that, because this is quite a data-limited  
21 stock assessment, many of the parameters are fixed, and they are  
22 not estimated, and so there is no uncertainty in that parameter.  
23 Of course, there really is. Of course, we don't know natural  
24 mortality exactly, and so, if we go to more advanced stock  
25 assessment techniques, once the data begins to improve, we might  
26 be able to free up some of those fixed values and better estimate  
27 the true uncertainty, but, right now, what we've asked the SSC to  
28 do, or what we've recommended, is that the SSC establish what's  
29 called this sigma min value.

30  
31 **KEVIN MCCARTHY:** That's scientific uncertainty.

32  
33 **SHANNON CALAY:** Which represents the scientific uncertainty in the  
34 estimate of OFL.

35  
36 **KEVIN MCCARTHY:** I just wanted to make sure that everybody is clear  
37 on -- We've got all these new terms that are flying around, and we  
38 should use words for a while, so that everybody is clear on what  
39 they mean, because I have to step back and say, okay, what does  
40 this mean, and I do some of this stuff, and so just so everybody  
41 is clear on the first go-round of this that the terminology and  
42 the roles and responsibilities for who does this part and who does  
43 that part -- Just I think we need to establish, in everybody's  
44 mind, what is happening here.

45  
46 **SHANNON CALAY:** Now assuming that -- These are all preliminary  
47 numbers, and the one reason I say that is because the SSC has not  
48 finished their discussions about their decision about sigma min,

1 for example, and so now what they have is an informal  
2 recommendation of 0.5, and, because you're in Tier 3, that gets  
3 doubled, and so it's a CV, essentially, of 1.0, and it's quite  
4 broad, and so you're saying that the scientific uncertainty is  
5 quite large, and these are the P\* values.

6  
7 This is the risk of overfishing that the council is willing to  
8 accept, knowing that, if you do exceed OFL, that you have to take  
9 actions to immediately end overfishing and potentially rebuild a  
10 stock, if it is also overfished, and so you see these percent  
11 reductions here, and this is computed with a two-times sigma min  
12 of 0.5, otherwise a sigma of 1.0, and that's where these come from.  
13 If you chose a different sigma min, these reductions would be  
14 different.

15  
16 **KEVIN MCCARTHY:** Except for 0.5. 0.5 gets you that no matter what.

17  
18 **SHANNON CALAY:** Correct. 0.5 is always the same. OFL is always  
19 equal to ABC, and there is no scientific uncertainty. The last  
20 slide is now you have annual and island-specific estimates of OFL  
21 from the stock assessment. If you assume a sigma min of 0.5, and,  
22 in this case, I have assumed a P\* of 0.4, just for convenience of  
23 illustration, and these are the ABCs that result.

24  
25 As Julian has mentioned, and others, Tony I believe, any time --  
26 For example, in 2019, you saw that value of roughly 180,000 for  
27 St. Thomas. If they caught less than that, we would update these  
28 projections, and these numbers would all increase. If you catch  
29 more than the recommendation, we would update these numbers, and  
30 they would decrease, and so that is a process that we typically do  
31 for councils that use stock assessments to produce management  
32 advice. It just requires a council request to get updated  
33 projections on the calendar.

34  
35 Here is how the ABC is computed using a P\* of 0.4, which is your  
36 responsibility to select the P\*, and this is just an example, and  
37 here's how they compare to the ACLs from the 2012, from the ACLs  
38 from the island-based fishery management, and from the SEDAR 57  
39 estimate of MSY. You can see that they are essentially all near  
40 or above the 2012 ACL, but they are below the island-based FMP  
41 ACL, which was estimated using the Tier 4 catch-only rule.

42  
43 **MARCOS HANKE:** Thank you for your presentation. This is probably  
44 one of the most important presentations we are going to have in a  
45 long time, and there is things that we are all learning how to  
46 interpret, and I'm going to make a point that, as a fisherman, for  
47 me it's hard to understand.



1 Once you go to the SEDAR discussion, and you see the graphics, and  
2 you see the comparisons, and you see the trends on the population,  
3 on the fishery, on the landings, and I'm going to use Puerto Rico  
4 as an example. You see very stable things that match, match with  
5 the formulas or the scientific expectations of it, in most cases,  
6 and they match what the fishermen expect from it, right, and that,  
7 for me, is really hard to assume a widening example on the paper  
8 that are reached with a different gear and different scenario  
9 applied to this and like not a copy-and-paste, and I know that we  
10 are all learning on it, but, for my part, I would say that I need  
11 much more time to learn about it.

12  
13 There is no other fishery in the Caribbean that is as known as the  
14 lobster fishery, in terms of how stable and how it has been  
15 performing and the gears that have been used and the data that  
16 have been supplied. Basically, I am raising a flag that I think  
17 -- I am using myself as an example, but we need to understand what  
18 the sigma min means and if the truly applies to us to 0.36 or how  
19 that dynamic works out.

20  
21 **MARCOS HANKE:** You don't really need to understand that. What you  
22 need to understand is the consequences of adopting one or the  
23 other, because, for that, you have to read that paper that Shannon  
24 mentioned, and it's going to complicate it. Actually, I was trying  
25 to follow it here, and it's over my head.

26  
27 I will leave Shannon and Kevin to fight with that, but, by the  
28 way, I have some information about the -- Puerto Rico probably  
29 will have the numbers that you need by July, and we are trying to  
30 see if Daniel can hurry up and give us the number, and they are  
31 getting close to having the numbers by the end of the year each  
32 year, but, anyway, the important thing, I believe, for the  
33 councils, and we are not pushing you to make a decision today, and  
34 the decision probably will have to be made in August, where you  
35 have more elements of judgment and you have more information to do  
36 this, but do you remember one time when we were discussing  
37 something here with Bonnie Ponwith, and the only two people who  
38 knew what the hell they were talking about was Roy and Bonnie?

39  
40 We got confused with the 50 percent and the 25 percent and all  
41 those percentages, and I keep saying that, for a fisherman, what  
42 you need is how much you can get away with that is legal and will  
43 not get me into trouble in the future, and what we need to do here,  
44 in August probably, is to get from here to August to get you as  
45 much information as possible. We can even have a short seminar to  
46 discuss all of this, if you want to make sure.

47  
48 If you have questions, you can send it to us or discuss it here,

1 and that's why we moved Graciela's presentation to tomorrow  
2 morning, and, this afternoon, we can continue with this discussion,  
3 until you have all your questions cleared up, but rest assured  
4 that we won't be able to understand all the intricacies of the  
5 mathematics of this in one day.

6  
7 It will take years to figure that out, but, as Marcos is saying,  
8 as a fisherman, you need to know what are the consequences of  
9 adopting one or the other, and that's what I believe that Shannon  
10 has done a tremendous, excellent job, and I sound like the  
11 President now, with those fantastic words, but I believe this is  
12 the best explanation that we have heard so far of the intricacies  
13 of the  $P^*$  and everything, and so I believe that, after lunch, we  
14 can continue the discussion and probably go back to some of the  
15 key questions that you have and go to the -- For example, go to  
16 the graph where you have the  $P^*$  at the X-axis all the way from  
17 0.25 to 0.50, and then you have the sigma number, but just to make  
18 sure that we understand that part, and then we'll go again, because  
19 people are asking me, Miguel, what the hell is  $P^*$ ?

20  
21 If you are still hooked up with  $P^*$ , all the other things just --  
22 You hear it, but you are still thinking, what the hell is  $P^*$ , and  
23 I believe that Shannon has done the best possible explanation on  
24 the  $P^*$ , but after lunch we will go back and discuss it a little  
25 bit further.

26  
27 The other point that Tony and Julian were bringing to the table  
28 is, when you have these projections and these numbers, and you  
29 take that home, you scare the hell out of people, because they can  
30 compare what they are catching, what they predict they are catching  
31 -- Every fisherman predicts what they are catching. Otherwise,  
32 they don't pay the rent, and so they know what they are catching,  
33 more or less, and so they have an idea of the reality of life  
34 whenever you have these numbers that they can compare with.

35  
36 Mr. Chairman, I believe that we can break for lunch for an hour-  
37 and-a-half, and then please jot down your questions, so that, when  
38 we come back, we can ask Shannon and Kevin and the people around  
39 the table, so you get out of this meeting with a better  
40 understanding of the process, and remember that you won't be able  
41 to make a decision at this time, but at least you will have an  
42 idea of where to go.

43  
44 That table in the lower-left, from 0.25 to 0.50, with the 0.4, it  
45 gives you an indication that, if you are going to pursue this using  
46 the best available data and best available methodology, and you  
47 want to have the minimum risk that you can get, but, at the same  
48 time, it will stop you from going overfishing, and considering

1 that this is not a fishery with a lot of information with the time  
2 series, you may go from 0.4 to 0.45, but 0.5 is too risky to go.

3  
4 It may sound good at the beginning, but if, at the end of the year,  
5 you go over the OFL, the next year you will have problems, and  
6 remember that you won't have problems immediately, because you  
7 have a three-year average and all that, but this is the discussion  
8 that we need to have.

9  
10 Then, between here and August, if you need to have a special day  
11 to discuss all of this, you can do that, and this is under the  
12 spiny lobster. For the other species, as the Italians say, forget  
13 about it, because we don't have any information, and so that's  
14 what we would like to suggest, Mr. Chair.

15  
16 **MARCOS HANKE:** Thank you, Miguel, and we are on the same lines.  
17 One thing I request is the opportunity that we have you here, and  
18 now, over lunch, for sure we're going to talk about it and come  
19 with better questions to understand, and one thing that one of the  
20 fishermen mentioned to me is that we're going to create a new  
21 system, a new way of looking into this, that historically has been  
22 fishing for lobster, and, to the point of today, we think that the  
23 status of our resource is in good shape.

24  
25 We haven't been overfishing or doing bad things to the resource,  
26 but they are afraid of creating something that artificially  
27 precludes them from having access to something that they have been  
28 responsible for and doing a good job as a fisherman and as an  
29 industry, but we need to learn those concepts, and that's my  
30 request. I really want to take the opportunity to have you and  
31 Kevin and the people in the room to instruct as, as council  
32 members, about that. We can break for lunch, if you want to say  
33 something.

34  
35 **SHANNON CALAY:** I think just a parting thought about  $P^*$  is  $P^*$  is  
36 just the probability of overfishing, and so all this means is that,  
37 if you caught 160,433 pounds, the stock assessment model indicates  
38 that you have a 50 percent probability that you are actually  
39 overfishing, and so that's all that  $P^*$  is, is your probability  
40 that you are overfishing, and so, basically, the decision needs to  
41 be made on just how much cost and other unfortunate outcomes arrive  
42 when you have an overfishing declaration, and so it's really --

43  
44 That's why it's basically a council prerogative to determine their  
45 risk of overfishing, because you need to determine how much you  
46 want to avoid an overfishing determination, and, if the risk is  
47 very high to you that a big catch reduction, for example, would  
48 have high costs to the fishery -- If you want to avoid triggering

1 that determination, you might choose a more precautionary  $P^*$ , but,  
2 if you're fairly confident that you understand the risks of that  
3 overfishing determination and that you're willing to accept a  
4 higher risk, then you might choose a value closer to 0.5, and so  
5 that's what  $P^*$  is. It's just the acceptable probability of  
6 overfishing.

7  
8 **MARCOS HANKE:** Let's go for lunch, because there's a combination  
9 of questions associated to that that are going to come up, and we  
10 can come back at 1:30. Thank you, everybody, and let's break for  
11 lunch. Thank you.

12  
13 (Whereupon, the meeting recessed for lunch on December 10, 2019.)  
14

15 - - -

16  
17 December 10, 2019

18  
19 TUESDAY AFTERNOON SESSION  
20

21 - - -  
22

23 The Caribbean Fishery Management Council reconvened at the Hilton  
24 Ponce Golf and Casino Resort, Ponce, Puerto Rico, Tuesday  
25 afternoon, December 10, 2019, and was called to order at 1:30  
26 o'clock p.m. by Chairman Marcos Hanke.

27  
28 **MARCOS HANKE:** We're coming back and being ready for the discussion  
29 and being promptly sitting down and ready to go. Diana first.

30  
31 **DIANA MARTINO:** For everybody that drove to the meeting and are  
32 going back home, I have the tickets for the parking. They gave us  
33 a special rate of ten-dollars plus taxes, and so, whoever needs  
34 the ticket, just come to me, and I will give it to you, the ticket,  
35 and then I would like to announce that, in the evening, at seven  
36 o'clock, we're going to have dinner at the Playa Ponce Fishermen's  
37 Association. We can meet at the lobby, and you can follow me, and  
38 Miguel has a van, and he can carry nine people. We are having  
39 this as part of our Sustainable Seafood Campaign.  
40

41 **MIGUEL ROLON:** This is a meeting with the fishers of Playa Ponce,  
42 Puerto Rico. It's one of the key fishing centers of the south  
43 coast of Puerto Rico, and it's being supported by the Mayor of  
44 Ponce, but they have a tradition of many years of fishing.

45  
46 The opportunity is to allow the council members and visitors that  
47 we have today to see a cozy place that the fishermen call the  
48 fishermen's association, and then we have a chef, the one that

1 Carlos and Marcos is familiar with, the one that goes to CHOW,  
2 Juan Carlos, and he's professional, and he accepted to participate,  
3 and so, tonight, we are going to offer three species that are not  
4 commonly caught and sold in our markets, and we want to alleviate  
5 the pressure that some of the other species that are having through  
6 the years.

7  
8 Probably if people get to taste them and they like them, then we  
9 will have another plan for those three species, but, at this time,  
10 we are going to provide that tasting to you. All of you are  
11 invited. You don't have to come if you don't want to, but it will  
12 be a nice setup, and it will be for around two hours, and so we  
13 expect people to be back by nine o'clock.

14  
15 **DIANA MARTINO:** Thank you.

16  
17 **MARCOS HANKE:** Thank you, Diana. We can keep going with the  
18 presentation and the questions. Shannon, we're going back to you.

19  
20 **SHANNON CALAY:** Do you want me to take the podium or just answer  
21 from here?

22  
23 **MARCOS HANKE:** Whatever you feel comfortable with.

24  
25 **SHANNON CALAY:** I will try it from here, for the time being. Are  
26 there any further questions about either presentation?

27  
28 **MARCOS HANKE:** Julian.

29  
30 **JULIAN MAGRAS:** I still have a lot of issues with what's going on  
31 here, and one of the things that really caught my attention, right  
32 before we broke for lunch, is, back in August of 2018, the SSC  
33 worked for almost two years or better in coming up with scalars  
34 and buffers for all the different managed species identified by  
35 the council.

36  
37 I am just going to talk on the lobster, because the lobster is  
38 what we have here at the table, and the SYL for the lobster was  
39 set at 367,000 pounds, and the ABC was set at 220,221 pounds. Now,  
40 looking at what the numbers that I see up here today, I see a very,  
41 very big difference in those numbers.

42  
43 The fishery management plans right now that are being reviewed for  
44 approval, those are the numbers that are sitting in that plan,  
45 and, for my life, I can't understand how -- If we have a fishery  
46 that was in the 4a tier and has been moved to Tier 3, which is no  
47 longer undergoing overfishing or overfished, where our numbers are  
48 supposed to increase, here once again we're taking almost another

1 75,000 to 100,000 pounds decrease.

2  
3 I am lost, because this -- We spend so much time, and you're  
4 driving us to the point now that we are actually standing a very  
5 good chance of actually going into overfishing, and so I would  
6 like some clarification on where we're headed.

7  
8 I know we're not looking at none of the other species, because we  
9 haven't done assessments on them, and so those new scalars and  
10 buffers that are in place are going to stay in place until we do  
11 assessments on those species, but here it is that we have taken  
12 the first stock ever, and we're moving them from an overfished  
13 stock to a Tier 3, which is not undergoing overfishing anymore,  
14 but, instead of us getting an increase, we're going to take a  
15 massive decrease.

16  
17 **SHANNON CALAY:** I certainly understand your concerns, and Tier 4  
18 uses only catch information and some scientific examinations to  
19 try to decide whether the stock is likely to be at risk of  
20 overfishing, and so it does not include any information at all  
21 that allows us to estimate the current stock status, and so it's  
22 a guess, essentially an educated guess, with scientific  
23 information.

24  
25 When the Science Center at least initially proposed a strawman  
26 rule, which later was adopted somewhat by the SSC and by the  
27 council, it was our intention, given that in Tier 4 you have only  
28 catch, and you have no real reliable information to actually make  
29 a status determination for the stock, it was the Science Center's  
30 intent to set ABC and SYL at levels that would be unlikely to  
31 trigger an overfishing determination or an overfished  
32 determination without cause, and so they are fairly high levels.

33  
34 It was also kind of the Science Center's understanding that it was  
35 unlikely that the ABC level, or the SYL level, would be attained  
36 by a fishery year after year after year. It was thought instead  
37 that those might be excursions from a mean or a median level of  
38 fishing that would occur infrequently and would be unlikely to  
39 substantially damage a stock.

40  
41 We were trying to create a control rule that was unlikely to  
42 trigger management actions without sufficient cause, because we  
43 did not have a stock assessment in Tier 4, and no ability to  
44 actually estimate status determination criteria.

45  
46 There is no guarantee, as you have noticed, that, when you move to  
47 Tier 3, that you will get a higher catch. That will depend on how  
48 accurate -- Basically, you can't estimate things like MSY or OFL

1 quantitatively using catch only.

2  
3 You just can't, which is why we try to develop stock assessment  
4 advice instead, but, when we move up to Tier 3, it may be that,  
5 for some stocks, the information suggests that we can accept a  
6 higher level of catch, and for some it will be lower, and there is  
7 no way to know that until we actually conduct these stock  
8 assessments.

9  
10 You are correct that the catch only Tier 4 control rule does give  
11 you a higher level of catch, but it is not informed by the  
12 scientific information that was used for the Tier 3 stock  
13 assessment, and so it is certainly the Science Center's  
14 recommendation, and it was also the Center for Independent Expert  
15 Reviewers' recommendation that the Tier 3 stock assessment  
16 conducted by SEDAR 57 was superior in terms of the scientific  
17 information used, but it does produce a lower estimate of ABC, and  
18 I understand why that causes concern, and so did you want to --

19  
20 **JULIAN MAGRAS:** I want to ask a question, because how do you come  
21 up with a lower number? What do you use now to come up with a  
22 lower number? What scalars and what buffers did you use, because  
23 I didn't see this come back to the SSC, where it would normally go  
24 through, and say, well, listen, we need to revisit the scalars and  
25 buffers that were used before, and that hasn't come back to the  
26 SSC, who gives the council the recommendation of how we move with  
27 that.

28  
29 **SHANNON CALAY:** The SSC determines ABC, and, to do so, they need,  
30 from the council, a  $P^*$  estimate, and that's what they need. Once  
31 they have  $P^*$ , they can compute the ABCs that they will then  
32 recommend to the council. What I showed you is just an example,  
33 making an assumption of the sigma min preferred by the SSC  
34 currently and a  $P^*$  that I made up myself, which was 0.4, and so  
35 those are provisional, based on your final determination of  $P^*$   
36 here at the council, and so nothing that I presented is a final  
37 ABC. That all comes from your SSC, and sorry for all the acronyms.

38  
39 **JULIAN MAGRAS:** Okay. Well, I would like to see some numbers at  
40 some point, but, for right now, if possible, if we can see  
41 something with -- The SSC set a 0.05 before, and I would like to  
42 see that be used and get the  $P^*$  from that and back-calculate --  
43 Recalculate it off of that, and if we can see some numbers on that,  
44 to see what they look like, for St. Thomas and St. John, and I  
45 would be interested in seeing that.

46  
47 **SHANNON CALAY:** The 0.5 sigma min --  
48

1 **JULIAN MAGRAS:** 0.05.

3 **SHANNON CALAY:** 0.05?

5 **JULIAN MAGRAS:** The SSC set a 0.05 before, and we would like to  
6 see that, and we would like to get the P\* from their 0.05 that was  
7 set. Bill, can you help me with some clarification on this,  
8 please?

10 **MIGUEL ROLON:** If I may, I believe that you are mixing two things  
11 here, and you need to clarify that before you continue the  
12 discussion. Bill.

14 **BILL ARNOLD:** I can clarify. I think what Julian is saying is  
15 that, when they determined their reduction, that their reduction  
16 was 5 percent, and this pertains to what I had asked Shannon  
17 earlier, during her presentation. You can set a P\*, and that gives  
18 you your percent reduction, and you can also set a percent  
19 reduction and get the P\* from that, and so what Julian is  
20 suggesting is to use that 5 percent reduction and calculate your  
21 P\* accordingly, and there you have it.

23 **ROY CRABTREE:** That was a reduction off of some level of average  
24 catch or something, I assume, that we did there?

26 **BILL ARNOLD:** That was the SSC's estimate of uncertainty.

28 **MARCOS HANKE:** Roy.

30 **ROY CRABTREE:** Our goal here, and our obligation, is to get better  
31 information and improve the science that we have. That doesn't  
32 mean that the catches are always going to go up. They may go down,  
33 and so don't expect that, every time we get more information, it's  
34 going to show you can catch more, because it -- There is no reason  
35 to think that's always how it's going to work out.

37 **MARCOS HANKE:** Bill.

39 **BILL ARNOLD:** A little clarification might help, and I think  
40 Shannon would agree with this, but please let me know if you don't,  
41 but, as she said about these projections, I think too much emphasis  
42 is being placed on the projections, and I think these projections  
43 more than one year out, or maybe two, should be totally ignored,  
44 because, if my understanding is correct, the Science Center will  
45 re-estimate what they think, or what they expect, a reasonable  
46 catch can be, based on new landings data, and that is done by the  
47 Science Center and not through a SEDAR process.



1 You don't have to go through a formal process, and the Science  
2 Center can do that, and so you can do it pretty responsively, and  
3 so it's not like it's going to take years to get that done. You  
4 can do that for 2020, or 2021, or whatever, and so new projections,  
5 one-year projections, are going to be constantly available, and  
6 these projections that are going out three or four years --  
7 Scientifically, they provide you with some guidance, but, on a  
8 practical level, they're not that useful, and would you agree with  
9 that, Shannon?

10  
11 **SHANNON CALAY:** Well, I do agree. I mean, there are certainly  
12 stocks -- First of all, you're correct. The projections that we  
13 would make do not have to go through a SEDAR process. They are  
14 just requested by the council, and they are negotiated in terms of  
15 a timeline with the Science Center, but, basically, what we would  
16 need are updated landings information, and so, when those updated  
17 landings are available, the council could request that we update  
18 the projections, and that's a routine request made by the South  
19 Atlantic Council and made by the Gulf Council, and it doesn't  
20 usually take us a great deal of time once those landings are  
21 available.

22  
23 The only stock that I think we estimate annually is red snapper,  
24 but this could become your Caribbean red snapper if you like, but  
25 there is a real workload issue at the Science Center, and there is  
26 a negotiation process that happens, and there are times when, to  
27 meet one objective, another has to be postponed, and so those are  
28 the kinds of conversations that we would have, but, that being  
29 said, we consider updated projections a fairly routine task.

30  
31 **MARCOS HANKE:** Miguel, did you have something to say?

32  
33 **MIGUEL ROLON:** A couple of things, and this is what I said before.  
34 Sometimes it's better not to know than to know, because you can  
35 guess a nicer scenario, but, now that you have the information,  
36 you have to abide by the law, and so you have to be careful with  
37 that.

38  
39 The other thing is the fishermen say is tell me how much I can get  
40 away with, tell me how much I can put on my table, my boat, and  
41 then figure out the numbers, and usually that's more or less what  
42 Julian is bringing to the table, but, now that we are on this path,  
43 I have information from Puerto Rico.

44  
45 The Director of the Laboratory said that they will finish the data  
46 for spiny lobster for 2019 in May, and so it goes with what Kevin  
47 already said. They will have the data collected and digitized,  
48 and the correction factor will be included in the same month, May,

1 and so you will have the raw data and the correction factor, and  
2 the Center will use that information for the models that they are  
3 working on.

4  
5 **MARCOS HANKE:** Thank you, Miguel. Can you hold for a second for  
6 Tony? Tony, go ahead.

7  
8 **TONY BLANCHARD:** Okay. Let me just get straight to the point. I  
9 sit down here, and I'm watching these numbers on the screen  
10 earlier, and they don't ring a bell, and usually, when I see  
11 numbers, somewhere along the line, they come into play, and I  
12 remember them somewhere along the line, and I don't remember the  
13 numbers that was up on the previous presentation.

14  
15 This is what I am going to ask, since I ain't afraid to ask. I'm  
16 going to ask the Commissioner if he could call up Fish and Wildlife  
17 and request the year sequence between 2012 and 2016 for the numbers  
18 on the lobsters, because, usually, when something don't sit good  
19 with me, it don't sit good with me, and so, to suffice me, I want  
20 to know what the numbers was, to match them against what we had,  
21 because they don't ring a bell.

22  
23 As for the projections, it seems like these projections always go  
24 downhill for us, and they never go uphill, but, like Roy said,  
25 we're building stocks that go up, but I believe that, in the slides  
26 of the projections, St. Croix was going up, and my question is  
27 some things make sense and some things don't make sense to me.

28  
29 I would like the numbers for those years, if possible, from Fish  
30 and Wildlife, to suffice me, and I will ask for St. Croix numbers  
31 too, since I am on the same page, and then I would also like to  
32 bring to reality the yearly looking of this estimating the stocks.  
33 Like you said, they do it for the red snappers.

34  
35 Well, the reality of it is, as we all know, we is a small fish in  
36 the pond, and so we will get run out of town by the bigger fish,  
37 and I'm not saying it's impossible for us to get this yearly, but  
38 we all know that, as far as I could see, unless I am proven wrong,  
39 that this won't happen year-round, and so I am not sitting back  
40 and waiting on a promise to a fool that we will be looking at these  
41 stocks every year, and that's just my opinion on how I'm sitting  
42 now and looking at it. I can say that something is suspect about  
43 the numbers to me, and so, to suffice what I think, I would like  
44 to see them on the board, coming out of Fish and Wildlife.

45  
46 **MARCOS HANKE:** Thank you. Bill.

47  
48 **BILL ARNOLD:** I have a procedural question, Shannon. If, as is

1 possible, the Science Center does not have the opportunity to look  
2 at the new numbers, then do you hold at the level you're at, or do  
3 you follow the projections?

4  
5 **SHANNON CALAY:** Well, let's just talk about what is typical. I am  
6 involved with a group that typically reports to the Gulf Council  
7 and the Caribbean Council, and so, for example, in the Gulf  
8 Council, we usually give them three to five-year projections. We  
9 prefer three.

10  
11 At the end of the last year, if we have not had an opportunity to  
12 re-assess the stock, to update the stock assessment, then you would  
13 typically -- It depends on whether the stock is rebuilding or  
14 whether it's stable, but, basically, you would -- Well, maybe Roy  
15 is the better person to respond. What happens when our projections  
16 expire? What is the common practice?

17  
18 **ROY CRABTREE:** Well, the ACLs go into the regulations, and they  
19 stay there until we change them, and so sometimes we'll get  
20 projections and we'll put the catch levels in for three years  
21 running, and they might be going down, or they might be going up,  
22 and then, at the end of that, they just stay where we would set  
23 them. Now, then we would try to get an update before we got to  
24 it.

25  
26 Other times, we have taken an average and set some sort of average  
27 value, until we get the next update, and so there's a variety of  
28 ways to do this, and, as I said earlier, I think what we need to  
29 do is come up with kind of a range of  $P^*$  that we're interested in  
30 and get the SSC to give us that numbers, and we can look at those  
31 at the next meeting. Then we can talk about how many years out do  
32 we want to use the projections, and do we want to do some sort of  
33 average, and how do we want to deal with that.

34  
35 I would see some sort of back-and-forth with the SSC and the  
36 Science Center and figure out what were going to do, and then we  
37 can try to put something in place in the second-half of next year  
38 and get it done before we get into the 2021 season, and so I think  
39 there are things that we have to figure out, but they're not  
40 decisions that we're going to make today.

41  
42 **MARCOS HANKE:** Tony.

43  
44 **TONY BLANCHARD:** Let me try and be very clear. Before I come into  
45 even thinking about any  $P$  factors here, we need to come up with  
46 some numbers of what I requested.

47  
48 **ROY CRABTREE:** You're requesting the landings?

1  
2 **TONY BLANCHARD:** I am requesting the landings from 2012 to 2016  
3 out of Fish and Wildlife, which I am asking the Commissioner, and  
4 I'm not telling him to do it, because, at that point in time, we  
5 were functioning at basically 100 percent capacity.

6  
7 **ROY CRABTREE:** Okay. I mean, I think those landings are in the  
8 assessment, and so we have them.

9  
10 **TONY BLANCHARD:** Because the numbers that were shown on the board  
11 earlier don't ring a bell.

12  
13 **SHANNON CALAY:** I have them in a table.

14  
15 **ROY CRABTREE:** I would say we can find those numbers and put them  
16 up and then tell us what doesn't ring a bell. I don't know if we  
17 actually saw them or not.

18  
19 **SHANNON CALAY:** I think there was a slide in the first presentation  
20 that had the landings data used in the stock assessment, and it  
21 was Slide 10 of the first presentation, I think. These were the  
22 landings data that were included in the stock assessment, and these  
23 will be -- There will be tables of this data in the stock assessment  
24 report, which will be a lot easier to read than these charts, and  
25 this is what was provided to us through the SEDAR process.

26  
27 **TONY BLANCHARD:** You had another chart with the predictions.

28  
29 **SHANNON CALAY:** Okay, and so you're talking about the projections?

30  
31 **TONY BLANCHARD:** Yes, the projections.

32  
33 **SHANNON CALAY:** Okay, and that is at the end of the presentation.  
34 Again, I want to caution people that 2017 and 2018 are assumed  
35 landings. We did not have the landings data available to us, and  
36 so, if the landings data for 2017 and 2018 were provided, we would  
37 update that data. 2019 through 2022 are projected landings,  
38 assuming that we fish at FMSY, which is a measure of effort.

39  
40 This is not a predicted catch. This is a limit, above which you  
41 would be overfishing, and this is the OFL. Now, Tony mentioned  
42 that, each year, from 2019 to 2022, these catches decrease, and  
43 that is because the stock assessment says that this stock is above  
44 the level of biomass that corresponds to MSY, and, because we are  
45 meant to give you the maximum level of catch that can be sustained,  
46 the stock assessment allows you to take that surplus each year,  
47 until you get down to the level that produces MSY, which, in the  
48 case of St. Thomas, is 134,000 pounds.

1  
2 **ROY CRABTREE:** If you projected that out for like ten or fifteen  
3 years, it would get to MSY, and then it would just stay there.  
4

5 **SHANNON CALAY:** Correct. This downward trajectory will happen  
6 every time you have a stock assessment where it says that you are  
7 above the level that produces MSY, the stock assessments, unless  
8 you tell them otherwise for some reason, like if you tell them to  
9 produce constant catch. You can do that.

10  
11 This tells you that you can take the maximum catch allowed to you  
12 each year that does not produce overfishing, and so it allows you  
13 to fish the stock down to the level of biomass that produces MSY,  
14 and so this stock trajectory -- If you looked at the spawning  
15 biomass, it actually does decline each year until it achieves SSB  
16 at MSY, in which case it would stay flat.

17  
18 It's kind of counterintuitive, but, when you have a stock that's  
19 actually overfished, we create what's called a rebuilding plan,  
20 which allows a stock to recover, and, under those scenarios, you  
21 typically see the allowed catch increase each year, and so this is  
22 not an indication that the stock is in bad shape. It's actually  
23 an indication that it's in good shape, but that levels as high as  
24 185,000 pounds in 2019 -- That catch is not sustainable forever.  
25 It's something you can take this year, because there is a surplus.

26  
27 **TONY BLANCHARD:** -- with a big female and a big male and a  
28 measurement, and why I was asking you that was I wanted to know  
29 where these numbers came from, meaning whether they was caught in  
30 the Gulf or they was caught in the Caribbean, because that's two  
31 different fisheries, as far as I can see.

32  
33 I believe we have bigger numbers than was reflected on the board,  
34 but, if you show me in pounds what that calculated to, I would  
35 have a better idea, and seeing how we basically target a mid-  
36 stream, a mid-sized, lobster, we are losing the smaller ones,  
37 because of the size limit, and we are losing the bigger ones  
38 because of the market value and not being able to move it.

39  
40 I think this is a misrepresentation of what the fishery is actually  
41 all about, and so, if you start off -- It's like building a house.  
42 If you start off and your footing is no good, I don't care how  
43 strong you build the rest of your house, your house ain't going to  
44 stand up. It's only as strong as the footing, and so that's the  
45 point that I'm trying to bring here.

46  
47 You see it as numbers, to a certain degree, and we see it as money,  
48 because that's how we get paid, and so the more I could get --

1 When I say the more I could get, I want to make sure that -- Like  
2 you may say that I get the most bang for my buck, and that's what  
3 we want. We don't want to undercut ourselves.

4  
5 Now, we don't want to overfish either, but we want to make sure  
6 that we're getting as good of a deal as possible, and, when I see  
7 numbers, and I don't believe that that's really how it should be  
8 looked at, or there is something suspect, I am going to question  
9 it, because that's my money.

10  
11 That's the rest of the guys that I represent their money, and, at  
12 the end of the day, when things go south, they are going to come  
13 to me and ask me why this is so, and I've got to answer now, and  
14 so I've got to be able to live with the decision that I make, and  
15 so I've got to make sure that I'm making the right decision, as  
16 far as the best decision I could make. It's not about questioning  
17 your credibility, but it's about questioning how I think things  
18 are looked at, and maybe it should be looked at differently.

19  
20 **MARCOS HANKE:** Miguel and then Vanessa.

21  
22 **MIGUEL ROLON:** I asked Graciela if she had the information, and  
23 she has the table there. The thing is, for the fishers, for us,  
24 for me, it's very difficult to project that to the reality of my  
25 backyard, and so I asked Graciela to just give us the numbers that  
26 are talking about, Tony, from 2016, and you will see the total  
27 landings, because it's very difficult to see how your fishery  
28 behaves in looking at these numbers.

29  
30 From a scientific point of view, it makes a lot of sense, but, for  
31 the fishers, we would like to see the composition of the landings,  
32 similar to what David Olsen did a long time ago, when he had thirty  
33 years or so and he did that. Mr. Chairman, with your indulgence.

34  
35 **MARCOS HANKE:** Yes. The graphic is on the way. Vanessa, please.

36  
37 **VANESSA RAMIREZ:** I wanted to just make a comment in the same line  
38 of Tony and Julian about the numbers. Practically, already we  
39 know that the data from Puerto Rico is very wrong. Just to make  
40 a simple exercise, in just two fish markets, they make 5,000 per  
41 week, just two of them, and I have ten in my town, and so, just  
42 with that exercise, we know that we are going to be over.

43  
44 Since last year, we have been working with the commercial fishermen  
45 to -- With the education program of PEPCO and MRIP, to tell them  
46 why they should be giving the real numbers, and so they are  
47 starting with that, and then they are going to receive less  
48 numbers, and just -- I don't know how we can work with that, but

1 I think that the numbers in 2019 will not reflect the reality,  
2 again, and so I think that we should have like one or two years  
3 more of that.

4  
5 **MARCOS HANKE:** Thank you, Vanessa. Do you have the graphic,  
6 Graciela?

7  
8 **GRACIELA GARCIA-MOLINER:** It's a table, and so the data will be  
9 there, in the thousands of pounds that are reported.

10  
11 **ROY CRABTREE:** Can you back up to the landings slide again, and I  
12 think it's Number 10?

13  
14 **MARCOS HANKE:** Julian.

15  
16 **JULIAN MAGRAS:** Just to answer you, Dr. Crabtree, those numbers  
17 look right, because we are a market-driven fishery. What happens  
18 if we decide that we want to export? Automatically we overrun  
19 that ACL.

20  
21 It states on the Magnuson-Stevens Act that everything that takes  
22 place is we got to promote commerce, and we just had this as one  
23 of our presentations at the meeting not too long ago, and we were  
24 going off of the 220,000 pounds that was set by the SSC, and so  
25 here it is that we had a meeting, and we promoted commerce at the  
26 meeting, and now, all of a sudden, we're looking at these numbers,  
27 and there's a 90,000-pound difference in what was presented, even  
28 though it was not finalized at the time, but it was approved to  
29 move forward in the island-based management plans.

30  
31 With the outcome of the SEDAR 57, we end up with this new number  
32 of 134,000 pounds, and I think that's what I saw up there, and a  
33 question that I was going to ask Shannon and the team is was any  
34 scalars or buffers used in those numbers now, because it still  
35 goes back to -- You used the scalars and buffers before, because  
36 you had a healthy fishery, and you felt that the fishery could  
37 have sustained more pressure, due to the fact because of the  
38 market-driven issue and because of the economy issue, and all of  
39 those factors were taken into place when we spent all the time  
40 looking at those numbers. Now we come up with these new numbers,  
41 but has any buffers or scalars been added to those numbers?

42  
43 **ROY CRABTREE:** Can you move up to Slide 21? That one will give  
44 you the MSYs, and there is no buffers in that. That's the estimate  
45 of what the maximum sustainable yield from the fishery is. Right  
46 there, and, if you can enlarge it a little bit maybe, but you can  
47 see the bottom line.

1 There is the estimates of maximum sustainable yield, and so, based  
2 on this analysis, that's the most you can expect to get out of  
3 this fishery, and those numbers, as I said, match up pretty close  
4 with the peak landings you have ever had over the years, and so  
5 those are the best estimates we have now, and there is no buffer  
6 applied to that. That's just the number. Your ABC will be less  
7 than that.

8  
9 **JULIAN MAGRAS:** Okay. I understand that, but this is what I am  
10 saying. We had a number before that we worked off of from 2012 to  
11 2016.

12  
13 **ROY CRABTREE:** I get that.

14  
15 **JULIAN MAGRAS:** We went off of that, and we applied the buffers  
16 and the scalars, and, with all of the information that was  
17 provided, it gave the scientists enough information that they felt  
18 that the fisheries could have taken more, and we looked at those  
19 same landings, that same 134,000 pounds, and we looked at all of  
20 that in our discussions, and what was still applied was buffers  
21 and scalars that brought the numbers up, and we're talking MSY  
22 there. In the paperwork that went in, sustainable yield was at  
23 three-hundred-and-sixty-seven --

24  
25 **ROY CRABTREE:** I get that, Julian, but my point is we have a new  
26 analysis and a new assessment here, and it's giving lower numbers,  
27 and it's not buffers. That is the numbers that are coming out.

28  
29 **JULIAN MAGRAS:** But it's the same number that was presented to the  
30 SSC before, and they felt there was enough justification. This is  
31 my arguing point. They felt there was enough justification that  
32 that fishery could have taken an increase, because of the 3.5  
33 carapace length and all the rules and regs that were in place.  
34 This is what -- We are going right back to that. Now you are  
35 saying something totally different.

36  
37 **ROY CRABTREE:** I don't know what the SSC will do. We have this  
38 assessment and this analysis, and we'll see where we wind up, but  
39 those are the numbers that we have right now.

40  
41 **MARCOS HANKE:** Miguel.

42  
43 **MIGUEL ROLON:** I believe that we came to the top of the discussion.  
44 You will not have anything else out of the discussion, and so my  
45 suggestion, Mr. Chairman, is we have other issues. Remember that  
46 we tabled the next item in the agenda for today, and, although  
47 Bill is retiring, we don't want to piss him off and push it for  
48 the next meeting, and I suggest, Mr. Chairman, that we stop it



1 here and let the -- Remember that, the way this works is the --  
2 That's the other thing that I was going to ask. Do you need a P\*  
3 decision at this meeting, or do you want to throw it to the SSC  
4 and then come back at the spring meeting?

5  
6 **ROY CRABTREE:** I think what you should do is come up with kind of  
7 a range of values that you want to see P\* for. We're going to get  
8 50 percent, because that's MSY, basically, and do we want to get  
9 them to give us 45 percent, 40 percent, 35 percent, and we'll see  
10 what the ABCs would be at those levels, and then we'll come back  
11 to the discussion at the next meeting? I don't see how we're going  
12 to pick a P\* today, and so the best we can do is give them a range  
13 we would like to see how it shakes out and then we look at it at  
14 the next meeting.

15  
16 **MARCOS HANKE:** Miguel.

17  
18 **MIGUEL ROLON:** That's exactly what I was asking. That way, you  
19 will have all the elements to make a decision the next time, and  
20 the analysis will be done by the staff. I asked Graciela to put  
21 a table there, and probably the last one we want to see, but it  
22 goes to Tony's question. Tony, you were asking about 2012 to --

23  
24 **TONY BLANCHARD:** 2012 to 2016.

25  
26 **MIGUEL ROLON:** Yes, and we have it there.

27  
28 **TONY BLANCHARD:** When it was operating at full capacity.

29  
30 **GRACIELA GARCIA-MOLINER:** This is what you had requested, is the  
31 data from the SEDAR, and so that's 2012 to 2016 for St. Thomas  
32 specifically, and it reads the year on the left-hand side, the  
33 diving, poundage landed, pots and traps, other gear, and the total  
34 landings, and so that's the data that was used for the SEDAR 57,  
35 and that's the data that was incorporated in all the work that had  
36 been done to date.

37  
38 **MIGUEL ROLON:** If you look at the table, the most you did was  
39 121,000, 13,000 less than the MSY that you were discussing.

40  
41 **TONY BLANCHARD:** Okay, and so that's not including any factors  
42 that would come into play, correct?

43  
44 **MIGUEL ROLON:** No, it doesn't have -- Forget about that factor.  
45 The only people that we have a problem with that factor is Puerto  
46 Rico. The numbers that you get from the U.S. Virgin Islands go as  
47 they presented directly to the Center. In Puerto Rico, before  
48 they sent the Table 3, which is the one that has the report, and

1 they also have what they call the factor that accounts for the  
2 escapement of data, which the fishers statistics project cannot  
3 get.

4  
5 The Center uses the raw data rather than the one with the  
6 correction factor, but, anyway, the point is that, for the next  
7 meeting, you have to indicate what you want to see. Do you want  
8 to see the behavior of 0.5, the behavior of 0.45, or 0.4? Then  
9 you can take the decision at that time, and that will be probably  
10 in August. The question to Shannon is, using that thing between  
11 here and that, considering that Puerto Rico will have the numbers  
12 ready by May, if we are lucky --

13  
14 **SHANNON CALAY:** I think it's two separate questions. Once the  
15 data are available, I think then we can negotiate how long it will  
16 take us to complete the updated projections, and it should be  
17 relatively -- I mean, I'm guessing it would be on the order of six  
18 weeks from the time we received the data, but I haven't received  
19 the data yet, and so I don't want to promise when these projections  
20 could be updated.

21  
22 We can definitely give you a range of  $P^*$ , and, if you're more  
23 comfortable with just telling us the reduction that you want, that  
24 can also be done, and it would map to a  $P^*$  level, and so, however  
25 you are most comfortable giving us that range, we can compute ABC.  
26 Then, of course, it has to go to the SSC, because the SSC then  
27 establishes the ABC recommendation and not the Science Center.

28  
29 **MARCOS HANKE:** Miguel.

30  
31 **MIGUEL ROLON:** I believe that, in order to have a better grasp of  
32 the situation, we can tell the Center the level of reduction that  
33 we want, and, also, we can ask her -- If we don't get the data on  
34 time for 2019, we can have an analysis of how the behavior of the  
35  $P^*$  will result, and so those two can be done.

36  
37 That goes back to what Julian was mentioning, the 0.5 reduction,  
38 and then remember that all of this has to be taken to the meeting  
39 of the SSC, because the SSC is the one who flips that information  
40 for you, but I don't want anybody leaving the room here thinking  
41 that what we are doing is to get the higher number for you to play  
42 with. At the end, you may end up having a lower number, but at  
43 least you will have a justification for it.

44  
45 The other thing that I wanted to -- Once you have these numbers,  
46 the decision does not necessarily have to be made by you. It can  
47 be made for you in court, and so we have to be careful what we ask  
48 for, but, at this time, to summarize, Mr. Chairman, we have the

1 information presented of SEDAR 57 and the best available data, and  
2 we have shown the years that Tony mentioned, 2012 to 2016, and we  
3 are asking now for the Center to consider the reduction of 5  
4 percent, and we are also asking the Center to provide us an  
5 analysis of the different range levels of P\*, from 0.4 to 0.5, and  
6 I don't think that you want to consider 0.25, unless you want to  
7 shoot yourself, and so 0.4 or 0.45 or 0.5, and that's something  
8 that Shannon, I believe, can have for the next meeting in August.

9  
10 In the meantime, between here and August, we may have good news  
11 that the island-based FMPs have been approved, and there is no  
12 guarantee of that, but it's when you establish the island-based  
13 FMPs that you can focus on these issues better than now, and so,  
14 Mr. Chair, I propose that we move over and allow this presentation  
15 that is following, because that other presentation has bearing on  
16 the discussion of spiny lobster, but we need to hear from you  
17 whether you agree or not with what I just said.

18  
19 **MARCOS HANKE:** From my point, I was holding on until -- I really  
20 think that we need to do the exercise from 0.40, like you said,  
21 Miguel, up all the way to 0.5, and to have those numbers for us to  
22 keep the education process, to really understand what is going on,  
23 and I want to ask the two other persons that are going to  
24 participate now to be very brief, because we need to go to the  
25 other item, and the last one is Tony and then Bill.

26  
27 **TONY BLANCHARD:** Okay. Let me support the 0.4 to the 0.5, like  
28 Marcos asked for, for the P factor that we're talking about,  
29 correct?

30  
31 **MARCOS HANKE:** That's correct.

32  
33 **TONY BLANCHARD:** Let me see St. Croix's numbers, because I can't  
34 see the heading to the top. Okay.

35  
36 **MARCOS HANKE:** Thank you. Bill.

37  
38 **BILL ARNOLD:** This is a question for Jocelyn, and it's not clear,  
39 and I want to make sure that we do this right. The SSC has brought  
40 recommendations regarding this assessment to the council. Does  
41 the council now have to vote on this, to accept them or anything,  
42 or what?

43  
44 **MARCOS HANKE:** Roy.

45  
46 **ROY CRABTREE:** No, and they are the recommendations of the SSC,  
47 and we're asking for some additional looks from them, which  
48 presumably they will give those to us, and, if not, then -- Like

1 I said, there's going to be some back-and-forth between the council  
2 and the SSC to figure this out, but we've got until the second  
3 half of next year to get there, and I think we could, and so I  
4 think we're good.

5  
6 **MARCOS HANKE:** Thank you, Roy. Jocelyn, did you want to say  
7 something?

8  
9 **JOCELYN D'AMBROSIO:** I agree with what Roy said, and, as Shannon  
10 had said, the SSC recommends the ABC, and so, ultimately, if you're  
11 getting projections from the Science Center, and then the council  
12 is choosing their risk policy through the P\*, then that would go  
13 back to the SSC, and then the SSC could evaluate and provide the  
14 recommendations, and so, as Roy said, there's going to be some  
15 back-and-forth, and the Science Center and the council and the SSC  
16 are, obviously, the players here.

17  
18 **MARCOS HANKE:** Perfect. We are ready for the next item on the  
19 agenda. Thank you very much, and I want to just make a comment  
20 that I think we went very far ahead, farther than what I expected,  
21 in terms of understanding the process, and we are getting, little  
22 by little, in the right direction, and I really like the way the  
23 whole council interacts with this very important step that we are  
24 taking, and we have to be very assertive and cautious, but  
25 effective at the same time, and we have been doing that that way,  
26 and thank you very much to everybody. The next item on the agenda  
27 is -- Bill, we will do your presentation now.

28  
29 **REVIEW OF PERTINENT STATE AND FEDERAL MANAGEMENT REGULATIONS IN**  
30 **USVI**  
31

32 **BILL ARNOLD:** What I want to talk about is -- I want to talk about  
33 a USVI topic, and this managing trap fisheries, and this all kind  
34 of came, originally, from their request to get the use of  
35 recreational traps in federal waters under control, but it's much  
36 more complicated than that, and so here's a brief overview of the  
37 council and constituents' request to review three intertwined  
38 topics of recreational trap use in federal waters, extending the  
39 fish trap reduction plan to federal waters, and revising spiny  
40 lobster management.

41  
42 You have got sort of a general thing, you've got a fish thing, and  
43 you've got a lobster thing, but they are wrapped up in one another,  
44 and so, at the April 2019 council meeting, the motion was direct  
45 staff to develop amendments to each of the FMPs, and that would be  
46 the St. Croix and St. Thomas FMPs, the new ones, to address the  
47 use of fish traps and pots in the EEZ, and so that was the setting  
48 for all of this.

1  
2 As I say right there, of course, nothing is ever that simple.  
3 Prior to addressing these three issues, existing regulations need  
4 to be clarified, and there is a variety of issues, and I want to  
5 point out that Jocelyn is the legal advisor or, if the USVI  
6 representatives have any disagreements with this or point out  
7 anywhere that I was wrong, I won't be surprised at all if there's  
8 things that I missed, and so don't hesitate to speak up.  
9

10 What I would say, after looking over the regulations and looking  
11 at the situation, is, if you want to extend fish trap regulations  
12 into federal waters, the first thing you have to do is establish  
13 an unequivocal distinction between what a fish trap is and what a  
14 lobster trap is, and, as far as I can tell, that does not exist,  
15 and so, if a law enforcement officer came upon a fisherman, and he  
16 pulled his trap when the law enforcement officer said that I want  
17 to look at it, I don't know that the law enforcement officer would  
18 be able to tell, by looking at that trap, that it is a fish trap  
19 versus a lobster trap, and that's a very important determination  
20 if you're going to have fish-trap specific or lobster-trap specific  
21 regulations.  
22

23 Second, you would have to straighten out the design and  
24 construction requirements and trap and buoy markings, and you  
25 wouldn't necessarily have to do that, but I would say, as I go  
26 through, that you will see that there are probably some issues  
27 that need to be dealt with there.  
28

29 Then, third, state and federal spiny lobster compatibility will  
30 require consideration of licenses and permits, minimum harvest  
31 size, requirements for imports, retention of undersized and egg-  
32 bearing, use of chemicals, and ACLs and AMs, and you will see, as  
33 I go through this, that there is a lot of inconsistencies in each  
34 of these issues.  
35

36 The first thing is trap use by recreational fishers. The USVI  
37 prohibits the use of pots, traps, haul seines, and set nets by  
38 recreational fishers, and that's in the Virgin Island Code, 312(k).  
39 The need is for appropriate management of the use of pots and  
40 traps, and perhaps other gear, depending upon what you want to do,  
41 by recreational fishers in USVI EEZ waters.  
42

43 I want you to pay particular attention to the word "appropriate",  
44 because this is the EEZ, and, of course, to create management  
45 regulations, or modify them, in the EEZ, the council has to follow  
46 the mandated process.  
47

48 They have to consider a range of alternatives, and they have to

1 choose the best alternative, based upon biological, ecological,  
2 physical, social, economic, and administrative considerations, my  
3 point here being that the council can't just be told that we want  
4 you to do this and then do it. They've got to go through this  
5 elaborate process, and you have to keep that in mind, and the  
6 outcome of that elaborate process may not be what you hope or think  
7 it could be, and so that's an important consideration always when  
8 we're developing regulations.

9  
10 Then this idea of extending fish trap reductions to federal waters,  
11 and so the council established these two trap reduction steering  
12 committees in the USVI, one for St. Croix and one for St. Thomas/St  
13 John, and their outcomes were not identical. They were close, but  
14 they weren't identical, and so, for example, for St. Croix, the  
15 purpose was to develop proposed programs for reducing effort and  
16 increasing the economic efficiency of the USVI fish and lobster,  
17 and keep in mind that this is your fish trap reduction program,  
18 but, right in it, they mention lobster trap fishing, and so,  
19 already, you are asking yourself, well, where do we want to go  
20 with this.

21  
22 Over on St. Thomas, the purpose was to develop fish trap management  
23 plan, which would reduce effort. These are quotes right out of  
24 these plans. It would reduce effort and increase the economic  
25 efficiency of the USVI fish and lobster trap fisheries. Now, there  
26 may be a good reason for including that, but, here, you've got  
27 fish trap management plans, and here you've got the lobster trap  
28 fishery. Again, before the feds can move forward -- If the state  
29 wants to do this, this is great, but, before the feds can move  
30 forward, they need clarity on this, so that they can establish an  
31 appropriate response that meets the needs and the requests of the  
32 council.

33  
34 Second, the STX Trap Reduction Steering Committee is composed of,  
35 and, again, these are right out of the fish trap documents, of  
36 fish and lobster trap fishermen, and this one says the STT/STJ  
37 Steering Committee is fish and lobster trap fishermen supported by  
38 state and federal reps and the chief scientist, and that's kind of  
39 old stuff, and so, regardless, each of these plans was approved a  
40 long time ago, 2013, by Roy Pemberton and Alicia Barnes, and was  
41 received by Carlos Farchette, as the Council Chair at the time, on  
42 December 9, 2013. That's where we were.

43  
44 Then the actual final approval of these was received in 2017, and  
45 I don't need to read all this, but that's four years, and things  
46 have changed, but notice I've got underlined here "implement fish  
47 trap reduction", and so now, already, you have got some confusion  
48 going on here between we're doing a fish trap reduction, and we've

1 got spiny lobster in there, and we don't have a clear distinction,  
2 and I will get to this, between what a fish trap is and what a  
3 lobster trap is, and now you're creating some confusions, and,  
4 confusions, legally, you can drive freight trains through, because  
5 it only takes a small confusion to create a big loophole, and, in  
6 front of a judge, the judge is going to go, get out of my courtroom  
7 and go fix this. Again, Jocelyn, correct me when I'm wrong,  
8 please.

9  
10 Now we go to trap construction, and this is very confusing to me,  
11 and I'm easily confused, and I admit that, and so, in St.  
12 Thomas/St. John, the reg book states that fish traps must have a  
13 minimum two-inch-square mesh, or one-and-a-half-inch hexagonal  
14 mesh, as the smallest mesh on two sides of the fish trap.

15  
16 However, in 12 Virgin Islands Rules and Regulations, the  
17 requirement is for St. Thomas and St. John fish traps to have a  
18 mesh size of at least two inches square or, if hexagonal, two  
19 inches between opposite sides, and so there is a conflict between  
20 the regs in the booklet, which, of course, probably doesn't hold,  
21 but I am just putting out what's there, and the actual regs, which  
22 is different, and this is important if we're going to create  
23 regulations to manage these things.

24  
25 In St. Croix, the regs book states that all traps must have a  
26 minimum one-and-a-half-inch hexagonal as the smallest mesh on two  
27 sides of the fish traps, all traps, fish trap. R&R states, for  
28 STX, that all fish traps must have a mesh size of at least two  
29 inches square or, if hexagonal, two inches between opposite sides.

30  
31 Then, in the Virgin Island Code, it states that no fish trap, fish  
32 pot, or lobster pot constructed of wire mesh can have a mesh size  
33 smaller than 1.25 smallest dimension. Now, that doesn't rule out  
34 these other ones, because they are bigger, but you kind of get my  
35 point that things aren't as clear as we might want them to be, and  
36 I want to emphasize that I'm not saying all of this to criticize  
37 the USVI.

38  
39 I am just saying it because we need to -- The council will need  
40 full clarity on this before they can move forward with any federal  
41 regulations, and so please don't take this wrong, and, again, I  
42 could be totally confused myself, and so that's why I wanted to  
43 put this stuff out there, because, if we're going to move forward  
44 with these fish and lobster trap management efforts, we need to  
45 start from a common, solid ground.

46  
47 Trap construction continued, federal regulations for fish traps,  
48 and so, see, we screw up too, is mesh size depends upon the material

1 and the shape. Then, for spiny lobster traps, they do not address  
2 mesh size or construction materials, other than for escape panels,  
3 and so now we've got this dichotomy, and so what's the need?

4  
5 The need, in my opinion, is, within each of the St. Thomas/St.  
6 John and St. Croix management areas, the USVI regulations need to  
7 include a description of allowable construction, including mesh  
8 material and size, for each of the fish and lobster traps, and I  
9 would like to point out that, if your fish trap and your lobster  
10 trap are the same thing, then there is no point in having fish  
11 management regulations or lobster management regulations, because  
12 it's all the same thing.

13  
14 You could say you can have fifty fish traps, but we're not going  
15 to regulate lobster traps, and so the fisherman only has to say,  
16 well, I've got fifty fish traps and 10,000 lobster traps, and  
17 they're all exactly the same trap, and you've got nothing to go  
18 on, and so, if you want to have separate management of fish and  
19 lobster traps, you've got to be able to distinguish between what a  
20 fish trap is and what a lobster trap is.

21  
22 Ideally, the compatible federal legal descriptions should be  
23 consistent throughout the Caribbean EEZ, and not the individual  
24 island EEZs, but all three of them, and so that's important, and  
25 that's why Puerto Rico needs to pay attention to, because, even if  
26 the individual islands want to have separate approaches, and we  
27 can have separate approaches in the EEZ, and these sorts of things  
28 create both enforcement and judicial potential issues, and I'm not  
29 saying they do, but these are the things that we want to pay  
30 attention to, and, like I said, you need to clearly define them as  
31 either a fish trap or a lobster trap.

32  
33 Here is some of the traps, and this is from Nelson and Carlos.  
34 They sent me all these pictures and described them, and so tell me  
35 where I'm wrong, you guys.

36  
37 Here is a St. Croix wood lobster trap, a St. Croix plastic lobster  
38 trap, a wire lobster trap, and I wish you could see those a little  
39 bit better, and then St. Thomas/St. John wood and plastic, and  
40 they're similar, but there's a lot of different constructions.  
41 There are St. Thomas/St. John other traps, and I don't know what  
42 an other trap is. This was from the spiny lobster presentation  
43 given at the 2014 council meeting, August 2014 council meeting. I  
44 guess these are -- I'm sure you guys, the fishermen, recognize  
45 these and can tell us exactly what they are, but could an  
46 enforcement agent tell you for sure that these are lobster traps  
47 or these are fish traps or whatever? Maybe they can.



1 Then here's more from the USVI, and you've got the rectangular,  
2 box, arrowhead, arrowhead with bunch berry wood frame, arrowhead  
3 with rebar frame, z-traps, and are these fish traps, or are these  
4 lobster traps? Are they both? Are they neither?

5  
6 Then you've got Puerto Rico, and you've got a West Coast 1, and  
7 you've got a West Coast 2, and you've got an East Coast, and so I  
8 think that you get the idea. There's a lot of things out there in  
9 the water, and probably more than this, and how do you manage  
10 those, and how are you going to go about managing these in an  
11 effective manner? Nothing has to change, but, if it doesn't, you  
12 need to ask yourself if it's worth pursuing in additional  
13 regulations.

14  
15 Then we go to escape panels, and this isn't quite as important,  
16 because, if you know this is a fish trap and you know this is a  
17 lobster trap, what difference does it make what their escape panels  
18 look like, but there are differences.

19  
20 In USVI territorial waters, fish pots may be constructed of any  
21 material, but they have to have an escape panel, and an escape  
22 panel is not the same as an escape vent. An escape panel is  
23 something that holds everything in for a certain period of time,  
24 but, eventually, like if it's lost, the panel falls off. An escape  
25 vent is something that is always operating that allows smaller  
26 animals to get out of that trap at all times, but it keeps the big  
27 ones in, and so it never rots out or anything, but it's just a way  
28 for undersized animals to get out. It has to be some material  
29 less durable than the construction of the pot itself, and you guys  
30 are all familiar with this.

31  
32 Similar, but more specific, regulations apply in federal waters,  
33 and I'm not going to go into this, but I just wanted to point out,  
34 again, there's a difference between state and federal regs.

35  
36 Spiny lobster regs require an escape mechanism on any vertical  
37 side no smaller than the diameter, and so it's a different  
38 explanation, and so, once again, you've got your fish traps, and  
39 you've got your spiny lobster traps, and they are not the same,  
40 but they are not different either, and that creates a problem.

41  
42 Again, you need clear and compatible regulations regarding trap  
43 escape panel design and attachment, and I use "compatible"  
44 advisedly, because maybe you don't want to be compatible between  
45 state and federal waters, but, if you want to have a smooth  
46 regulatory regime, then you're going to need that, and I wanted to  
47 point out that I didn't find any reference to escape vents, and  
48 these are the gaps and not the panels, the vents, in any of these

1 regulations, although I think, in St. Thomas/St. John, a lot of  
2 the fishermen have escape vents in their traps, and I'm not so  
3 sure about St. Croix, but those are the little box openings that  
4 small animals can get out of.

5  
6 Then there is marking traps and lines, and there's a lot of  
7 differences here, too. Again, if you want to have state and  
8 federal regulations that work, you've got to have as much  
9 consistency as possible, and USVI law allows buoys to be marked  
10 with a commercial fisher's license number. The buoy is to bear  
11 the fisher's assigned color scheme. All traps and pots must be  
12 marked with a commercial license number, and those are not the  
13 buoys. Those are the actual traps and pots sitting on the bottom,  
14 and so they have the fisher's license number, but they can't be  
15 seen from the surface. The buoys can be.

16  
17 In the EEZ, federal law requires fish traps and spiny lobster traps  
18 and their associated buoys to be marked with a vessel number  
19 specified by the USVI. Buoys must have the color code assigned to  
20 the vessel, and so, again, it's different between state and  
21 federal, and so we need clarity and consistency between state and  
22 federal regulations.

23  
24 Marking traps and lines continued, the number and location of the  
25 buoys is not described for territorial deployments. In the EEZ,  
26 individual traps must have at least one buoy that floats on the  
27 surface, and, if it's a trap line, then a buoy must be attached at  
28 end of the line, and so it would be advisable for the territorial  
29 description of a buoy location for individual traps and trap lines  
30 to also be included.

31  
32 For trap lines, clarify that a minimum of two buoys is required,  
33 and, okay, that's my opinion, one at each end of the trap line, so  
34 you know what you're dealing with, and I would ask if each trap  
35 should be required to have its own float, which would allow  
36 accounting from the surface of the water?

37  
38 If you've got a fish trap reduction plan, and you've got a  
39 fisherman that's allowed fifty traps, then, really, once those  
40 traps are in the water, they never come back out, and the only way  
41 to inventory them is to have each buoy attributable to each  
42 individual fisherman, so you can go out there and figure out who  
43 has got what.

44  
45 As long as you've got many traps that are down at the bottom of  
46 the ocean, and they can't be accounted for, then a fish trap  
47 reduction plan is, in essence, useless, because you really -- You  
48 can get them at the shoreline, but, of course, they don't have to

1 take their traps all up at the same time. Once they're out there,  
2 they're out there, and so say you get fifty. You can put your  
3 fifty out there and, three weeks later, you could put another fifty  
4 out there, and another fifty out there, and there is no accounting  
5 for it, and so that's an issue with a fish trap reduction plan.

6  
7 Now, again, that may be okay for the territories, but the feds are  
8 going to have a hard time -- We would have a very difficult time,  
9 and Roy may want to correct me, getting this through the Secretary  
10 of Commerce, because they would recognize these inconsistencies,  
11 and they would ask about them, and, even if we pushed it that far  
12 forward, they would probably send it back and say, well, this is  
13 not ready for primetime, and so that's fish marking traps and  
14 lines.

15  
16 Then the third topic is spiny lobster management, licenses and  
17 permits, and the USVI Code requires commercial fishers to have a  
18 commercial fishing license, and helpers have to have helper  
19 licenses, and a licensed commercial fisher has to be onboard, and  
20 so, as you know, much goes along with this. You have reporting  
21 requirements associated with that and catch sampling consent, and  
22 I think there are other things as well.

23  
24 To sell fish landed in the USVI, you have to have that commercial  
25 fishing license and a business license, and Randy is here, but  
26 it's my understanding that even if it's harvested from the EEZ and  
27 even with an HMS permit, and so no person not a resident of the  
28 territory may sell in the territory without proper license issued  
29 by the Commissioner.

30  
31 That can work for the territory, but it's not going to work as  
32 well -- That's a difficult proposition in EEZ waters, because we  
33 generally say that access has to be fair and equal, and, again,  
34 Jocelyn, you might want to explain that better, and so, in my  
35 opinion, the need is for -- We have even been asked this. Do we  
36 want a permit to manage spiny lobster harvest in the EEZ? If  
37 that's the case, then the above regulations governing fishing and  
38 harvesting in the USVI territorial waters and landing and selling  
39 fish will have to be considered within that context.

40  
41 A question I would ask is how often do fishers harvest in the USVI  
42 EEZ and then sell in non-USVI locations, and I have been told that  
43 this happens. For example, heading back over to Puerto Rico and  
44 selling there, or possibly even into the British Virgin Islands,  
45 and so that's another thing that needs to be considered.

46  
47 Then the minimum size limit, and the minimum size is three-and-a-  
48 half inches in all jurisdictions, and so that's easy, but, when it

1 comes to imports, things are not quite as equivalent. The USVI  
2 has a tail weight, and all you've got is the tail, and so how do  
3 you relate that to three-and-a-half-inch minimum size? You use  
4 weight, and that weight is six ounces.

5  
6 For the feds, we have a range, from 5.9 to 6.4, which really makes  
7 the tail weight 5.9, because, whether they call it six or 6.5, as  
8 long as you've got a 5.9-ounce tail, you are legal, according to  
9 federal regulations, but, in state waters, it has to be six ounces,  
10 and that is not a -- Six ounces is not the same as 5.9 ounces, and  
11 so you've got an inconsistency there. Admittedly, it's a small  
12 inconsistency, but it is still an inconsistency, and these are the  
13 sorts of things that throw things off the rails.

14  
15 More on egg-bearing. In the USVI, you are allowed egg-bearing  
16 lobster to remain in the traps in the water, with no limit on the  
17 number. Egg-bearing lobster can remain in the traps until the  
18 eggs have been naturally released, and then the lobster can be  
19 harvested, assuming it's of minimum legal size.

20  
21 Federal law requires egg-bearing lobster to be returned to the  
22 water and not the trap. Well, I don't know. How do you interpret  
23 that? Returned to the water unharmed. It can remain in the trap.  
24 Sorry. It's been a while. I was supposed to present this  
25 previously, and so I have forgotten some of it, but provided the  
26 trap is returned immediately to the water, and so they're similar,  
27 but the wording is not identical. The interpretation, I don't  
28 know. It would probably be better to make sure that you have fully  
29 consistent regulations there.

30  
31 For undersized lobster, in USVI waters, undersized lobster can be  
32 used as attractants in traps or pots, although the fisher booklet  
33 does not mention use of attractants. In the federal regulations,  
34 it states that an undersized lobster may not be possessed, sold,  
35 or purchased, and must be released with minimum harm, but there is  
36 no specific reference to using them as attractants, and so is  
37 releasing with minimum harm putting them back in the trap? I don't  
38 know. I mean, maybe everybody else does, but I don't. Again, the  
39 need is to clarify a consistency regarding the use of attractants,  
40 particularly for undersized lobster.

41  
42 Then the use of chemicals, and the use of chemicals to target spiny  
43 lobster is specifically prohibited in USVI waters, but the federal  
44 regulations state that a chemical or plant-derived toxin may not  
45 be used to harvest a Caribbean coral reef resource in the Caribbean  
46 EEZ. Well, a coral reef resource is not necessarily the same as  
47 a lobster.

1 It also states that poison, drugs, and other chemicals may not be  
2 used to fish for Caribbean reef fish in the Caribbean EEZ, but my  
3 interpretation, and I think that's the interpretation we've used,  
4 is reef fish does not include spiny lobster. We have had them  
5 separate for pretty much ever. There is no similar regulations in  
6 the USVI.

7  
8 What is the need? The need would be to prohibit the use of  
9 chemicals, et cetera, to harvest spiny lobster in EEZ waters. The  
10 USVI regs booklet states that chemicals cannot be used in the EEZ  
11 waters, but my suggestion would be that you just get a regulation  
12 out there for in the state and in the federal waters that just  
13 says you're not allowed to use these things.

14  
15 Finally, application of ACLs and AMs, this may be the biggest  
16 challenge. Annual catch limits reflect sustainable harvest based  
17 on the best available science. As such, they are our best estimate  
18 of how much can be harvested annually from each stock in a  
19 sustainable manner. I mean, that's what the ACLs are.

20  
21 Exceeding the ACL for a stock will put that stock at risk for  
22 overfishing, which is what we want to avoid to maintain  
23 sustainability over the long term. Accountability measures are  
24 the tool used by managers to ensure that harvest stays within the  
25 ACL for each stock, and there is no value to the ACL unless the AM  
26 is available.

27  
28 All ACLs are developed using combined landings from state and  
29 federal waters, as we all know, and so it's important to apply  
30 those ACLs to both state and waters and, similarly, for the AMs.  
31 Thus, the foundation of effective fishery management in the U.S.  
32 Caribbean region is compatible application of ACLs and AMs, and I  
33 know that's a very difficult ask, but I think that that is a key  
34 early step in properly managing not just spiny lobster, but all  
35 these resources across the state and federal boundary.

36  
37 The ACLs have an extended value, in my opinion, and I got this  
38 plot from Denise Johnson, our economist. It just shows how the  
39 value, the economic impact of a fishery, increases as you approach  
40 -- As you increase the percent of the ACL landed, and so, at 25  
41 percent, and these are just arbitrary numbers. If, at 25 percent,  
42 your sales are around 200, at 100 percent, they are around 5,000,  
43 and so four-times the ACL and five-times the value, and so it's  
44 not necessarily linear.

45  
46 It's a bit curvilinear there, and so, actually, and this is what  
47 optimum yield is all about. You want to harvest your annual catch  
48 limit. This is a fundamental concept of fishery management in the

1 modern age, and it's not just to conserve the resource, but to  
2 maximally, sustainably utilize the resource.

3  
4 There are additional extended values of the ACLs, and that is that  
5 it allows you -- Knowing how much you can harvest from the resource  
6 really creates opportunities that I don't think are being taken  
7 advantage of, and so it allows you to have a view of the future of  
8 your fishery, and you can use that view of the future to plan for  
9 your industry.

10  
11 You can plan -- You know, Julian mentioned exports earlier, and  
12 you can make some plans, and given that these things fluctuate,  
13 but at least you have some idea of what the future holds, so you  
14 can say does our fishery have room to grow, is it pretty much where  
15 it needs to be, is it exceeding sustainability? You can tell your  
16 kids that, if you're a fisherman. You can say, look, you guys,  
17 these are fisheries with bright futures, and here are the numbers  
18 to back that up, and so this is a good industry to get into, so it  
19 doesn't die off and we no longer have commercial fisheries in this  
20 region.

21  
22 How does it tie in with permits? It helps you to build a permit  
23 program. You know, if you're going to have permits, what's the  
24 capacity? If we've got this many fishers, and they need to land  
25 this much fish to maintain a reasonable standard of living, how  
26 much is left over? Does it allow for entry of new fishers, or do  
27 we need to reduce the total amount or shift it to another resource,  
28 et cetera, et cetera?

29  
30 The value of the ACL is not -- I mean, the implications of ACLs is  
31 not all negative. It can be positive, if you take advantage of  
32 it, and any industry needs numbers to be able to predict not just  
33 where they are, but where they're going, and these ACLs basically  
34 boil down to those numbers, and so I think that this kind of new  
35 era with the recent ABC control rule and the new island-based  
36 fishery management plans and actual achievement of a successful  
37 assessment, with hopefully more to come in the future, I think is  
38 overall a very good thing, because it's going to give you the  
39 structure and vision of your fisheries that you can use to plan  
40 for the future, and so that's a little bit of an aside, but it  
41 really ties right back into how are we going to manage these  
42 things, are we going to do fish trap reductions, and that's just  
43 one small part of how are you going to manage fisheries in the  
44 U.S. Caribbean.

45  
46 That's pretty much it, and I went through it quickly, because I  
47 know we have a busy schedule, but I'm certainly happy to entertain  
48 any questions, as best I can.

1  
2 **MARCOS HANKE:** Anybody who would like to make a comment? Miguel.

3  
4 **MIGUEL ROLON:** Remember how this all started. The fishermen of  
5 St. Thomas/St. John met with Bill and others, and we were  
6 discussing this before. We also started the discussion several  
7 years ago, where at the table we were discussing the possibility  
8 of the federal government adopting compatible regulations with the  
9 U.S. Virgin Islands and Puerto Rico regarding traps and lobster  
10 pots. Dr. Roy Crabtree at that time said that I need to know what  
11 you want.

12  
13 For you to know what you want, you need to know what you have, and  
14 so what the presentation is telling us at this time is the status  
15 of the language that you have in the regulations -- What you need  
16 to do, in order to harmonize them, and also to decide whether or  
17 not you're ready to request the federal government to establish  
18 compatible regulations for the fish traps.

19  
20 The first thing that you have seen is, okay, what the heck is a  
21 fish trap and what is a lobster trap? For those of us, we know  
22 that the straight funnel fish trap is a lobster trap, and the  
23 wooden one catches fishes too, and so we need to really address  
24 those questions.

25  
26 Then, if you go by the presentation that Bill has, there is a lot  
27 of needs and questions and things that you need to do, and I don't  
28 think that you can do it now, but we would like to hear discussion,  
29 especially from the group, council members and members of the  
30 fishing community, as to what will be the next step.

31  
32 I was talking to the Chair here, and probably the midpoint of doing  
33 something and doing nothing is a fishery management plan, and I  
34 was told that by a good friend of mine a long time ago, but, also,  
35 one way of addressing issues is by creating a committee, a  
36 committee that will work, and so, if we have a proposal, once you  
37 discuss this, as to what you want to do, to have this committee of  
38 people who are going to be working on examining the whole situation  
39 and going one by one of the items that have been prepared by Bill  
40 and then come back to the council with recommendations.

41  
42 You have to address, for example, harmonizing the laws of the U.S.  
43 Virgin Islands, and we have different sections that may show like  
44 -- They may sort of contradict one to another, and you can come  
45 back with specific recommendations to the council.

46  
47 Remember that, in the case of the U.S. Virgin Islands, the  
48 fishermen, a long time ago, before everybody was thinking about

1 this, they started talking about a moratorium, a trap reduction  
2 program, and so you need to address that too, and you need to bring  
3 them into the discussion.

4  
5 **MARCOS HANKE:** I am going to just put some points there on the  
6 table to start the discussion, because I have been working with  
7 the trap fishermen in Puerto Rico, and this is a request, that  
8 they are passing through the same struggles that you guys passed.  
9 We fish very similar, and, basically, fishermen can be very  
10 creative in the fine details of how they use their traps and where  
11 they use their traps and the size of the traps and the size of the  
12 funnel and all of that, the weight of the trap and on and on and  
13 on.

14  
15 They catch basically the same species. Some of them catch a little  
16 more of boxfish, and some of them catch a little more of this or  
17 that, but that can be because of bait, and it can be a range of  
18 different things involved in the trap fishery, but, at the end of  
19 the run, all of them catch lobster, and all of them catch fish in  
20 one way or the other. I want to address that there is little  
21 changes on it, but it's a reality, that they impact multiple  
22 resources at the same time.

23  
24 One thing that highlights to me from the fishermen is that the  
25 high-end fishermen in Puerto Rico that catch a lot of lobster, the  
26 big players, they use bigger fish traps, which is the lobster traps  
27 with the side panel with the different entrance and not the classic  
28 box with the entrance from the top.

29  
30 That, for me, is very important to say, because people that depend  
31 on lobster fishing are using wire mesh traps that in other places  
32 are defined as lobster traps, and, like I said, the way of baiting,  
33 where you put it, how you deep you put them, and how you move your  
34 traps can affect the amount of fish or lobster you catch, and the  
35 catch rate of traps, wire mesh and wooden classic lobster traps,  
36 under the same size and circumstances can be very, very similar.  
37 This is what they report to me.

38  
39 One of the biggest differences between the classic approach to  
40 read this is the top or the side entrance, and, once you start to  
41 go over all of this, the most important thing that has to be  
42 addressed by this group, in my opinion, after interacting with the  
43 trap fishermen, is the trap definition.

44  
45 After you have that, then you can consider all the rest that Bill  
46 has stated that are very important and involve all the fishers,  
47 because that, I think, will be the most important and the most  
48 difficult part. From my point, I think all traps catch lobster,



1 and all of them should be considered as traps for lobster or fish,  
2 traps in general, by definition for traps in general, and it should  
3 be addressed, instead of putting them apart.

4  
5 I know that there is other considerations, and I'm not an expert,  
6 and I am going to listen about that, but that's my input to the  
7 group. I think all traps catch lobster, and all of them are  
8 lobster traps. Julian.

9  
10 **JULIAN MAGRAS:** The only thing I'm going to say is there will be  
11 a presentation that will be given later on this afternoon, and it  
12 will clearly identify where the St. Thomas/St. John Fishermen's  
13 Association projects of interest are, and so I will wait until  
14 that presentation is given, but I would like to say a special thank  
15 you to Bill, because he spent a lot of time pulling this together,  
16 and it's a good presentation, and it's good to identify the areas  
17 of concern, because, if you actually pick up the handbooks, and  
18 you are not looking at them as carefully as he looked at them, you  
19 would never be able to really pick out the differences, because it  
20 looks very similar.

21  
22 By me looking at the presentation that he gave today, it gave me  
23 the opportunity to see where the differences are and how they can  
24 be easily corrected, and so that was a good presentation, Bill,  
25 and I look forward to working with you on completing this project,  
26 and so thanks, everyone.

27  
28 **MARCOS HANKE:** Thank you. Next is Nelson.

29  
30 **NELSON CRESPO:** Last week, I was talking with one trap fisherman,  
31 and he is the same line as Marcos. This fisherman is in the  
32 Snapper Unit 1 closure, and he used to fish yelloweye snappers in  
33 deep water, but, when the closure came, he moved his traps to the  
34 shore to trap lobsters, and he uses the same trap, and he is very  
35 efficient for the snappers and for the lobsters, and so we are  
36 talking about what you requested me to ask to the fishermen about  
37 how to catch big lobsters in traps, to try to develop maybe some  
38 study regarding the big lobsters. That is coming through with  
39 that conversation.

40  
41 **MARCOS HANKE:** Thank you, Nelson. Miguel.

42  
43 **MIGUEL ROLON:** Remember the first question that Bill asked was  
44 whether you think we need to do something. There is always no  
45 action. If you are going to do something, you have to figure out  
46 where we are and where we want to go, and so, especially from the  
47 council members, we need to hear if you're happy with where we are  
48 and what we need to do and so forth.

1  
2 **MARCOS HANKE:** Carlos.

3  
4 **CARLOS FARCHETTE:** I remember one of the meetings, and it was maybe  
5 about two or three meetings ago, Roy Crabtree stated that he would  
6 like to have a description of the USVI plan, and so I think the  
7 first thing we need to do is have the USVI lobster, spiny lobster,  
8 management plan.

9  
10 St. Croix already started that, through the Fisheries Advisory  
11 Committee, and we have a committee of nine members, a sub-committee  
12 of nine members, that have a draft plan, and it has a description  
13 of what a lobster trap is, which is a top-entrance trap only, and  
14 it can be made of wire or wood or plastic, but it must have a top  
15 entrance, to differentiate from a fish trap.

16  
17 I have spoken to quite a bit of fishermen on St. Croix, and I spoke  
18 to one from St. Thomas, who said that a trap with a top entrance  
19 rarely ever catches fish, and, Marcos, you mentioned that it might  
20 have a boxfish, or it might have a triggerfish, who is actually  
21 going in to target the lobster.

22  
23 I have interviewed divers on St. Croix who also own traps that say  
24 that they have noticed, while diving, that, if lobster are in the  
25 trap before the fish, the fish really don't go in those traps. He  
26 doesn't know why or what the reason is, but they just stay away  
27 from the traps. If there's already fish in there, the lobster  
28 goes in, and that's a different story.

29  
30 When it comes to compatibility, the St. Croix FAC also formed a  
31 sub-committee of four people, which are going to work  
32 electronically to look at both federal and local regulations, to  
33 do a spreadsheet and see where we are and where we aren't  
34 compatible and how this can work out.

35  
36 We are also doing that as another sub-committee of four people,  
37 and we're going to work electronically, on recreational bag limits,  
38 because, right now, in the territorial waters, the only  
39 recreational bag limit that exists is queen conch, and I think  
40 tuna for recreational harvest, and the ninety-nine-inch marlin for  
41 recreational harvest, and that's the only thing that we have for  
42 back limits for territorial waters.

43  
44 The fish trap reduction plan that Bill was talking about up there  
45 has problems in it, and that needs to be corrected before the  
46 federal government decides to adopt the trap reduction plan in  
47 federal waters. There is a fee in there that is wrong, and there  
48 is something that was never mentioned in that plan, which is what

1 happens if a fisher who does not meet the control date, but gets  
2 a license transfer from a fisher who has traps, and he decides to  
3 sell him his gear, and he really doesn't qualify to fish those  
4 traps, because he never met that control date, and so that has to  
5 be fixed in that plan.

6  
7 Also, the spiny lobster control date. If that's not implemented  
8 right now, but you have fishers, both on St. Croix and St. Thomas,  
9 who, because they cannot get into the fish trap fishery, they are  
10 putting out lobster traps. They will be after the control date,  
11 and so what do you do with these guys? There are a lot of issues  
12 that need to be discussed, and the FAC for St. Croix is trying to  
13 work through these issues, and it's going to take a while. That's  
14 really what I have for now.

15  
16 **MARCOS HANKE:** Julian and then Tony.

17  
18 **JULIAN MAGRAS:** I just wanted to say that the question was asked  
19 by Miguel to the council members of what you guys would like to do  
20 with this, and I'm not a council member. I'm a DAP Chair for St.  
21 Thomas/St. John, and I truly believe that, since we are in the  
22 process of moving to island-based management plans, that we need  
23 to move forward and continue working on this project.

24  
25 Each island needs to work and get all their rules and regs in place  
26 with working with the federal officials and everything, and I  
27 really -- I was one of them that brought it up, along with Mr.  
28 Blanchard, that we need to look into this, and we need to move  
29 forward with this, and so I'm hoping that the council would support  
30 us in moving forward with addressing the issues, both regulatory  
31 and looking at the trap reduction plan and looking at the lobster  
32 control date and control rule and so forth, and so that's my  
33 comment.

34  
35 **MARCOS HANKE:** Miguel.

36  
37 **MIGUEL ROLON:** Excuse me, Tony. I believe that the council is by  
38 all means in support of -- By support, I mean help you with the  
39 logistics and all that, and what Carlos presented probably will be  
40 a step in the right direction. We should allow the Virgin Islands  
41 to finish what you have, and you have two sub-committees that --  
42 When do you think that the report from those committees would come  
43 out?

44  
45 **CARLOS FARCHETTE:** Well, with the spiny lobster draft, we have  
46 already started, but we are missing -- I've got to say that Bill  
47 has helped us out, because we called him at home at night, and  
48 sorry about that, but still to be determined is those in the

1 fishery before the control date -- We have to specify something  
2 about that, and we have those entering the fishery after the  
3 control date, and what do we do with those people, and those  
4 entering the fishery due to existential circumstances.

5  
6 While I'm on the trap thing, we have -- I have two fishermen on  
7 St. Croix, and I don't know what they are doing here, but they are  
8 going down at 600 and 800 feet with lobster traps, top-entrance,  
9 and they are catching a -- Although it's not managed, but they're  
10 catching a species of lobsters with claws, and it's like cherry  
11 red in color, and I told them to send me a picture, but they  
12 haven't done it yet, and I don't know if they are worried that  
13 maybe I will try to regulate it, but I just wanted to see it, and  
14 even if it is a lobster and not a shrimp, and it's a pound-and-a-  
15 half or two pounds or something like that.

16  
17 **MIGUEL ROLON:** The point is, Mr. Chairman, that you should allow  
18 the U.S. Virgin Islands to finish what you started, and so, once  
19 you finish all of that that you're saying in 2020, and hopefully  
20 we have the island-based FMPs implemented, we can then narrow the  
21 discussion, in this case, to St. Croix, because remember that you  
22 have, in St. Croix, to figure all these problems, or not problems,  
23 but challenges. We don't say "problems" anymore. These challenges  
24 that you have, and then, in 2020, you might be able to again have  
25 a report that these are the recommendations for the local  
26 government.

27  
28 **CARLOS FARCHETTE:** Right.

29  
30 **MIGUEL ROLON:** Then these are the recommendations for the federal  
31 government, but we need to have a U.S. Virgin Islands management  
32 regime before we move forward to the federal government. Then, in  
33 the case of St. Thomas/St. John, I believe that they will start  
34 working on the same issues, with maybe different outcomes, because  
35 you have a different situation from one island to the other.

36  
37 In the case of Puerto Rico, you have the famous Junta, which is  
38 the equivalent of the fishery advisory committee of the U.S. Virgin  
39 Islands, and that is something that you have to discuss at the  
40 level of Puerto Rico and decide what is it that you would like to  
41 see, in terms of management measures and amendments to the local  
42 Puerto Rico laws and regulations.

43  
44 If we can have that by let's say in the first half of 2020, we can  
45 discuss it at the August meeting, and we can help you with the  
46 logistics, as I said. For the Virgin Islands, we sent a new  
47 recording machine, so you can record every meeting, and you don't  
48 need a stenographer, and so that will be easier, and I believe

1 that you have one in St. Croix. Also, with any other thing that  
2 you think that we can help you with.

3  
4 If I understand correctly, you are working with two sub-committees  
5 already in St. Croix, and then you will be ready probably sometime  
6 during 2020 with some report from those committees, and then you  
7 will identify some key issues of the people that have traps and  
8 they want out of the fishery and what they do with their traps and  
9 all that. Also, now that you mention it, please do not confuse  
10 "control date" with "control rule", because control date is easy.  
11 It's this day before and after. Control rule is a huge what do  
12 you do with the fisheries.

13  
14 **CARLOS FARCHETTE:** That's another point that I wanted to talk  
15 about, but, before I go there, you know our committee, and Nicole  
16 Angeli is on our committee, and so it makes it easier, that she's  
17 already there, as Director of Fish and Wildlife, and so, whatever  
18 we submit, she can make comments on, whether it needs to change,  
19 whether it's okay, before it gets the blessing of the Commissioner,  
20 because there is no sense submitting something to the council  
21 without the Commissioner's blessing already in there.

22  
23 **MIGUEL ROLON:** That's another point. We don't receive anything  
24 from the Fisheries Advisory Committee that doesn't come through  
25 the Commissioner. In the case of Puerto Rico, it comes through  
26 the Secretary. Just to put that on the table, because somebody  
27 asked me the question before the meeting.

28  
29 **CARLOS FARCHETTE:** Right, and my second point was there was a  
30 control date submitted for lobster traps fishing, but I am not  
31 really sure that we're not putting the cart before the horse. How  
32 can you have a control date when you don't have a definition of  
33 what that lobster trap is, or maybe you can have a control date  
34 without a defined lobster trap, and then, when you define it, then  
35 you throw it in there, and I'm not really sure how that's going to  
36 work.

37  
38 **MIGUEL ROLON:** The control date is just that, what happened before  
39 and what happened after. You can set a control date at any time.  
40 Also, you can change it at any time. It all depends on how you  
41 want to manage your fisheries, but it's important that you have a  
42 date that people can relate to and say, well, before this date, we  
43 have so many traps. If they are going to impose a moratorium, or  
44 minimum traps, I know that, after that date, I cannot have those  
45 traps, and so I have to get rid of them somehow. That's all you  
46 do with a control date.

47  
48 Then you can work on the other part, which is a control rule to

1 set the regulations that you have, that you propose and you  
2 implement, and that's another ballgame altogether, but there is no  
3 incompatibility to keep working with what you are doing and having  
4 the control date that you can target all the actions that you have  
5 before and after.

6  
7 **CARLOS FARCHETTE:** So that control date -- I mean, I see it's going  
8 to have to change, because, right now, we have people getting into  
9 the fishery of lobsters and using lobster traps, because they  
10 cannot fish the fish traps, because of that control date, and so  
11 you can't have five people setting lobster traps and then find out  
12 that it was a 2017 control date, and so you really can't have those  
13 traps, and you have already invested, and so something has got to  
14 change.

15  
16 **MIGUEL ROLON:** That is the point. Once you have a control date,  
17 and we're talking about the control date at the local government  
18 level and not the federal government level, and you can have both.  
19 They should be compatible, by the way, and it will be -- They have  
20 to be compatible.

21  
22 Let's say that you have a control date and you publish the control  
23 date that, after this date, you cannot have blue traps, and so, if  
24 you know that, as a fisherman, and you decide to invest in blue  
25 traps, you are losing your money, but you need to advertise that.  
26 Once you decide this is the control date, for whatever species you  
27 are talking about, whatever fishery, you have to advertise it, so  
28 people will know ahead of time what is happening.

29  
30 **CARLOS FARCHETTE:** So that means that the control date that was  
31 proposed before and passed by the council of September of 2017 is  
32 really -- Well, it's not implemented yet, because it's --

33  
34 **MIGUEL ROLON:** Once you have the control date -- I don't know the  
35 status of the control date. Bill, do you have any idea what the  
36 control date is? Once we start as a control date, then people  
37 have to abide by it.

38  
39 **MARCOS HANKE:** Bill.

40  
41 **BILL ARNOLD:** I was going to let Maria do this, but the control  
42 date is in place, and it's available for use, but you do not have  
43 to use it just because it's there. It's just an option that's  
44 available if it fits within your management regime.

45  
46 **MARCOS HANKE:** Tony.

47  
48 **TONY IAROCCHI:** Thank you, Mr. Chairman. Bill, first, I want to

1 say that I think we're all going to miss you, and that was a great  
2 presentation, and I hope we all are going to look forward to  
3 working with you in the future, and I went through -- The last  
4 couple of weeks, I dug out all of our old notes from the start of  
5 the old Windward Passage days, Julian, when it was some  
6 rambunctious meetings, and I made notes through a lot of the stuff  
7 that was brought up.

8  
9 Pertaining to the fish trap management plans, and I want to refresh  
10 everybody's memory here. Since the fish trap management plan,  
11 lobster management has been discussed throughout the whole thing,  
12 from the first meeting on. Everyone, all the fishermen, said, if  
13 we're going to discuss fish traps, don't forget that we're going  
14 to have to include this lobster fishery.

15  
16 The goals and priorities of these guys, from day one, was to  
17 preserve and protect the historical and cultural Caribbean spiny  
18 lobster fishery in a sustainable manner and involve all the user  
19 groups and educate the fishermen about ACLs, control rules, and  
20 the management process, and define our lobster fishery and traps  
21 and gear types used.

22  
23 When you look at that, the local fishermen have changed over from  
24 depending on the side-entrance funnel to the top-entrance funnel,  
25 depending on the sizes. Every fisherman builds a better mousetrap,  
26 and every fisherman prefers a different size trap, different type  
27 of trap, different material of trap, depending on where you fish  
28 in the deeper water, the shallower water. If you've got a bigger  
29 boat, you build a bigger trap, and you fish less traps in smaller  
30 areas.

31  
32 That all comes down to the fisherman's priority, but it all comes  
33 under definition. I don't care if you're looking at Florida or  
34 Maine or Central America. They are all using different style  
35 traps, and lobster traps are defined by both top-entrance and side-  
36 entrance, and so you've got to really prioritize this definition  
37 of what you're going to do with that.

38  
39 The status of this lobster fishery, after the data that was shown  
40 today, I see this as -- It was quoted today as a fairly healthy  
41 fishery. I think it's a robust, healthy fishery, from what I see  
42 and what I'm seeing now, other than what has happened after the  
43 hurricane, and there's been less effort and less traps in the  
44 water, and the market-driven thing, as Julian has said a hundred  
45 times, and we've got to consider that.

46  
47 Data collection, we're coming out of the -- Remember that the  
48 council and the SSC uses best available data for management, and

1 lobster fishermen throughout the Caribbean are willing to move  
2 forward using fishermen's data being used to modify and define the  
3 lobster fishery.

4  
5 It's a very, very healthy fishery, if you make a comparison of  
6 this fishery to what we've seen, and I just spent three weeks in  
7 Central America, and that fishery is in trouble, because they don't  
8 have the management stuff that you've got on the table here. They  
9 don't have the enforcement, and they don't have people looking  
10 into people that are scrubbing eggers and bringing in the shorts  
11 and the black market of this stuff.

12  
13 Florida right now is going through a crisis, because we've had  
14 back-to-back hurricanes, just like you guys did here, and your  
15 lobster fishery is in deep water. Ours is in shallow water, and  
16 we lost a lot of recruitment, and we lost a whole year of stock of  
17 fish. It's probably one of the worst lobster fisheries on record  
18 right now in Florida, and it's a very off season through Central  
19 America right now.

20  
21 The Caribbean, with their -- I hate to say this on the record,  
22 because I'm going to hear it from Roy and Julian, but this three-  
23 and-a-half-inch carapace year-round fishery here is working. I  
24 mean, I've got applaud that effort. Forever and ever, I have  
25 always -- You know, I've been around stating more about three inch,  
26 but that's what I fished forever in Florida, and we have to  
27 reevaluate and look at the research recommendations.

28  
29 We have talked about this, and Miguel has said it on the record,  
30 but how do we move forward? It's a well-managed fishery, and we've  
31 got MREP down here now, and look at the discussion today at the  
32 table. Look at Tony, and look at Nelson, and look at Julian. I  
33 mean, Ruth is sitting there now at the head of an association, and  
34 I can't stress the importance of these fisheries associations and  
35 working together through the council and working through this  
36 process.

37  
38 You heard Richard today, and where do we go next? Julian's  
39 comments about closing the gaps, and Miguel said it earlier, where  
40 do we move forward with this stuff, and it was said today that  
41 studies have been initiated and the uncertainty and the deep water  
42 and the big lobsters.

43  
44 When they had this problem, and I'm not saying there's a problem  
45 here, but in Maine, what they did, what they initiated, was an  
46 over and under gauge. The big, spawning lobster, especially the  
47 big females, they took them out of the equation. They don't let  
48 you fish for them. If there isn't a market for these big spawners



1 that you guys have got down here, it might be something to consider  
2 to only make this fishery healthier, is to look at those big  
3 females and take them out of the fishery, but that has to come  
4 from the industry.

5  
6 Marcos had talked about, this morning at breakfast, when we talked  
7 about this, but we've got all the pieces of a -- It was a great  
8 analogy, but we've got a puzzle, and we've got all the pieces of  
9 the puzzle right now, and all we have to do is -- We've got the  
10 committees, and we've got to look at it, and how do we put this  
11 puzzle together?

12  
13 We've got different types of discussion being said about  
14 attractants and the big lobsters, and I can honestly say that, in  
15 Florida, we don't use bait. We use attractants, the undersized,  
16 but we keep them in a live well, and that's how we bait our traps,  
17 and we keep them healthy.

18  
19 Here, you guys do use bait, and I know some of you guys might be  
20 using attractants, but I want to stress the importance of, from  
21 this meeting on, moving forward in how we do this. Island-based  
22 management is there, and anything I can do behind the scenes or in  
23 front or whatever, I want to help move this thing forward, and I  
24 think we'll have Bill in the background throughout this, but I  
25 think it is time.

26  
27 Richard said it, and Marcos said it, and Miguel and the fishermen,  
28 and it's time to move this thing forward. I have talked to some  
29 of the fishermen in Puerto Rico, and they were going to try to be  
30 here today, but they're not, and I talked to Julian about it, and  
31 everybody wants to help get this stuff defined and move forward  
32 with this thing. We've just got to figure out how to put this  
33 puzzle, as Marcos calls it, together, and, anything I can do, I  
34 would really like to help. Thanks.

35  
36 **MARCOS HANKE:** Anybody else? Bill.

37  
38 **BILL ARNOLD:** Just a quick aside. I think it's really nice of you  
39 people to be saying how much you're going to miss me, but I assure  
40 you that Maria and Sarah are going to do a great job, and you won't  
41 miss me for long.

42  
43 **MARCOS HANKE:** Now we have -- If there is no other questions, we  
44 have the queen conch update that we passed for this afternoon. It  
45 should have been after lunch, but, because of the priority with  
46 Shannon's presentation, we left it for later.

47  
48 **ENDANGERED SPECIES ACT LISTING DETERMINATION STATUS**

1  
2 **JOCELYN D'AMBROSIO:** I think there should be a couple of slides  
3 for that. Do you have those? Okay. This is just a very brief  
4 update on the status of the Endangered Species Act listing for  
5 queen conch, and so, at the past few meetings, I have been  
6 providing updates, and I think probably previous folks have been  
7 providing updates about whether queen conch was going to be listed  
8 as an endangered or threatened species under the Endangered Species  
9 Act.

10  
11 Just to refresh everyone's recollection, in February of 2012, NMFS  
12 received a petition from Wild Earth Guardians to list queen conch  
13 under the Endangered Species Act, and, as a result of that process,  
14 getting that petition, ultimately, the agency conducted a status  
15 review, to see if the listing was warranted, and they determined  
16 that it wasn't warranted to list the species as threatened or  
17 endangered, and they published that determination on November 5,  
18 2014.

19  
20 Then thereafter, Wild Earth Guardians and Friends of Animals filed  
21 a lawsuit challenging that determination, and that was filed in  
22 July of 2016, and so that case was pending until this past summer,  
23 and so, on August 26, the court issued its ruling, and the struck  
24 down -- They vacated that determination that the listing wasn't  
25 warranted, on a little bit of a procedural grounds, because the  
26 agency had relied on part of a policy that another court had struck  
27 down, and so the court said, in light of this change in the policy,  
28 revisit your determination.

29  
30 On the next slide, this is the next steps in light of that court's  
31 ruling, and so NMFS is going to conduct a new status review, and  
32 they have announced that they're going to do that status review as  
33 of December 6, and so there's a sixty-day comment period, and the  
34 agency is requesting information that persons have that would be  
35 related to whether or not queen conch should be listed as  
36 threatened or endangered under the Endangered Species Act, and so  
37 you could submit comments to the agency.

38  
39 The comment period closes February 4 of next year, and so there's  
40 a link to the regulations.gov, the page there and the docket  
41 number. You can enter that in, and then that's how you can submit  
42 comments to the agency, and they're going to be doing a status  
43 review, and then they will issue another determination about  
44 whether or not the species warrants listing.

45  
46 There is contact information up on the screen for some of the  
47 biologists that are working on this, and so, if you have any  
48 specific questions, or if you have information that you want to

1 submit, you can either reach out to them, and then, again, if you  
2 want to submit information for the agency to consider, go to the  
3 regulations.gov page.

4  
5 **MARCOS HANKE:** Any comments?

6  
7 **CARLOS FARCHETTE:** Is that petition for queen conch throughout its  
8 range or just what's found in U.S. waters?

9  
10 **JOCELYN D'AMBROSIO:** They would be looking at whether or not to  
11 list it either throughout all of its range or throughout a  
12 significant portion of its range, and that was one of the questions  
13 that the court considered, how the agency defined the range and  
14 what was a significant portion, and so that's one of the things  
15 that the agency will be looking at, but, yes, it has the discretion  
16 to list it throughout all of its range or if it's a significant  
17 portion, and that's the question they look at.

18  
19 **MARCOS HANKE:** I am going to go to Kevin, and then I want to make  
20 a comment about it.

21  
22 **KEVIN MCCARTHY:** Jocelyn, just a question on the procedure here.  
23 I was involved with this thing the first time around, and I can't  
24 honestly remember if I heard anything from Colusa or not, and she  
25 was involved back in the day as well, and so, after this sixty-  
26 day comment period, what does NOAA then do?

27  
28 **JOCELYN D'AMBROSIO:** That's for the status review that they're  
29 doing, and so they're going to have a status review team that's  
30 going to be putting together the status review report, and then,  
31 following that information, they will put out their determination,  
32 whether or not the listing is warranted.

33  
34 **KEVIN MCCARTHY:** Right, and so there's this comment period and  
35 then there's the status review?

36  
37 **JOCELYN D'AMBROSIO:** Yes, and so this is to gather information for  
38 the status review, and so you can provide any relevant information  
39 to the agency, and the agency will consider it as it reviews the  
40 status, and then there will be a determination on whether or not  
41 listing is warranted.

42  
43 **KEVIN MCCARTHY:** I am just curious if they're going to go back to  
44 some of the same people who were involved the first time around or  
45 what they are planning, but I guess I will wait and see.

46  
47 **JOCELYN D'AMBROSIO:** I'm not really sure who is on the status  
48 review team, but Colusa would be able to answer questions about

1 that.

2  
3 **MARCOS HANKE:** Toby.

4  
5 **WILLIAM TOBIAS:** Jocelyn, a quick question for you in regard to  
6 queen conch during a seasonal closure. The Virgin Islands  
7 government has a seasonal closure for conch, and is it legal to  
8 restrict imports into the Virgin Islands during that period of  
9 time? Can I get your professional opinion on that?

10  
11 **JOCELYN D'AMBROSIO:** Well, I mean, we would have to look at the  
12 law and what the closure says. I would have to pull that up, but  
13 I would imagine there is no fishing within that particular area  
14 during that season, and then there would be a different question  
15 of import that would be -- I think there is U.S. Customs laws and  
16 things like that that govern imports, and so it's not something I  
17 could answer right now. I would have to look into it further.

18  
19 **MARCOS HANKE:** Richard.

20  
21 **RICHARD APPELDOORN:** This is more of a follow-up on Kevin's line  
22 of questioning, but exactly what are we commenting on now? Is  
23 there a list of information or is it the old document or what?

24  
25 **JOCELYN D'AMBROSIO:** The specific request that was published is  
26 they are requesting information with respect to conservation  
27 measures, regulatory mechanisms, protective measures, anything  
28 about the status of queen conch, and so any information that you  
29 think the agency should consider when it's determining whether or  
30 not to list the species under the Endangered Species Act. They  
31 are just soliciting information until February to inform that  
32 status review.

33  
34 **RICHARD APPELDOORN:** All right. Thanks. I've already gotten two  
35 requests for this, but I haven't opened either one of them yet.

36  
37 **MARCOS HANKE:** Kevin.

38  
39 **KEVIN MCCARTHY:** Richard, I am just wondering if -- When this went  
40 through the first time around, I know I received something from  
41 Bob, and maybe your name was associated with that, but it was sort  
42 of an argument against listing, and I don't know that that kind of  
43 stuff was examined the first time around, and so, if you're  
44 familiar with that document, or maybe get in touch with Bob Glazer,  
45 and I know there was -- He had produced something that was pretty  
46 extensive, or he sent it to me anyway, and I don't know who all  
47 was involved, and maybe that's the sort of thing that would be  
48 appropriate for this. I could always get in touch with Colusa,

1 and maybe that just needs an update.

2  
3 **RICHARD APPELDOORN:** All right. I mean, we now have a whole  
4 region-wide queen conch working group which the council is  
5 spearheading, really, and we have a meeting next week here in  
6 Puerto Rico with that group, and so there is a well-organized group  
7 that really should be the target, maybe, of those requests, because  
8 we're overlooking everything, obviously, from more of a CITES point  
9 of view, but a lot of the problems or issues are the same for ESA,  
10 and so trying to handpick things from individuals might not be the  
11 way to go, I suppose, to get something more specific from this  
12 larger group.

13  
14 **KEVIN MCCARTHY:** It seems to me that that would be the group, too.  
15 Maybe a discussion one of those days during the meeting might be  
16 useful, and those are going to be the experts, and so that's who  
17 needs to respond to this, I think.

18  
19 **MARCOS HANKE:** I invite you both to keep talking, and we need your  
20 support on that, and just to move along with the agenda, but for  
21 sure the input of both of you will be very important on this  
22 matter. Hearing nobody else on this item, we are going to go to  
23 Ruth's presentation.

24  
25 **NEW FISHERS ASSOCIATION ST. THOMAS/ST. JOHN**

26  
27 **RUTH GOMEZ:** Good afternoon. Bill, I'm going to miss you too.  
28 The St. Thomas Fishermen's Association, in 2005, I think in 2005,  
29 was the first time the council was introduced to the Fishermen's  
30 Association, and somewhere within five to six years after that, it  
31 sort of disappeared. After many requests to myself and Julian and  
32 Daryl by fishermen, we decided we wanted to bring the association  
33 back to life.

34  
35 For the last month-and-a-half or two months, I have spent many  
36 hours filing its non-profit status, and we hired an accounting  
37 firm, and we took all the old documents, and David Olsen was very  
38 accommodating in sending us all the paperwork that he had from  
39 previously, and he pretty much turned it all over to Daryl and  
40 myself, to bring this association back to life, but I will say  
41 this for the record, that David is not a part of this go-round.

42  
43 Presently, the elected officers are Julian is the Chairman, the  
44 President is Thierry Ledee, the Vice President is Daryl, and we  
45 have two Secretaries, Shirley Ledee and Evelyn Ledee, and then the  
46 Treasurer is Theresa Questel, and she serves as the in-house  
47 treasurer for the association, but, like I said previously, we  
48 have hired an outside accounting firm to handle the books for the

1 association.

2  
3 The membership was revised to include recreational fishermen and  
4 sportfishing operations, because, as we talked to fishers out  
5 there, we were getting feedback from recreational and sportfishing  
6 operations that they had issues that they would like to have  
7 addressed, and so we decided we were going to revise the membership  
8 this go-round and include those two as well as the commercial  
9 fishermen, and the election of new officers will take place in  
10 June of 2020.

11  
12 The first event that we had was a meeting on November 25, and we  
13 had forty-nine fishers attend, two members of the 33<sup>rd</sup> Legislature,  
14 members of the media, and, the afternoon prior to this meeting,  
15 Julian and myself sat in on a phone call with Congresswoman Stacey  
16 Plaskett, to answer some questions that she had.

17  
18 The three main topics that we talked about were the fishery  
19 disaster aid, the island-based fishery management plan, and the  
20 St. Thomas/St. John Fishery Advisory Committee provided us with an  
21 update on the work that they are doing.

22  
23 We also extended an invitation to the Economic Development  
24 Authority, because, in June, they are going to put on a two-day  
25 workshop for fishermen and farmers, and it's called the Fishermen  
26 and Farmers Business Conference, and so one of their staff members  
27 came to talk to the fishermen and extend a formal invitation to  
28 ask them to take part.

29  
30 The priorities that I am going to talk about are in no order of  
31 priority. I didn't want to list it that way, because I didn't  
32 want any fisherman to feel like their concerns were not as  
33 important as the next guy, and so I just took all the concerns  
34 that they had and listed them here.

35  
36 The fish trap reduction plan, Carlos, I agree that there are some  
37 issues with it that need to be addressed. The transfer of tags  
38 between licensed commercial fishermen is a big issue for the St.  
39 Thomas/St. John guys. There is no language in there that talks of  
40 it, and it's pretty generic, and they are really, really excited  
41 in having some sort of language in there that details the transfer  
42 of the tags between the licensed commercial fishermen.

43  
44 In St. Thomas, no fisherman can exceed 250 traps, and definitely,  
45 even though we would like to see that language inserted, we don't  
46 want to increase the total number of traps that was allocated when  
47 the plan was signed, and I think, if my memory serves me correctly,  
48 it's a little under 4,000 traps, and so, even though we want to

1 transfer tags between fishermen, we still don't want to exceed the  
2 bottom line. Carlos, again, modification to the annual trap tag  
3 fees, and we have problems with that in St. Thomas as well.

4  
5 Definition of a fish trap versus lobster trap, Bill took care of  
6 that, and there's no need for me to go there, but pretty much there  
7 is no regulations on lobster traps in territorial waters.  
8 Modifying the existing fish trap regulation to address funnel  
9 dimensions in both the EEZ and territorial and modifying the  
10 existing lobster trap regulations in the EEZ to include plastic  
11 pots.

12  
13 Fishermen, and I've heard it before, but they can get pretty  
14 creative when it comes to the funnel, and so we really need to  
15 come up with some concrete definitions on what is a fish pot versus  
16 a lobster pot, and the members of the association would really  
17 like to see that happen sooner than later.

18  
19 Data collection, one of the messages that we constantly promote to  
20 the members of the association is the importance of data, and so  
21 we would like to work with DPNR and DFW to increase their port  
22 sampling efforts, and so, whatever it is that they're doing now,  
23 we would like to take it a step above, because there is more --  
24 There is data out there that we can collect, and, if it requires  
25 having the association assist them with collecting more port sample  
26 data, then we are all for it.

27  
28 I am not saying that anything is wrong with DPNR's efforts, but we  
29 would just like to increase it, because there is still a lot more  
30 fishermen that are expressing concerns that they would like to  
31 increase their number of samples, and, whatever we can do to help,  
32 we would be more than happy to assist DPNR.

33  
34 We want to create a Buy Fresh Local Seafood Education and Outreach  
35 Campaign. We have a lot of problems with imports from other  
36 islands and from the mainland, and so we want to spend a tremendous  
37 amount of effort talking to the restaurants and the locals about  
38 the importance of buying fresh, local seafood.

39  
40 The dolphin and wahoo regulations, the FAC in St. Thomas submitted  
41 some proposed regulations to Commissioner Oriol, and they are  
42 really, really, really concerned about the size of dolphin that  
43 are being caught by the recreational and the vessel for-hire  
44 operations.

45  
46 Their Facebook page tells a story, and so we would like to see if  
47 we can start a conversation with Commissioner Oriol about  
48 potentially getting these dolphin and wahoo regulations

1 implemented. If DPNR has concerns, open some sort of dialogue,  
2 where we can discuss getting them implemented, because, in St.  
3 Thomas and St. John, if you take a look at those Facebook pages,  
4 we don't like what we see.

5  
6 We are trying to be proactive, and we're trying to save our stocks,  
7 and so, especially when it comes to the dolphin, we really would  
8 like to see some sort of bag limit and size restriction be  
9 implemented.

10  
11 The sale of catch by unlicensed fishermen in the St. Thomas/St.  
12 John District is pretty bad, and so the association would like to  
13 start a dialogue with DPNR Enforcement and see what we could do to  
14 assist them in cracking down on the sale of catch by unlicensed  
15 fishermen.

16  
17 When we talked about revising the association, and we wanted to  
18 include the recreational fishermen in this revision, we tried to  
19 figure out, okay, what would be the best way to bring the two  
20 together, because never has it ever been that way.

21  
22 There is a game club that speaks only to recreational, and there  
23 is the association that spoke only to commercial, and so we tried  
24 to figure out what would be the best way to merge two groups of  
25 people that sometimes are at odds with each other to come up with  
26 a common goal and a common fight, right, and so we decided that we  
27 were going to hold a meeting with the recreational fishermen, by  
28 themselves, and hold a meeting with the commercial fishermen and  
29 get the concerns from both groups and then bring them together and  
30 try to unify both groups and come up with a smooth-sailing, very  
31 calm membership.

32  
33 When Julian and I talked about it, and Daryl talked about it, we  
34 knew that bringing the two groups together like the first time,  
35 literally they would take the roof off. They have a lot of issues  
36 back and forth with each other, and so we don't want to exclude  
37 them, and their issues are just as important as the commercial  
38 fishermen, and so we want to make sure that, when the two groups  
39 are unified, that we do it in a very constructive and productive  
40 way.

41  
42 The St. Thomas/St. John Lobster Steering Committee, that has sort  
43 of gone silent, and so we would like to energize or see the St.  
44 Thomas/St. John Lobster Steering Committee get re-energized and  
45 come up with a draft plan by December of 2020, and I applaud the  
46 guys from St. Croix for all the work that they've done with their  
47 draft plan, or what they have so far, and we sure would like to  
48 get there, where they're at.



1  
2 We would like to see that committee come together and produce a  
3 draft plan by 2020, and, just for the record, the St. Thomas  
4 Fishermen's Association submitted correspondence to NMFS in  
5 support of the September 1, 2017 control date. Pretty much that's  
6 it. Any questions?  
7

8 **MARCOS HANKE:** Thank you, Ruth. Any questions? Julian.  
9

10 **JULIAN MAGRAS:** I would like to just make a comment. Thanks, Ruth,  
11 for that great presentation. Like she said, we were up and  
12 running, and we fought the SFA, and we got in the door, and we got  
13 working under some heated discussions with the council and a lot  
14 of scientists, and, at the beginning, it was a fight.  
15

16 It's no longer a fight. We are here to work alongside of the  
17 scientists, and the scientists have shown a lot of interest to  
18 work with the fishermen, also. We became part of the process, and  
19 the scientists, when they have uncertainty questions, we are able  
20 to answer a lot of the questions, and the same with our questions  
21 of uncertainty. They are able to help us, and so we are seeing  
22 more of a hands-on communication, and we're getting the association  
23 back up and running.  
24

25 We feel that we will be able to be involved, once again, in doing  
26 a lot of studies and doing a lot more outreach and education, and,  
27 most importantly, getting the public aware of what goes on. There  
28 is forty of us here in this room today, and how much of the  
29 information is carried out of this room and brought to the people  
30 in the different areas? It's not much.  
31

32 It's not much at all, and you've got the representatives from each  
33 one of the islands here, and there is only so many people that we  
34 can get to, but, by having associations and committees and doing  
35 outreach projects, you are able to spread the word of what's  
36 actually taking place.  
37

38 A lot of people look at it that we are in here and we're just  
39 coming up with rules and regulations, but, at the end of the day,  
40 we're here looking at the future of our fishery, and, at the same  
41 time, the heritage and culture, and so I look forward, once again  
42 -- Like I said, we're back, and we're going to do an election, and  
43 we're going to have a new board, and we're hoping to see new faces  
44 on that board, because I already told them that I want to step  
45 from being on the board, and we need some young blood, but I will  
46 give them my full support to bring them up to speed, because, when  
47 I do walk away, someone else needs to carry the fight. I am  
48 looking forward to working with everyone here at the table, and

1 whoever else comes along, and let's make it happen, and let's make  
2 it positive for everyone. Thank you.

3  
4 **MARCOS HANKE:** Thank you, Julian. Any other comments? Maria.

5  
6 **MARIA LOPEZ:** I just have a question. What kind of regulations  
7 are you guys thinking about for dolphin and wahoo? I'm just  
8 curious.

9  
10 **JULIAN MAGRAS:** Right now, the St. Thomas/St. John FAC, I'm the  
11 Vice Chair of that committee, and we came up with size limits and  
12 bag limits for both recreational and commercial, and so the size  
13 limit that we picked is actually a little bit bigger than the one  
14 that they use in the United States, and the numbers are reasonable.  
15 I just don't have those numbers with me right now, but all of that  
16 was put together.

17  
18 How we came up with those numbers, the FAC last year kept a meeting  
19 for the recreational fishers at the Frenchtown Community Center,  
20 and they invited all of them, the sport fishermen and everyone, to  
21 come to that meeting, to come to the meeting, and we listened to  
22 their concerns, and we had the commercial guys there, also. We  
23 listened to what they wanted to see as bag limits and size limits.

24  
25 Those notes and minutes were taken, and, from there, we brought it  
26 back to our next FAC meeting and had a lot of collaboration and  
27 discussion about it, and we formulated a letter, and it was  
28 presented, and we are just waiting for a response on that.

29  
30 **MARCOS HANKE:** Carlos.

31  
32 **CARLOS FARCHETTE:** Maria, on that subject, the St. Croix Fisheries  
33 Advisory Committee Sub-Committee on Bag Limits does not agree with  
34 the federal regulations of fifteen/thirty. We believe that thirty  
35 mahi for a recreational person is way too much.

36  
37 I know we probably won't be able to amend that, and I'm not sure,  
38 but we're also looking at size limits, to be what the tournament  
39 regulation is, I believe thirty-three inches. I have got to verify  
40 that, but I think it's thirty-three for tournament harvest, but  
41 fifteen and thirty is just too much, but, if we're stuck with  
42 federal, to be compatible, that's maybe what we're going to have  
43 to accept.

44  
45 **MIGUEL ROLON:** Carlos, the Coast Guard has some clarification.

46  
47 **JEREMY MONTES:** Just to clarify, Dolphin Wahoo Amendment 10 is  
48 currently getting put through, and they're working on it in the

1 South Atlantic, and I just came from a meeting last week, and we  
2 talked about it for way too long, but they're looking at reducing  
3 it. Right now, it's ten per person, up to sixty, for dolphinfish,  
4 and they are looking at reducing down to forty, or maybe thirty-  
5 six, just so you've got a number that's divisible by six for the  
6 charter guys, but, yes, currently, it's a very large number, but,  
7 like I said, Dolphin Amendment 10 is going to reduce the  
8 recreational bag limit for dolphinfish.

9  
10 **MARCOS HANKE:** Miguel.

11  
12 **MIGUEL ROLON:** The important thing is, once you finish your work,  
13 and you figure out what the appropriate bag limit should be for  
14 commercial and recreational, then you can present your case to the  
15 federal government for the surrounding waters of the U.S. Virgin  
16 Islands. The same in the case of Puerto Rico. Puerto Rico has  
17 been battling with this for a long time, and I remember one time  
18 one phone call from recreational, and it changed the whole bag  
19 limit, because the Secretary did it with one strike of the pen.

20  
21 It is important, the work that you're doing, and the St. Thomas/St.  
22 John group, and we should look for probably 2020 and 2021, that  
23 timeframe, because that's when the island-based FMP will be in  
24 place, and remember that the dolphin wahoo is part of the  
25 management unit now.

26  
27 In addition, at the Caribbean level, they are looking at  
28 possibilities of adopting a fishery management plan for the dolphin  
29 wahoo at the international level, and they will be compiling,  
30 between 2020 and 2022, all the regulations throughout the  
31 Caribbean, and there are not many, addressing wahoo and dolphin,  
32 but they are looking at the USA as an example to follow or not to  
33 follow, with the bag limits and so forth, for the management of  
34 the dolphin and the wahoo.

35  
36 **MARCOS HANKE:** A quick comment. I have been involved with this  
37 for twenty years, and I think it's a very important exercise from  
38 the beginning, when I was a little kid, and I believed that the  
39 minimum size for mahi was something that shouldn't be pursued. I  
40 will not go over it, but, right now, the situation is different,  
41 because, culturally, we see we're connected to the traditional way  
42 of catching mahi, with bigger hook and so on, and we didn't have  
43 an area around the fishery for mahi like we are having with the  
44 sargassum influx, which exposed the mahi to be caught from a very  
45 small size.

46  
47 For that reason, I think we should be very proactive, and I invite  
48 the effort from St. Thomas/St. John and from St. Croix and from

1 Puerto Rico that, to the extent possible, that if you can make  
2 something, and I don't think that the islands, in that sense, are  
3 too different, in terms of establishing an number for the bag limit  
4 that makes sense.

5  
6 We should try to make it compatible across-the-board, because the  
7 fishery is very, very similar, especially if we're dealing with  
8 recreational fishermen, and I don't want to go into the details,  
9 but I just wanted to put myself available for any discussion and  
10 support on that discussion. Toby.

11  
12 **WILLIAM TOBIAS:** The issue of sale of recreationally-caught dolphin  
13 and wahoo is extremely important here in the Virgin Islands. It's  
14 an important issue for enforcement, which is very difficult for  
15 them to address. Fishing tournaments, recreational fishing  
16 tournaments, typically result in high catches of dolphin and wahoo,  
17 and these fish end up being marketed illegally, and I'm sure this  
18 occurs also in Puerto Rico as well.

19  
20 The establishment of bag limits, recreational bag limits, on  
21 dolphin and wahoo must take this into consideration, in terms of  
22 setting a number, because it's been a severe issue affecting  
23 commercial fishers in the Virgin Islands for many, many years.

24  
25 **MARCOS HANKE:** Montes.

26  
27 **JEREMY MONTES:** Just to spout out my party line every time we start  
28 talking about this, because I forget whether or not it's at the  
29 South Atlantic meetings or the Caribbean meetings or any of the  
30 other meetings that I'm at, but, with the sale of fish, if the  
31 intent is to sell fish, either way, if the stated intent is to  
32 sell fish, and say it's a recreational or a charter boat or a  
33 sportfish that's out there, and I caught too many fish, and they  
34 want to sell some when they get back, they have to adhere to  
35 commercial fishing vessel safety regulations at that point, which  
36 includes a sticker within five years and the full commercial  
37 fishing vessel safety requirements, which, if anybody has looked  
38 into transitioning back and forth between the two, it's constantly.

39  
40 Every time it comes up, I just remind the councils that, if it was  
41 ever to be considered as a regulation, to allow the sale of  
42 recreationally-harvested fish, that, regardless of the --  
43 Regardless that it was coming from the recreational sector, they  
44 would still be -- They would have to adhere to the commercial  
45 fishing vessel regulations, because, at that point, they are  
46 operating as a commercial fishing vessel.

47  
48 **MARCOS HANKE:** Carlos, we are at the end of the meeting, and you

1 are going to be the last one, but this could be a very rich  
2 discussion. There is many things to talk about, and your final  
3 point, and then we'll keep moving.

4  
5 **CARLOS FARCHETTE:** Real quick, we would have to do an educational  
6 outreach to the enforcement people, because there are actually two  
7 species of dolphin that pass our waters, which is a regular dolphin  
8 and the pompano dolphin, which is smaller, and they don't grow  
9 very big, and so we're going to have to really look at that  
10 carefully.

11  
12 **MARCOS HANKE:** Miguel.

13  
14 **MIGUEL ROLON:** Are you finished talking about the dolphin?

15  
16 **MARCOS HANKE:** I am not talking.

17  
18 **MIGUEL ROLON:** Okay. Shannon asked me to tell you that she would  
19 like to address the group for one clarification and one  
20 announcement.

21  
22 **SHANNON CALAY:** Thank you, Miguel. In the presentation that shows  
23 the table of projections, at the bottom, you saw the lines that  
24 said island-based fishery management ACL, and Jocelyn, with a keen  
25 eye, noticed that those were actually the ABC values that were  
26 reported, and so I have sent a corrected presentation to Graciela.

27  
28 That one line of the table that you saw was actually the ABC values  
29 for the island-based management, and I added the true ACL values  
30 as well, and now they're both there, and they're correct. Thank  
31 you, Jocelyn.

32  
33 **MARCOS HANKE:** Actually, I have received already the -- Most of  
34 the people should have received it. They should have it. Thank  
35 you. Thank you for your clarification. We are in the period of  
36 five-minute comments for the public.

37  
38 **PUBLIC COMMENT PERIOD**  
39

40 **TONY IAROCCI:** Real quick, I did get a call from Miranda and Brian,  
41 two of the fishermen on the other coast, that are still doing their  
42 data sheets, and they wanted to thank the council for working on  
43 this and hopefully moving forward with this data collection at  
44 some time, once we, as I said earlier, we put this puzzle together,  
45 and I want to congratulate the St. Thomas Association for getting  
46 back together.

47  
48 I think it's very important, and we should have these associations

1 from St. Thomas, St. Croix, and Puerto Rico working very closely  
2 with the council, and, also, I had talked to Miguel and Vanessa  
3 and a few of the other people here, and I'm putting together a  
4 stewardship program to bring up some of the fishermen from the  
5 Caribbean to work in Florida on the lobster boats.

6  
7 We need crew members there, and we are looking at bringing up  
8 active fishermen that want to come up there and get educated to  
9 the process of how we fish up there, and the techniques that we  
10 use, and we have a place for them to stay, and we will put them on  
11 the boats, but I want to make sure that we bring up the right  
12 people, and we could do a little pilot program.

13  
14 Vanessa has a few people that are available, and I have already  
15 contacted them, if it's okay for -- If the council supports this,  
16 I would like to move forward with it. The main thing is that I  
17 would like to get fishermen from St. Thomas, St. Croix, and Puerto  
18 Rico for next season, because it is needed up there big time, and  
19 I think it's an educational thing, where these guys will get  
20 educated, and, as Vanessa said earlier, a lot of these divers, if  
21 they can't dive anymore, they are looking at ways to get into  
22 different types of trapping or different fisheries, and they can  
23 get up there, and then they can learn this process and do that. I  
24 just wanted to put that on the record, and I have already -- Like  
25 I said, I'll be in touch, and we'll see how we can move forward  
26 with this. Thank you.

27  
28 **MARCOS HANKE:** Thank you very much. You already contacted the  
29 right person. Anybody else? Very quick, please.

30  
31 **JULIAN MAGRAS:** Very quick. Just to make an announcement, the  
32 meeting that was scheduled for November 19<sup>th</sup> and 20<sup>th</sup> for the  
33 Ecosystem-Based Management Plan for St. Thomas/St. John was  
34 cancelled, and it has been rescheduled for the last week of March,  
35 and we will confirm that at a date coming up here very soon, and  
36 it's going to be a DAP workshop, where we will have the DAP members  
37 there. Also, we will have the agencies for us to have the  
38 discussions and presentations on the issues that we have questions  
39 and concerns on. I just wanted to make that announcement. Thank  
40 you.

41  
42 **MARCOS HANKE:** Thank you, Julian. I don't see anything else on  
43 the agenda, Miguel, and we are ready to end this meeting.

44  
45 **MIGUEL ROLON:** We are going to go into Administrative Matters, and  
46 then we have a closed session.

47  
48 **MARCOS HANKE:** We have Administrative Matters now? Go ahead.

1  
2  
3  
4 **ADMINISTRATIVE MATTERS**

5 **MIGUEL ROLON:** This will be easy. There is nothing to talk about.  
6 In the case of Administrative Matters, as I said before, we have  
7 the budget for 2020, and the National Marine Fisheries Service  
8 gave an advance to all the councils, and that's not the full  
9 amount. It will depend on whatever happens in 2020 with the budget  
10 situation.

11 We are ending the last year of the five-year cycle of the budget  
12 in 2019, and remember the budgets that are allocated to the  
13 councils comes in five-year packages, and so are finishing the  
14 2019. We may end up -- Actually, we have a no-cost extension with  
15 several projects that we mentioned before at the August meeting,  
16 and so I think that it has been a successful five years for all  
17 the councils, in terms of budgets.

18  
19 For 2020 to 2024, the councils are asking for more money, and other  
20 considerations and issues are being discussed as we speak, and so  
21 we will advise you at the next council meeting if we have any  
22 deviation from this funding.

23  
24 Also, in Administrative Matters, we are going to hire a person to  
25 assist Graciela with the ecosystem-based management, and remember  
26 that we lost Mallory and Meaghan, and we will have a person  
27 stationed in Puerto Rico or the Virgin Islands, close by, and so  
28 that person should be hired during the first quarter of 2020.  
29 Graciela will give a little more information tomorrow morning, in  
30 her presentation, about the development with this plan.

31  
32 The council also is supporting outreach and education with the two  
33 local governments, and I believe that what you mentioned, Ruth,  
34 about the local fishing strategy was done in Puerto Rico, too.  
35 The council might be able to help you with that, and, Mr. Chairman,  
36 now we can go into the closed session, and people should be back  
37 tomorrow morning at nine o'clock.

38  
39 **MARCOS HANKE:** Yes, we are getting into a closed session. Thank  
40 you very much for helping me out and being so understanding about  
41 the times that I have to cut you off. Let's get moving. Thank  
42 you. We will come back in ten minutes.

43  
44 (Whereupon, the meeting went into closed session on December 10,  
45 2019.)

46  
47 - - -  
48

December 11, 2019

WEDNESDAY MORNING SESSION

- - -

The Caribbean Fishery Management Council reconvened at the Hilton Ponce Golf and Casino Resort, Ponce, Puerto Rico, Wednesday morning, December 11, 2019, and was called to order at 9:00 a.m. by Chairman Marcos Hanke.

**MARCOS HANKE:** Good morning, everyone. Let's start the meeting. We're going to start the second day of the 168<sup>th</sup> council meeting, the Caribbean Fishery Management Council, December 11, 2019. It is 9:08 a.m. Let's start with the roll call with the Coast Guard.

**JEREMY MONTES:** Jeremy Montes, U.S. Coast Guard.

**VANESSA RAMIREZ:** Vanessa Ramirez, council member, Puerto Rico.

**SHANNON CALAY:** Shannon Calay, Southeast Fisheries Science Center.

**JOCELYN D'AMBROSIO:** Jocelyn D'Ambrosio, NOAA Office of General Counsel.

**ROY CRABTREE:** Roy Crabtree, NOAA Fisheries.

**MIGUEL ROLON:** Miguel Rolon, council staff.

**MARCOS HANKE:** Marcos Hanke, Chairman.

**TONY BLANCHARD:** Tony Blanchard, Vice Chair.

**CARLOS FARCHETTE:** Carlos Farchette, council member, St. Croix District.

**MARIA LOPEZ:** Maria Lopez, NOAA Fisheries.

**GRACIELA GARCIA-MOLINER:** Graciela Garcia-Moliner, council staff.

**NATALIA PERDOMO:** Natalia Perdomo, council staff.

**MARIA DE LOS IRIZARRY:** María de los Irizarry, council staff.

**ALIDA ORTIZ:** Alida Ortiz, Outreach and Education Advisory Panel.

**NELSON CRESPO:** Nelson Crespo, DAP Chair, Puerto Rico.



1 **WILLIAM TOBIAS:** William Tobias, DAP Vice Chair, St. Croix.  
2  
3 **JULIAN MAGRAS:** Julian Magras, DAP Chair, St. Thomas/St. John.  
4  
5 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC Chair.  
6  
7 **LOREN REMSBERG:** Loren Remsberg, NOAA Office of General Counsel.  
8  
9 **KEVIN MCCARTHY:** Kevin McCarthy, Southeast Fisheries Science  
10 Center.  
11  
12 **HOWARD FORBES:** Howard Forbes, DPNR Enforcement.  
13  
14 **MANNY ANTONARAS:** Manny Antonaras, NOAA Office of Law Enforcement.  
15  
16 **MIGUEL BORGES:** Miguel Borges, NOAA Law Enforcement.  
17  
18 **BILL ARNOLD:** Bill Arnold, NOAA Fisheries.  
19  
20 **JACK MCGOVERN:** Jack McGovern, NOAA Fisheries.  
21  
22 **MIGUEL CANALS:** Miguel Canals, University of Puerto Rico.  
23  
24 **TONY IAROCCI:** Tony Iarocci, commercial fisherman.  
25  
26 **NOEMI PENA:** Noemi Pena, Fisheries Research Lab.  
27  
28 **GRISEL RODRIGUEZ:** Grisel Rodriguez, DNER.  
29  
30 **YASMIN VELEZ-SANCHEZ:** Yasmin Velez-Sanchez, the Pew Charitable  
31 Trusts.  
32  
33 **RUTH GOMEZ:** Ruth Gomez, St. Thomas/St. John Fishermen's  
34 Association.  
35  
36 **DAVID ORTIZ:** David Ortiz, Pew Charitable Trusts.  
37  
38 **CHRISTINA OLAN:** Christina Olan, council staff.  
39  
40 **WILSON SANTIAGO:** Wilson Santiago, DNER.  
41  
42 **RAIMUNDO ESPINOZA:** Raimundo Espinoza, Conservación ConCiencia.  
43  
44 **AIDA ROSARIO:** Aida Rosario, Puerto Rico DNER.  
45  
46 **VERONICA SEDA:** Veronica Seda, Fisheries Research Lab.  
47  
48 **RUPERTO CHAPARRO:** Ruperto Chaparro, SEAMAP Caribbean.

1  
2 **EVAN TUOHY:** Evan Tuohy, University of Puerto Rico.

3  
4 **WANDA ORTIZ:** Wanda Ortiz, University of Puerto Rico.

5  
6 **CARLOS ZAYAS:** Carlos Zayas, University of Puerto Rico Mayaguez.

7  
8 **CHELSEA TUOHY:** Chelsea Tuohy, Isla Mar.

9  
10 **ORIAN TZADIK:** Orian Tzadik, Pew Charitable Trusts.

11  
12 **MADISON HARRIS:** Madi Harris, NOAA Fisheries International  
13 Affairs.

14  
15 **RANDY BLANKENSHIP:** Randy Blankenship, NOAA Fisheries.

16  
17 **MARCOS HANKE:** That's all, Graciela?

18  
19 **JEAN-PIERRE ORIOLO:** Good morning. Jean-Pierre Oriol,  
20 Commissioner, Department of Planning and Natural Resources for the  
21 U.S. Virgin Islands.

22  
23 **RUSS DUNN:** Russ Dunn with NOAA Fisheries.

24  
25 **SEAN MEEHAN:** Good morning. Sean Meehan, NOAA Fisheries.

26  
27 **GRACIELA GARCIA-MOLINER:** Online, you do have Michelle Scharer,  
28 Michelle Duval, Sarah Stephenson, Stephanie Martinez, and Toby.

29  
30 **MARCOS HANKE:** Thank you, Graciela. Before the presentation of  
31 HMS, we have to announce the council has three names that decided  
32 at the -- Go ahead, Miguel.

33  
34 **MIGUEL ROLON:** Okay. The council met yesterday in a closed  
35 session, and we went over the candidates that will be included at  
36 this time for consideration of the council, via a motion, that  
37 will fill the eight members of the Ecosystem-Based Management  
38 Technical Advisory Panel. For that, we need a motion with the  
39 three names, and so, Mr. Chairman, would you like to read the three  
40 names, and then we can have a motion to adopt?

41  
42 **MARCOS HANKE:** The three names are Sennai Habtes, Alida Ortiz, and  
43 Bill Arnold.

44  
45 **TONY BLANCHARD:** So moved.

46  
47 **CARLOS FARCHETTE:** Second.

1 **MARCOS HANKE:** Any comment? **All in favor; any opposed. The motion**  
2 **carries then.**

3  
4 Also, I would like to announce the chairman for this panel, the  
5 technical panel that was just announced through the motion and  
6 approved, and it will be Bill Arnold, the chairman of this group.  
7 Also, I would like, first of all, to thank Toby Tobias for his job  
8 as Chairman of the St. Croix DAP and always having good input, and  
9 it's always a pleasure to work with you. At this time, also, after  
10 recognizing his great job, I would like to announce that Ed  
11 Schuster will be the Chairman for the DAP for St. Croix. Now we  
12 will go to Randy.

13  
14 **CARLOS FARCHETTE:** Mr. Chair, we have had some discussions at our  
15 St. Croix FAC when it comes to voting, and I remember how we do  
16 this here, but what constitutes a vote, by individual vote or just  
17 an aye or a nay or abstain in a general consensus?

18  
19 **MIGUEL ROLON:** In any assembly, if you follow Roberts Rules, the  
20 vote could be written, by voice, and usually the Chairman calls  
21 for the vote, yea or nay and abstentions, and absentees, also.  
22 That is the easy, basic way of proceeding with the votes.

23  
24 **CARLOS FARCHETTE:** So, if the Chairman sees the need for an  
25 individual vote, he just says this is how I want it?

26  
27 **MIGUEL ROLON:** Yes.

28  
29 **CARLOS FARCHETTE:** Okay. Good. All right.

30  
31 **MIGUEL ROLON:** In the case of the council, any vote on a motion  
32 that is going to submit it to the Secretary has to be a roll call  
33 vote. They will call your name and you vote.

34  
35 **CARLOS FARCHETTE:** Okay. I will take that back to our committee,  
36 so we can do it the right way.

37  
38 **MARCOS HANKE:** Thank you for the question, Carlos. Now Randy.  
39 Thank you very much.

40  
41 **HIGHLY MIGRATORY SPECIES UPDATE**

42  
43 **RANDY BLANKENSHIP:** Thank you, Chair. My name is Randy  
44 Blankenship, and I am the Chief of the Atlantic Highly Migratory  
45 Species Management Division within NOAA Fisheries. My office is  
46 located in St. Petersburg, Florida, co-located there at the  
47 Southeast Regional Office, and we have highly migratory species  
48 branch offices in Silver Spring, Maryland, and in Gloucester,

1 Massachusetts.

2  
3 I want to thank the council for the invitation to speak today. It  
4 is an honor to come down here, and I've been able to present to  
5 the council on various topics over the last little bit more than  
6 a decade, and I always enjoy being able to come down here, and  
7 this is no exception.

8  
9 The Caribbean Council and the stakeholders in the Caribbean region  
10 have been important partners in Atlantic HMS management, and  
11 certainly the Atlantic HMS fisheries in the U.S. Caribbean as part  
12 of the overall Atlantic HMS fisheries.

13  
14 Recently, there has been interest in particularly the pelagic  
15 longline fishery and U.S. vessels in the Caribbean region fishing  
16 and relations that govern the operation of that fishery and  
17 monitoring that is required, and so that certainly has been a hot  
18 topic.

19  
20 There is also some ongoing interest and questions about shark  
21 fishing in this area, and, more broadly, highly migratory species  
22 identification as well, and so, in my presentation today, I am  
23 going to cover a lot of ground.

24  
25 The beginning part of it will be kind of a Highly Migratory Species  
26 101, to provide a little bit of background about the management of  
27 HMS within federal fishery management, and I will also get into a  
28 little bit more specifics about the Caribbean small boat permit,  
29 which is valid in the U.S. Caribbean and that we spent quite a bit  
30 of time developing under Amendment 4 several years ago, and then  
31 I will spend some time with a little bit more specifics about the  
32 pelagic longline fishery and management and monitoring for that,  
33 and then, finally, I will wrap up with just a quick overview of  
34 some current initiatives that we have going on within Atlantic HMS  
35 across our management area.

36  
37 To get this started, I want to review some of the basics in this  
38 HMS 101 kind of a setting, and so, for Atlantic highly migratory  
39 species, our management area covers Maine to Texas and the U.S.  
40 Caribbean, and it includes management specifically of highly  
41 migratory species identified in the Magnuson-Stevens Act, and  
42 those include the tunas, the bluefin, bigeye, albacore, yellowfin,  
43 and skipjack tunas, the billfishes, to include the blue marlin,  
44 white marlin, roundscale spearfish, sailfish, and longbill  
45 spearfish. It also includes swordfish and also sharks, and I just  
46 mention a couple here, the shortfin mako, thresher, blacktip, bull,  
47 tiger, also oceanic whitetip, and many others that it would take  
48 a slide in and of itself to list.

1  
2 A little bit of history for management of HMS. Of course, there  
3 is the seminal federal fishery management legislation in 1976, the  
4 passing of the Magnuson-Stevens Act, or the Magnuson Fishery  
5 Conservation and Management Act, at the time. Then, in 1990, that  
6 was amended, giving authority to the Secretary of Commerce directly  
7 to manage highly migratory species and defining what those were.

8  
9 At the time, or previous to that, Atlantic tunas were managed not  
10 by a council, but actually by GARFO, then the New England Regional  
11 Office, or whatever it was called at that time, and then that was  
12 pulled out from that setting, and then also Atlantic sharks,  
13 swordfish, and billfish were managed by councils, and so that was  
14 then pulled from council management and then, together, HMS then  
15 became directly managed by NMFS, and secretarial authority was  
16 delegated to NMFS to manage those.

17  
18 The National Marine Fisheries Service created the HMS Management  
19 Division in 1992, and then, in 1996, the Magnuson Act was  
20 reauthorized and renamed the Magnuson-Stevens Act, and that then  
21 set up and required NMFS to establish separate advisory panels for  
22 Atlantic HMS and for billfish, and so, at that time, there were  
23 two advisory panels.

24  
25 Since then, in the 2006 consolidated HMS FMP, the FMPs were brought  
26 together into one FMP that we operate under now, and the advisory  
27 panels were combined into one, and so we now have one HMS Advisory  
28 Panel.

29  
30 A little bit more of an overview on management under the Magnuson-  
31 Stevens Act, and, of course, many of you are very familiar with  
32 these provisions, and they also apply in HMS, and some of the  
33 specific requirements that apply for councils and for HMS include  
34 National Standards, such as preventing overfishing, minimizing  
35 bycatch, promoting safety-at-sea, best available science, and  
36 there are others.

37  
38 Also, fishery management plan requirements include measures to  
39 rebuild overfished stocks, describing essential fish habitat, and  
40 cumulative impact assessment. There is also some provisions in  
41 the Magnuson-Stevens Act that are unique to HMS, such as the  
42 advisory panel that I just talked about, and some international  
43 considerations and fishery management plan requirements specific  
44 to HMS and international considerations.

45  
46 I won't spend much time on this, but I think it's important,  
47 because a lot of the questions that we have received over the last  
48 few years from individual constituents and from some of the

1 entities in the area have been surrounding things like how are sea  
2 turtles considered and what about marine mammals, and I just wanted  
3 to put this on there to say that we must also, in HMS management,  
4 comply with all of these other laws and Executive Orders that  
5 include the Endangered Species Act, Marine Mammal Protection Act,  
6 and many others.

7  
8 Within HMS management, we conduct rulemaking to develop fishery  
9 management measures for highly migratory species throughout its  
10 range, and we issue individual fishing permits, dealer permits,  
11 and research permits for HMS, and we also monitor ourselves, and  
12 in partnership with the applicable Science Centers, we monitor  
13 commercial landings and recreational catch, and we register HMS  
14 tournaments and collect landings from those and effort data, and,  
15 also, we conduct biological and socioeconomic analysis.

16  
17 An important part of HMS management is the international aspect,  
18 and so the United States, along with multiple other countries,  
19 work at the International Commission for the Conservation of  
20 Atlantic Tunas, or ICCAT, where management recommendations for  
21 tuna and tuna-like species are developed, and those are tunas,  
22 billfish, swordfish, and some sharks right now are considered as  
23 bycatch in the directed ICCAT fisheries, and the convention was  
24 recently -- An amendment to that was recently adopted, but it will  
25 take some time for that to be implemented, but at least changes  
26 are underway, and that will apply and relate to some sharks in the  
27 long-term. Also, other bycatch species, such as seabirds, sea  
28 turtles, and cetaceans, can be covered through ICCAT.

29  
30 Recommendations are binding on the United States, and they include  
31 many different management measures in different fisheries, and the  
32 HMS Management Division implements those ICCAT recommendations as  
33 necessary and appropriate under the Atlantic Tunas Convention Act.

34  
35 The Atlantic Tunas Convention Act provides the authority to choose  
36 ICCAT recommendations domestically, and it regulates and provides  
37 for the authority to regulate all fishing activities, including  
38 research, and it also specifies and limits subsequent action that  
39 could have the effect of increasing or decreasing any U.S.  
40 allocation of quota agreed to at ICCAT.

41  
42 A little bit more about ICCAT and the process there. There is  
43 fifty-two contracting parties, and those are different countries,  
44 and also including the European Union as one contracting party.  
45 There is an annual meeting every November, and we just had one  
46 this past November in Majorca, Spain, and recommendations  
47 developed there, as I mentioned earlier, are binding. Resolutions  
48 are non-binding.

1  
2 An important part of the ICCAT process is the Standing Committee  
3 on Research and Statistics, or the SCRS, which is the scientific  
4 portion of ICCAT, and we have national scientists that participate  
5 on that, and U.S. scientists are an extremely important part of  
6 that process, Shannon Calay being one of those that participates  
7 in that process, and several others that we have at the Southeast  
8 Fisheries Science Center.

9  
10 There are about three to four stock assessments that are conducted  
11 by the SCRS every year, and the species groups in the SCRS convene  
12 to develop what becomes management recommendations that are  
13 adopted at the SCRS plenary meeting in October, and then that  
14 advice is presented to the overall commission at its annual meeting  
15 each November.

16  
17 This is just a real quick schematic, and it's not all-encompassing  
18 of every partner in HMS management, but it is one to kind of help  
19 you visualize a little bit about how HMS management kind of works  
20 over time.

21  
22 There is the HMS Management Division, which I work for, and there  
23 is the Office of International Affairs and Seafood Inspection, and  
24 there is a lot of work back and forth between these two groups,  
25 particularly in relation to ICCAT work. Then we have the HMS  
26 Advisory Panel that I mentioned previously, and a lot of work goes  
27 on between the HMS Management Division and that.

28  
29 There is also the ICCAT Advisory Committee, which is authorized  
30 under ATCA, the Atlantic Tunas Convention Act, and membership on  
31 both of these. Real quickly, there is also council representation  
32 on those two groups, and Marcos Hanke is the representative of  
33 both of those for the Caribbean Fishery Management Council.

34  
35 We also have important partners, of course, with the Southeast  
36 Fisheries Science Center, the Northeast Fisheries Science Center,  
37 and the Office of Science and Technology that are involved in this.  
38 What's not on here are partners like General Counsel and the actual  
39 fishery management councils themselves, which are important  
40 partners, but I wanted to kind of provide this schematic, to show  
41 how interrelated -- We work to domestically manage HMS, but also  
42 develop positions for negotiation at ICCAT and also then do those  
43 negotiations and bring them back home and work on implementation  
44 domestically.

45  
46 A little bit of comparing and contrasting here between the fishery  
47 management council management process and HMS management with the  
48 HMS Advisory Panel. The council members in the council management

1 process, council members vote to approve or disapprove actions to  
2 submit to NMFS. In the HMS Advisory Panel process, the AP  
3 recommends -- They provide recommendations, and they are advisory  
4 in nature and not decision-making.

5  
6 Under the council process, NMFS approves or disapproves actions  
7 that are presented and forwarded by the council. Under the HMS  
8 process, NMFS decides what actions to consider and implement.  
9 Under the council process, there is the scientific and statistical  
10 committees that provide expert advice to the council. Under the  
11 HMS process, HMS staff seek the input of the Science Center staff.  
12 They, of course, take seriously the work that's done by the ICCAT  
13 SCRS as well.

14  
15 Then, for the council process, councils meet about five times a  
16 year, and, for the HMS Advisory Panel process, there are -- We  
17 have usually had about two advisory panel meetings per year.

18  
19 A couple of points. Remember that, in HMS, we're talking about  
20 swordfish, billfish, sharks, and tunas. Through the domestic  
21 management process, federal regulations that are developed for HMS  
22 apply in the U.S. EEZ and then, for some species, they also apply  
23 in the territorial waters and state waters, and so, under the  
24 Atlantic Tunas Convention Act, the tunas that I listed are actually  
25 managed to the shore, and so those are the species that regulations  
26 apply within territorial waters.

27  
28 Regulations vary by type of fishing activity, gear, and species,  
29 and we have commercial and recreational fisheries permits that are  
30 required, as well as dealer permits, and I want to make a  
31 particular note that many people are familiar with, but it's worth  
32 mentioning, that billfish may not be sold or possessed for any  
33 purpose of selling, and that is actually under the Billfish  
34 Conservation Act of 2012, and so that's actually a federal law.

35  
36 Within HMS management, HMS must only be sold to permitted HMS  
37 dealers, and there is one exception to that, which is the Caribbean  
38 small boat permit, and I will get into that in a little bit more  
39 detail in a moment, and that would be some of the specific  
40 regulations that have been developed for the U.S. Caribbean.

41  
42 I want to provide a real quick overview of commercial fishing  
43 permits within HMS. This is a long list, and I won't go into much  
44 detail, but some key things to look at here are the name of the  
45 permit in this column, or at least the subject matter that it  
46 covers, in this column is whether or not it's limited access, and,  
47 actually, the question is are new permits being issued, and so is  
48 this an open-access permit or not, the target species, and then



1 where the fish can be sold, whether it's to a dealer or if it can  
2 be sold directly to the public.

3  
4 We have permits that are directed or incidental permits for  
5 swordfish and shark and the hand-gear permits for swordfish, and  
6 those are limited access, and there are no new permits being  
7 issued, and so existing permits can be renewed, and they can also  
8 be transferred from one permit holder to another, if they want to  
9 be sold between entities, but there are no new permits being issued  
10 there.

11  
12 The swordfish general commercial permit and the tunas general  
13 permit, harpoon and trap categories, are open access permits, and  
14 the Atlantic tunas longline and purse seine categories are not  
15 open access, and there are no new permits being issued there, and  
16 the charter headboat permit for HMS, with a commercial endorsement,  
17 is a commercial permit, and that is open access.

18  
19 I am going to skip the commercial Caribbean small boat for a second  
20 and move down to the smoothhound shark commercial permit, which is  
21 also open access, and then the permits that I have covered so far  
22 are all permits where the product and the fish landed must be  
23 landed and sold only to HMS-permitted dealers.

24  
25 Now, for the exception. The exception is the HMS commercial  
26 Caribbean small boat permit, which was developed under Amendment  
27 4 and finalized in 2012, and there was a lot of work over multiple  
28 years that went into developing that permit, and the need for that  
29 permit comes from the way that many of the fisheries operate in  
30 the U.S. Caribbean, where is where the selling of fish oftentimes  
31 happens directly to the public, in local markets or even boat-  
32 side.

33  
34 It wasn't a good model to -- The requirements for selling only to  
35 permitted dealers was not a really good model for the way that  
36 some of the fisheries operated down here, and so, through a  
37 multiyear process of working with the Southeast Fisheries Science  
38 Center and with the territorial governments and with constituents,  
39 we developed the Caribbean small boat permit.

40  
41 With that, it is an open access permit, and it allows for the  
42 harvest of swordfish and tunas, and it also authorizes shark  
43 harvest, but, currently, the shark retention limit is zero sharks  
44 under that permit, and, once again, fish can be sold directly to  
45 the public under this permit, and I will go into a little bit more  
46 detail in a little bit, but I will say that data collection for  
47 this happens through the territorial commercial fisher reporting  
48 forms that are required per trip.

1  
2 A little more detail about the Caribbean small boat permit. It's  
3 valid only in the U.S. Caribbean. It's not valid in the waters  
4 around the mainland of the United States, and it is limited only  
5 to vessels less than or equal to forty-five feet in length overall,  
6 and it cannot be held in combination with any other HMS permits,  
7 and there are retention and size limits, and they are kind of  
8 outlined here in the table down below, and specifically authorized  
9 gears include rod-and-reel, handline, bandit gear, and buoy gear  
10 for swordfish, and buoy gear is also called yo-yo gear in many  
11 places within the Caribbean, and so it does provide for BAYS tunas,  
12 and not blueline, but BAYS are bigeye, albacore, yelloweye, and  
13 skipjack tunas, and so ten BAYS per vessel per trip and a swordfish  
14 limit of two swordfish per vessel per trip, minimum size limits,  
15 and then, of course, with sharks, zero retention limit at this  
16 time.

17  
18 Now, a little bit more about this is that, over the last more than  
19 a year, we have heard a lot of -- Well, multiple years now, but we  
20 have heard a lot from local constituents, in Puerto Rico in  
21 particular, and also at our advisory panel meetings, about interest  
22 in the allowance of harvesting some sharks.

23  
24 Also, there has been interest in trying to make the swordfish  
25 retention limit match up, management-wise, with the swordfish  
26 general commercial permit, which is an open access permit that  
27 applies not only in the Caribbean, but also across the rest of our  
28 management area.

29  
30 We have been exploring the possibility of being able to take a  
31 look and evaluate both trying to match up the swordfish retention  
32 limit between those permits and provide for in-season management  
33 abilities and then also consideration of some limited amount of  
34 shark harvest under the Caribbean small boat permit.

35  
36 That is something that we've been working on and are working  
37 towards actually developing a proposed rule on, and you might be  
38 able to see and hear more about that later on in 2020, probably  
39 early in 2020.

40  
41 Moving on to HMS dealer permits and reporting requirements, as I  
42 mentioned before, there are requirements to sell only to HMS-  
43 permitted dealers, and we issue dealer permits for shark,  
44 swordfish, and tunas. There are only a few dealer permits that  
45 currently are issued in the U.S. Caribbean, and there could be  
46 more, because it's an open access, to be able to get a dealer  
47 permit, but there are reporting requirements that go along with  
48 this.

1  
2 Atlantic HMS dealers are required to report their HMS  
3 electronically through one of the NMFS-approved electronic  
4 reporting programs, and, in the U.S. Caribbean, the one that is  
5 being used is the eDealer system, and eDealer facilitates reporting  
6 of HMS only, and no other species are reported through the eDealer  
7 system. It's only HMS.

8  
9 In other areas, other systems are used, depending upon the  
10 different region and states, and, in many cases, we depend, in  
11 other states, on the trip ticket programs of those states. In  
12 some other places, it may be the SAFIS electronic reporting system,  
13 but all dealers must report. Currently, this is the only federal  
14 dealer permit and dealer reporting requirement in the U.S.  
15 Caribbean.

16  
17 Moving on to talk a little bit about the reporting requirements  
18 for fishers in the U.S. Caribbean, and you all are familiar with  
19 this, and this is the territorial commercial fishermen reporting  
20 forms, and so it is the case, for the Caribbean small boat permit,  
21 that those permit holders -- When they land and sell their catch,  
22 they must report via the territorial reporting forms, and any of  
23 our HMS-permitted vessels and the fishers with those permits would  
24 be required to meet any of the territorial requirements that may  
25 apply, including this one, if this applies to them.

26  
27 A real quick slide, in summary, about how to obtain these permits,  
28 and there's a couple of ways. One is some of these permits are  
29 available through an online system, which is called the NMFS Permit  
30 Shop, and I provided the website and the phone number here for  
31 this, and I understand this presentation will be made available  
32 publicly when it's posted, and so this is a place where a fisherman  
33 can go in and obtain vessel permits online, using a credit card,  
34 and get them very quickly.

35  
36 It includes all of the Atlantic tunas permits, except for longline,  
37 and it includes the HMS charter headboat permit, HMS angling  
38 permit, which is not a commercial permit, and also the swordfish  
39 general commercial permit. The other place where permits can be  
40 obtained is from the Southeast Regional Permits Office, and the  
41 contact information is here. A good way to find this online  
42 information is just to do a Google search for the SERO Permits  
43 Office or the NMFS Southeast Permits Office, and you will find the  
44 information.

45  
46 This is where the HMS commercial Caribbean small boat permit is  
47 issued out of, through that application process in the Southeast,  
48 and then also renewal and any transfers of limited access permits,

1 such as the Atlantic tunas longline permits.

2  
3 Speaking of the Atlantic tunas longline permits and fisheries, I  
4 will get into a little bit of the specifics here. There are three  
5 permits that are required to be held in combination for any pelagic  
6 longline vessel. Those include one of the directed swordfish  
7 limited access permit or incidental swordfish limited access  
8 permit and the directed shark limited access permit or incidental  
9 shark limited access permit and the Atlantic tunas longline limited  
10 access permit, and so, once again, three permits must be held in  
11 combination in order to fish with pelagic longline gear.

12  
13 These are limited-access permits, and there are -- In 2018, there  
14 were 257 vessels authorized to fish with pelagic longline gear,  
15 but only seventy-four have been active in a management area from  
16 Maine to Texas and the U.S. Caribbean, and so active, in this case,  
17 means that they reported at least one swordfish landing, and so,  
18 once again, 257 potential vessels, but seventy-four that are  
19 active.

20  
21 This is a real quick overview and picture of the time/area  
22 management measures and closures that apply to the pelagic longline  
23 fishery, and you can tell and see that there are a number of them.  
24 Some of these are closed year-round, and some of them are seasonal  
25 in nature, and this same picture is available in our compliance  
26 guides.

27  
28 I will take this moment, related to compliance guides, to say that  
29 I have a handful of them that I brought with me, and, after my  
30 talk and after -- Maybe at a break, if you would like to have one  
31 of them, I certainly can give you one.

32  
33 I wanted to go through some of the specific requirements that apply  
34 to pelagic longline vessels. Some of them relate to sea turtle  
35 bycatch mitigation measures that are required under the biological  
36 opinion that's applicable under the Endangered Species Act. The  
37 first three up here are those, and only large, corrodible circle  
38 hooks may be deployed. Specifically, those are 16/0 and 18/0  
39 circle hooks.

40  
41 Only whole finfish or whole squid bait may be used, and gangions  
42 must be at least 10 percent longer than the length of float lines,  
43 and this is to allow any potentially-hooked sea turtle to be able  
44 to reach the surface.

45  
46 Additionally, there are other requirements. Pelagic longline  
47 vessels may not possess, retain, or sell any billfish. There are  
48 a number of prohibited sharks, nineteen of them, and they also

1 include the prohibition and retention of silky, oceanic whitetip,  
2 or hammerhead sharks on pelagic longline vessels.

3  
4 Vessels must also release any shortfin mako or porbeagle sharks  
5 that are alive at haul-back, and the pelagic longline fishery is  
6 managed under an individual bluefin tuna quota system, and vessels  
7 must have sufficient IBQ, or individual bluefin tuna quota, in  
8 order to make one set at the beginning of any quarter, and then  
9 any deficit that occurs in IBQ within a quarter must be rectified  
10 at the end of a quarter.

11  
12 Then vessels must possess and use the sea turtle safe handling and  
13 release gear, and they must also use those gears in compliance  
14 with marine mammal, sea turtle, and sawfish regulations.

15  
16 Additionally, related to recordkeeping and reporting requirements,  
17 vessels must comply with the science-based quotas for swordfish,  
18 sharks, and tunas, which are monitored using dealer reporting,  
19 mandatory logbook reporting, observer -- Again, they must carry  
20 observers when they are selected to carry observers, and all  
21 vessels also have electronic monitoring systems onboard to account  
22 for bluefin tuna interactions and shortfin mako interactions.

23  
24 All vessels have installed and use NMFS-approved vessel monitoring  
25 systems, which are monitored by the Office of Law Enforcement, and  
26 there are hail-in and hail-out requirements through the VMS system  
27 that are required. Additionally, through the VMS system, there  
28 must be a report of any bluefin tuna catch, or absence of catch,  
29 with any set that's made with pelagic longline during a trip.

30  
31 Once again, these vessels carry observers if they are selected,  
32 and they must offload and sell only to federally-permitted HMS  
33 dealers, and they must submit the logbooks within seven days of  
34 offloading, and all vessel owners and operators must attend a safe  
35 handling and release workshop every three years.

36  
37 I also wanted to provide a quick overview of some current HMS  
38 initiatives that we have going on. They include, in the pelagic  
39 longline fishery, an initiative right now to look at gear-  
40 restricted areas and weak hook management measures. This is with  
41 the purpose of determining if existing area-based and weak hook  
42 management measures are the best means of achieving current  
43 management objectives and providing flexibility to adapt to  
44 fishing variability in the future.

45  
46 This is, of course, an initiative across our management area, from  
47 Maine to Texas, the U.S. Caribbean and on the high seas, with the  
48 pelagic longline fishery. The weak hook management measure that's

1 mentioned here is unique to the Gulf of Mexico, where weak hooks  
2 are required in the pelagic longline fishery in the Gulf of Mexico,  
3 in order to facilitate quickly releasing adult-sized bluefin tuna.  
4

5 We have had a scoping process that we've undertaken for this. A  
6 draft environmental impact statement and proposed rule was out,  
7 and the comment period ended on September 30, and we anticipate a  
8 final rule and final EIS being out in the spring of 2020, and a  
9 website is available for more information on this subject.

10  
11 Another initiative we have is looking at going about, from a  
12 programmatic standpoint, collecting data collection and research  
13 in support of spatial fishery management, and, basically, this  
14 means how to go about, in an organized and programmatic way,  
15 collecting data in time/area closures, whether it's seasonal or  
16 year-round, in order to determine if they are still the most  
17 effective and most appropriate management measures in any given  
18 situation.

19  
20 This is not unique to pelagic longline fishing, and this is across  
21 all different gears and fisheries for HMS, and we've had scoping  
22 that took place on this in 2019, and we anticipate a proposed rule  
23 later in 2020.

24  
25 We also are working on Draft Amendment 13, which is all things  
26 bluefin tuna, focusing on refining the IBQ system that I was  
27 talking about earlier and making some updates there, based upon a  
28 three-year review of that program that we recently completed, and  
29 also looking at the potential to reassess allocation of bluefin  
30 tuna quotas and potentially discontinuing the purse seine fishery  
31 as well as looking at other provisions in directed and incidental  
32 bluefin tuna fisheries. Once again, we had scoping on this earlier  
33 in 2019, and a proposed rule and a draft environmental impact  
34 statement are anticipated in the spring of 2020.

35  
36 I mentioned the three-year review of the IBQ program, which we  
37 recently completed, and that's available online. You can Google  
38 that, if you wish, and here is the website, and then we also have  
39 a final action taken back in the spring, in March of 2019, that I  
40 wanted to highlight, and that's related to shortfin mako, and so  
41 this is final measures that are represented. Once again, this was  
42 to address overfishing and help to start rebuilding the shortfin  
43 mako stock.

44  
45 These measures became effective on March 3 of 2019, and they  
46 include the live release of shortfin mako sharks and retention  
47 with longline or gillnet gear only if a shark is dead at haul-  
48 back, and, for pelagic longline gear, vessels must have a

1 functioning electronic monitoring system, which they are already  
2 required to have, and those are monitored in order to account for  
3 the disposition of sharks when they come back at haul-back.

4  
5 In the recreational fishery, under an ICCAT recommendation, there  
6 is implemented the minimum size limit of seventy-one inches fork  
7 length, and that's a straight-line measurement for males and  
8 eighty-three inches fork length for females, and the required use  
9 of circle hooks in recreational shark fisheries at all times and  
10 in all places.

11  
12 I also wanted to mention a recent happening related to short-fin  
13 mako sharks, and this is not a NOAA action, but it is a CITES  
14 action, and that was the listing of short-fin mako in Appendix II,  
15 and this occurred on August 28 of 2019, and implementation is of  
16 November 26, and it requires specific permits from the U.S. Fish  
17 and Wildlife Service that are needed in order to import, export,  
18 or re-export short-fin mako sharks, and this includes fishermen  
19 who catch short-fin mako sharks on the high-seas, and that they  
20 will also need the permit from the U.S. Fish and Wildlife Service  
21 if they intend to land that fish.

22  
23 Also, any short-fin mako sharks, including fins that are landed  
24 before November 26, need a pre-convention certificate, and, of  
25 course, at this point, probably most of those are taken care of by  
26 now, but it is an important thing to keep in mind.

27  
28 I have provided a couple of links for more information. one thing  
29 I will just plug is the HMS news email listserv, which is available  
30 on the HMS website. If you want to get regular information emails  
31 about any new things coming out from HMS, please go that website  
32 and sign up for it. It is the best way to stay up-to-date on HMS  
33 actions. With that, I will conclude and be ready to answer any  
34 questions.

35  
36 **MARCOS HANKE:** Miguel.

37  
38 **MIGUEL ROLON:** Thank you, Randy. That was a thorough description  
39 of the HMS program, and we have needed that for a long time. I  
40 have a question regarding the requirement for any fisherman fishing  
41 in the EEZ for wahoo and dolphin who has a permit to sell, according  
42 to the present regulations. Do you have any numbers of U.S. Virgin  
43 Islanders or Puerto Ricans that have that permit already for the  
44 selling of dolphin and wahoo caught in the EEZ?

45  
46 **RANDY BLANKENSHIP:** First of all, dolphin and wahoo are not  
47 considered Atlantic highly migratory species, and so they don't  
48 fall within the management of the HMS Management Division.

1 However, some of the pelagic longline fishermen also may land and  
2 sell dolphin and wahoo, and, depending on where they are fishing,  
3 they will need to abide by the applicable regulations that may  
4 apply for those species.

5  
6 Related to that, there is the dolphin and wahoo permit that is  
7 required under the South Atlantic management measures, and many of  
8 those vessels do have a dolphin wahoo commercial permit, and that  
9 would be on a vessel-by-vessel basis, and then they would have to  
10 abide by those requirements.

11  
12 If they are fishing in the U.S. Caribbean, my understanding is  
13 that there's not a current commercial dolphin wahoo permit, and so  
14 that wouldn't be necessarily required in the U.S. Caribbean, and  
15 I could definitely use some clarification on that, if there is any  
16 to be had.

17  
18 **MIGUEL ROLON:** The reason I asked is a couple of fishermen have  
19 asked me, and there is a confusion, and this applies to longline  
20 vessels that are able also to catch dolphin and wahoo, but some  
21 have the confusion that, if I am fishing out there for dolphin and  
22 wahoo, do I need a permit to sell the catch, and my answer has  
23 been so far that you have to abide by the U.S. Virgin Islands and  
24 Puerto Rico local government requirements to sell, and then the  
25 question they ask is always that one. They say, Miguel, if I fish  
26 outside the local waters in Puerto Rico, do I need a permit from  
27 the federal government to sell the dolphin or the wahoo?

28  
29 Because we are going to get into the management of the dolphin and  
30 wahoo once the island-based FMPs are approved, that is the main  
31 question they have, and we also are telling them that this is not  
32 a highly migratory species, and it's a coastal pelagic, and we  
33 might be involved next year in the international Caribbean dolphin  
34 wahoo fishery administration, but, anyway, that's the rationale  
35 and the reason for the question.

36  
37 **MARCOS HANKE:** Carlos.

38  
39 **CARLOS FARCHETTE:** Hi, Randy. Who presently manages dolphin and  
40 wahoo? Is it the South Atlantic Council? Somebody has management  
41 on wahoo and dolphin, don't they?

42  
43 **RANDY BLANKENSHIP:** Right, and so the South Atlantic does manage  
44 dolphin and wahoo within the range of that fishery management plan,  
45 which would be according to the range of that, and I can't really  
46 speak to that. I think there has been some analysis of what that  
47 is, and I know Jack has just raised his hand, and he could speak  
48 to that a little better. There are other areas where dolphin and



1 wahoo are not managed, including the Gulf of Mexico and right now  
2 I think the U.S. Caribbean.

3  
4 **MARCOS HANKE:** Jack.

5  
6 **JACK MCGOVERN:** Dolphin and wahoo are managed by the South Atlantic  
7 Council from the Keys to Maine, and they are not managed in the  
8 Gulf of Mexico, and there is a permit for it, and it's an open-  
9 access permit for dolphin and wahoo.

10  
11 **JOCELYN D'AMBROSIO:** I was just going to say that, with the island-  
12 based FMPs that were approved in April, some of the islands manage  
13 dolphin and wahoo, and we can double-check and make sure that we  
14 get them right, but I know that -- I think both are managed in  
15 Puerto Rico, and is that right, Maria?

16  
17 **MARIA LOPEZ:** Yes.

18  
19 **JOCELYN D'AMBROSIO:** When those go into effect, that will be  
20 managed, and you can develop any further management measures that  
21 you want, but, right now, there are ACLs and AMs in the Puerto  
22 Rico plan for dolphin and wahoo, and I will check for St. Croix  
23 and St. Thomas/St. John which of those species are included.

24  
25 **CARLOS FARCHETTE:** So you're telling me that the territory has a  
26 management plan for --

27  
28 **JOCELYN D'AMBROSIO:** No, the island-based FMPs that the council  
29 just established, and so, in the federal plans, for Puerto Rico at  
30 least, it's dolphin and wahoo, and then I just have to double-  
31 check the St. Croix and the St. Thomas/St. John.

32  
33 **CARLOS FARCHETTE:** So, Jack, can I go online and look at their  
34 plan and how they manage dolphin and wahoo in the South Atlantic,  
35 because I would like to use some -- I need to get some verbiage  
36 out of that.

37  
38 **MARCOS HANKE:** Go ahead, Jack.

39  
40 **JACK MCGOVERN:** Sure, and I can send you the link to the Dolphin  
41 Wahoo FMP, and I can send you amendments to that, and I will email  
42 you, and we can talk about that.

43  
44 **MARCOS HANKE:** Richard.

45  
46 **RICHARD APPELDOORN:** I just wanted to remind the group that, at  
47 least for dolphin, we're talking one stock for the Caribbean and  
48 the South Atlantic and the Gulf and the other countries that are

involved there, and so, while each one may have their own plans, there is no coordinated plan looking at the stock as a whole.

**MARCOS HANKE:** Miguel.

**MIGUEL ROLON:** Also, we're talking about two species of dolphin, what we call mahi-mahi and what we call the dolphin. In 2020, the Caribbean countries are going to review the whole literature about dolphin and wahoo, and we are going to -- That will be available to all of you. We also want to ask the local governments what is the present regulations that you have for dolphin and wahoo, which is a little bit different from the island-based FMP draft that we prepared.

**MARCOS HANKE:** I would like to give the floor to Damaris first and recognize her presence here. I didn't have the opportunity to say so. Damaris.

**DAMARIS DELGADO:** Good morning. Damaris Delgado, DNER. I just wanted to recognize Randy's efforts, and I congratulate him for his presentation, and, also, I wanted to recognize that he has been addressing our questions.

We had a lot of questions that we wanted to consult with Randy, especially because we received a lot of questions from the fishers in this past time, and so he managed to answer so many questions from the fishers, and so thank you very much for your time and time put in answering all of our questions and giving us time to talk about all these issues that are of such great interest, especially from the fishers' side, and also from our biologists in DNER, and so I really appreciate your support and the clarification of all of our doubts and questions. Thank you.

**MARCOS HANKE:** Thank you, Damaris. Toby.

**WILLIAM TOBIAS:** Randy, when you issue a Caribbean small vessel permit for tuna and swordfish, do you also provide information that the applicant must be compliant to territorial regs as well, because there has been some confusion in regard to federal permits issued to individuals who don't hold territorial commercial fishing permits for sale of those fish.

**RANDY BLANKENSHIP:** Thanks for the question, Toby, and, yes, we do provide clarification. Actually, even on the face of the permit that's issued, among several things, it says that territorial requirements are applicable, and so that is incumbent upon the vessel then to find out from the territory what those requirements are that they need to abide by, but it has always been part of the

1 development of Amendment 4 and the issuance of those permits that  
2 it is clear that they must abide by territorial requirements as  
3 well.

4  
5 **MARCOS HANKE:** Carlos.

6  
7 **CARLOS FARCHETTE:** Thank you, Mr. Chair. Randy, I don't want you  
8 to go back to the slide, because I don't even remember where it's  
9 at, but it said that the small boat permit holder does not have to  
10 sell to HMS dealers, and can a small boat permit holder also have  
11 a -- There it is. Can a small boat permit holder also have a  
12 dealer permit, or apply for a dealer permit?

13  
14 **RANDY BLANKENSHIP:** Yes, and so it's an option for them. A  
15 Caribbean small boat permit holder could sell directly to the  
16 public, and they could also sell to an HMS-permitted dealer. They  
17 could also, if they wished to be, become a dealer themselves and  
18 then buy from other fishermen. They would be bound by the  
19 requirements to report as a dealer what those purchases are.

20  
21 **CARLOS FARCHETTE:** You just said that they can sell directly to  
22 the public, but aren't they required to have a dealer permit to  
23 sell tunas to the public, or it is just for yellowfin?

24  
25 **RANDY BLANKENSHIP:** If they have a Caribbean small boat permit,  
26 under federal requirements, they are not required to have a dealer  
27 permit to sell to the public. This permit authorizes them to sell  
28 directly to the public.

29  
30 **MARCOS HANKE:** Miguel.

31  
32 **MIGUEL ROLON:** Randy, then our interpretation is that a small boat  
33 operator will be authorized to sell, once they have the permit and  
34 everything to catch, according to the table, from the shoreline to  
35 the edge of the EEZ, and this is only for the EEZ. My question is  
36 do we need regulation in the local government to follow this, or  
37 does the federal government sort of trump the local government  
38 regarding the swordfish and so there is no need to have other local  
39 fishery regulations on top of that one, and that's the question  
40 that they have.

41  
42 **RANDY BLANKENSHIP:** The Caribbean small boat permit applies in  
43 federal waters. The selling to the public is a provision of this  
44 permit that authorizes them to sell directly to the public, rather  
45 than to a dealer, but it is a federal permit that applies in  
46 federal waters.

47  
48 **MIGUEL ROLON:** There are two points to that. One is where you

1 catch them, and you need to have a permit to fish for these species,  
2 but, once you have that permit, you sell it at the dock in Puerto  
3 Rico or the Virgin Islands, to whomever you want to sell it.

4  
5 **RANDY BLANKENSHIP:** That is correct.

6  
7 **MIGUEL ROLON:** My intention with this, Mr. Chairman, is that there  
8 have been -- They are asking me a lot of questions, and, most of  
9 the time, what I do is I refer the fishers to the language that  
10 you have in the Federal Register.

11  
12 Our intention, and this is advancing a little bit on what Dr. Alida  
13 Ortiz is going to present, but we are putting together a fact sheet  
14 of information that will be electronic and distributed on paper,  
15 and we will prepare a draft and send it to your office, to make  
16 sure that we don't have any mistakes. Once we have that blessing,  
17 we are going to distribute that in Spanish and English to the local  
18 fishers.

19  
20 Also, we are going to include whatever local regulations the U.S.  
21 Virgin Islands and Puerto Rico may have, and so all the information  
22 will be provided to the public in both languages, but we will thank  
23 you in advance for reviewing whatever we are going to prepare.

24  
25 **RANDY BLANKENSHIP:** Thank you, and we'll look forward to receiving  
26 that, and we'll review it, absolutely.

27  
28 **MARCOS HANKE:** I want to -- I have many people in the queue, as  
29 expected, and I want to comment that, when Damaris made the  
30 intervention, because I have been part of facilitating the  
31 discussion, and I know that there is interest in the department  
32 and the coordination with your office to improve the language and  
33 clarify a few things that we need to work around it.

34  
35 I personally sent a letter requesting, to the legal division of  
36 the DNR, some opinions from them and some clarification points,  
37 and the work is -- It is moving forward, and I am looking forward  
38 to that. Right now -- Jocelyn.

39  
40 **JOCELYN D'AMBROSIO:** I just wanted to close the loop on Carlos's  
41 question about management of dolphin and wahoo, and so I was able  
42 to double-check the St. Croix and the St. Thomas/St. John island-  
43 based FMPs that the council approved to send to the Secretary in  
44 April, and they also would manage dolphin and wahoo, and, again,  
45 we're just pending a secretarial approval of that, and so we have  
46 to still have a proposed rule and a final rule, but dolphin and  
47 wahoo are included in all three of the island-based FMPs, and they  
48 have ACLs and AMs for management.

1  
2 **MARCOS HANKE:** Thank you for the clarification. Next in the queue  
3 is Nelson.

4  
5 **NELSON CRESPO:** I have two questions. The first one is regarding  
6 the small boat permits. I remember that, in the past, many  
7 fishermen are interested in this permit, but it's so difficult,  
8 because they don't find the website application, and so are you  
9 planning to, in the future, to implement an application site for  
10 this permit?

11  
12 **RANDY BLANKENSHIP:** The permit application is available through  
13 the Southeast Permits Shop and is available for download from that  
14 website, and we are not planning a separate process from that. It  
15 still would remain through the Southeast Permits Office, and, as  
16 I provided, later on in this presentation, back here, the bottom  
17 area right here is information about how to get to that, and I  
18 suggested -- Because, actually, the website was too long to put on  
19 this slide, but you can do a search for "SERO Permits Office", or  
20 "Southeast National Marine Fisheries Service Permits Office", and  
21 it will get you to that website.

22  
23 Then I found it very easily, and so then you can download the  
24 application and go through the application process, and, of course,  
25 there is also the phone number available here, and the Permits  
26 Office is very good about doing customer service and walking  
27 applicants through the process and answering questions along the  
28 line, and, also, they have the ability to get Spanish speakers on  
29 the line as well and talk to them in that process.

30  
31 **NELSON CRESPO:** Okay, and the second one is regarding the dogfish  
32 and all other deepwater sharks, like the vilma, and I don't  
33 remember the name in English. Marcos, what is vilma in English?

34  
35 **MARCOS HANKE:** Smoothhound.

36  
37 **NELSON CRESPO:** Yes. Can you add that in the mode of education,  
38 because we think we need some permits.

39  
40 **RANDY BLANKENSHIP:** For fishermen in a scenario, let's say, where  
41 they are fishing deep water for a snapper or a grouper or something  
42 along that line, where they may be meeting the requirements for  
43 that, and they catch a smoothhound shark at the same time, there  
44 is a permit available that would meet that need, and that is the  
45 smoothhound shark commercial permit, and that requires selling to  
46 an HMS-permitted dealer.

47  
48 That's something to keep in mind, but it is an open-access permit,

1 and it is available through the Southeast Permits Office, once  
2 again, through that same process of getting to that site. Then,  
3 in addition to that, as I mentioned, we are considering,  
4 potentially later in 2020, a proposed rule that would be out that  
5 would consider, under the Caribbean small boat permit, potentially  
6 allowing some retention of sharks.

7  
8 One of the species that we are considering in that proposed rule  
9 will be smoothhound, and so keep an eye out for that. That would  
10 then allow, once again, on the Caribbean small boat permit, the  
11 ability to sell them without having to go through an HMS-permitted  
12 dealer.

13  
14 **NELSON CRESPO:** Okay, because those sharks are, for the deepwater  
15 snapper fishermen, are bycatch, but I am pretty sure that, in the  
16 future, that we will have a market for it, and many fishermen are  
17 interested in that. Thank you.

18  
19 **RANDY BLANKENSHIP:** To recap, in federal waters currently, a permit  
20 is required to land and sell those smoothhound, and that is the  
21 smoothhound permit. That is the current permit that allows for  
22 that.

23  
24 **MARCOS HANKE:** Thank you, Randy. Next is Julian.

25  
26 **JULIAN MAGRAS:** Good morning. Great presentation. I just needed  
27 a little bit more clarification to see if I am understanding this  
28 right. The small boat permit allows anyone -- The first question  
29 is anyone can apply for a small boat permit, both commercial and  
30 recreational?

31  
32 **RANDY BLANKENSHIP:** This is not a recreational permit. This is a  
33 commercial permit, and there is the requirement that the vessel be  
34 less than or equal to forty-five feet in length, and it is only  
35 valid in the U.S. Caribbean, and so anyone can apply for it, even  
36 on the mainland, but it's only valid in the U.S. Caribbean, and,  
37 once again, they must abide by any territorial requirements that  
38 apply.

39  
40 **JULIAN MAGRAS:** Okay. Well, I think that answers my question,  
41 because I was misunderstanding that you can apply for the permit  
42 and then you can sell to the public, but, because the Virgin Island  
43 law states that you must be a commercial fisher with a business  
44 license in order to harvest and sell, and so I just wanted to make  
45 sure, because it was coming across that anyone could apply for the  
46 permit, and so you clarified it. Thank you very much.

47  
48 **RANDY BLANKENSHIP:** This permit does not preclude that territory

1 requirement.

2  
3 **MARCOS HANKE:** Damaris, do you have an earlier comment?

4  
5 **DAMARIS DELGADO:** Yes. As Marcos was mentioning, we have been  
6 analyzing potential new territorial requirements for the  
7 longliners, and that's why we are waiting for a position from our  
8 Legal Affairs Office, and we are in that process, and we are  
9 considering requiring the longliners to have a Puerto Rico license,  
10 but, also, I wanted to ask you if there is a possibility that,  
11 once we decide about that, and that potentially happens, could you  
12 add into your website and the information available the  
13 requirements that we establish as territorial permits? Could you  
14 orient and educate the people that are interested in these things  
15 about the official requirements?

16  
17 **RANDY BLANKENSHIP:** We can certainly consider how we might go about  
18 doing that. Given that there may be different requirements at any  
19 given state or other territory, we would have to think about how  
20 we go about doing that, but, yes, we would want to be able to  
21 provide some type of outreach that indicates that state or  
22 territorial requirements may be applicable, in addition to the  
23 federal requirements, and I would think also that potentially the  
24 compliance outreach material that Miguel was talking about that  
25 was Caribbean specific might be another opportunity to provide  
26 that kind of clarification.

27  
28 **DAMARIS DELGADO:** Thank you very much, and, also, we were talking  
29 about maybe being able, DNER, to receive the reports that you  
30 receive from the applicants, and is there a way to formalize that  
31 request of receiving all the information on the landings and the  
32 bycatch from the people that have the permits in Puerto Rico?

33  
34 **RANDY BLANKENSHIP:** Yes, and so, in particular, what we're talking  
35 about here is the pelagic longline fishery and the data that's  
36 collected from them, and I think that the answer is, yes, we would  
37 continue to talk about that and figure out the processes for that.  
38 Some of this data reside at the Southeast Fisheries Science Center,  
39 or is accessible through them, but we can discuss how that takes  
40 place.

41  
42 Two data sources that are available include -- Let me rephrase  
43 that. Some of it resides at the Southeast Fisheries Science  
44 Center, and some are in other locations, but the dealer data reside  
45 in a couple of different dealer databases. The logbook data that  
46 is collected from all the longline vessels resides at the Southeast  
47 Fisheries Science Center, but, yes, we can talk about that further.

1 **DAMARIS DELGADO:** Thank you.

2  
3 **MARCOS HANKE:** Miguel.

4  
5 **MIGUEL ROLON:** Damaris, for any data collected, you need to  
6 identify a contact point, and that person has to submit  
7 documentation to allow that person to receive that information.  
8 If you have information -- All information that is in aggregate  
9 and is published is free, and it's on the internet, but what Randy  
10 is talking about, where you have all these datasets, you can do it  
11 through the Fisheries Research Laboratory, if you identify one  
12 person that can collect that information for the local government.

13  
14 The other thing is that, whatever you do at the local government,  
15 you have to be mindful of the federal regulations, and you cannot  
16 go over the federal regulations regarding any of the management  
17 measures that you have, and longliners are a different animal,  
18 when you treat the fishery.

19  
20 They may not be fishing in Puerto Rico or the Virgin Islands, and,  
21 actually, the two that are fishing, they are fishing on the  
22 Atlantic Ridge, and so you may be talking about small vessels  
23 fishing for tuna and all that, and so the point is that we need a  
24 little bit more discussion, and so we offer to you the assistance  
25 of the council and maybe to work together, and I'm sure that Marcos  
26 will be there, and, whatever we prepare, we can send it to Randy  
27 for clarification, or any other help that we can assist you with.

28  
29 In the case of the Virgin Islands, I don't know if the Commissioner  
30 has anything to add regarding the status of the regulations that  
31 you have that are related to highly migratory or dolphin and wahoo.

32  
33 **JOHN-PIERRE ORIOLO:** I have nothing to add at this time.

34  
35 **MARCOS HANKE:** Graciela, did you have a follow-up?

36  
37 **GRACIELA GARCIA-MOLINER:** Damaris, we would like to request a point  
38 of contact. Who is the person who is dealing with the small  
39 vessels and longliners in the territorial waters, if you could  
40 please put us in contact, so that we can communicate. Thanks.

41  
42 **DAMARIS DELGADO:** Thank you.

43  
44 **MARCOS HANKE:** Thank you. Maria.

45  
46 **MARIA LOPEZ:** My question is regarding the dolphin wahoo, and it's  
47 more like a clarification. You were saying that the persons that  
48 have the longliner permits -- If they are going to retain dolphin



1 and wahoo, they also will have a South Atlantic permit, right?

2  
3 **RANDY BLANKENSHIP:** Yes, if they are fishing in the area that would  
4 require the dolphin wahoo permit.

5  
6 **MARIA LOPEZ:** Right. Okay. So that means that, whatever dolphin  
7 and wahoo that they are catching, it's going to be reported  
8 somewhere, maybe one of those places that you mentioned in your  
9 presentation, and that means that we can have access to that data,  
10 so that we can count -- Now that we are going to be managing  
11 dolphin and wahoo under the island-based fishery management plans,  
12 we can have access to that data, so we can count that and monitor  
13 that harvest, and is that correct?

14  
15 **RANDY BLANKENSHIP:** Yes, that's exactly correct, and I will also  
16 mention that, keeping in mind, as you're going through exploring  
17 getting these data, is the low number of pelagic longline vessels  
18 that are actually fishing in the U.S. Caribbean at any given time.  
19 Over the last six years, it has ranged between one vessel and four,  
20 and, even in the year where there was four, it wasn't four at one  
21 time. It was over the course of the year, and so you're talking  
22 about very low numbers, and there will be confidentiality of the  
23 data concerns that need to be taken into account, and so those are  
24 all things just to be aware of, but, yes, the data are available.

25  
26 **MARCOS HANKE:** A follow-up?

27  
28 **MARIA LOPEZ:** Thank you. I have another question, and I don't  
29 know if this for Randy or more for Puerto Rico, but the longliners  
30 that sell to the dealer, and that dealer is -- If there is a  
31 dealer, that it's in Puerto Rico waters, what kind of permit do  
32 they need, and how is the information, the data, that come from  
33 those activities -- How is that collected and reported?

34  
35 **MARCOS HANKE:** Damaris.

36  
37 **DAMARIS DELGADO:** Thank you for the question. We are analyzing  
38 precisely that, and these are the conversations that we have been  
39 having with Randy and Marcos especially, and we wanted to have the  
40 legal opinion from our Legal Affairs Office, because our regulation  
41 establishes that we have to follow the federal regulations, and we  
42 recognize, in our fisheries, fishing regulations, the existence of  
43 these other regulations that are federal and that people have to  
44 comply with what Randy mentioned, but, besides that, we might need  
45 a permit, and we are not getting the data and landings from the  
46 people that do business here in Puerto Rico, and so we really would  
47 like to get that information.

1 That's why I was asking Randy officially how we do that, but we  
2 really would like to take a look at what's going on in our waters,  
3 and we might want to require a commercial license to those people  
4 that are doing that business, and that's the main question that we  
5 need to clarify, and, internally within DNER, and also with the  
6 fishers, try to bring the subject with fishers, and maybe that  
7 will be a good idea, because that is not clear right now in our  
8 minds, and we have to check what is the benefits and the  
9 disadvantages of doing that, but, in general, I guess that will  
10 help us have more information about what's going on in our waters.

11  
12 **MARCOS HANKE:** Miguel.

13  
14 **MIGUEL ROLON:** Maria, the answer to your question is no, until  
15 they come up with what Damaris described, and so, presently,  
16 whatever information you get from the federal government, that's  
17 it, and that's a requirement that they have. There is only one  
18 dealer in San Juan that is working with the longliners and fishing  
19 in the Atlantic region, and that's Tommy Forte, and he is willing  
20 to provide any extra information that you might need, but all the  
21 information that he collects go to the databases that Randy was  
22 mentioning before.

23  
24 It is envisioned that, in 2020, if the Junta de Pesca reviews the  
25 status of this fishery in Puerto Rico, we may end up having a  
26 requirement, as Damaris mentioned, but it is still an open  
27 question. In the case of the government of Puerto Rico, the rule  
28 of thumb is do not duplicate what is already there in the federal  
29 government.

30  
31 **MARCOS HANKE:** Thank you, Miguel. Vanessa.

32  
33 **VANESSA RAMIREZ:** My question is about the permit of the Caribbean  
34 small boat. As you said, it's very easy to find the application  
35 and to ask for the permit. I worked on one last year, and  
36 practically in thirty-five days the permit was already here, but  
37 the thing is, for our commercial fishermen, it's too long, the  
38 application. It's seventeen pages, and they only need to fill out  
39 the first three and the last one, but, once they get all that  
40 paper, they just throw them away, and because it's in English. Is  
41 there any option that they can have for a Spanish or a translator?

42  
43 **RANDY BLANKENSHIP:** That's a valid question and a concern there.  
44 The permit application is very long, and it is for multiple  
45 different permits, which is part of the reason why it's so long,  
46 because there is information needed for different permits.

47  
48 There have been a lot of improvements made on that system, and I

1 know that more improvements are planned in the Permits Shop there  
2 in the Southeast, and Roy or Jack might be able to speak more to  
3 that, because, actually, that Permits Shop falls under their  
4 purview, actually Roy's, but I will leave that to you.

5  
6 **MARCOS HANKE:** Roy.

7  
8 **ROY CRABTREE:** Well, they are working on a number of improvements,  
9 primarily to allow fishermen to apply online and reduce the amount  
10 of paperwork, and so I think, for most of the permits they issue  
11 now, you can apply and do it all online, and I don't know if that's  
12 true of these particular permits or not, but they are trying to  
13 streamline it.

14  
15 **VANESSA RAMIREZ:** Well, practically, the application on the  
16 internet is the same one, and you have to download it and send it  
17 by email the first time, and then, for the renewal, you can do it  
18 by the internet, but the thing is that most of our commercial  
19 fishermen don't speak or write English.

20  
21 **MARCOS HANKE:** Miguel.

22  
23 **MIGUEL ROLON:** Randy, we can help with that. The Caribbean Council  
24 can translate that, unofficially, and then send it to whatever  
25 Puerto Rican fisherman is interested in receiving that  
26 information, and we can do that very quickly, or we can do it this  
27 month, and so, that way, we are not interfering with the federal  
28 government, but we can provide it to the local fishers in Spanish,  
29 and then they will be able to use it.

30  
31 Usually, most of the fishers that apply for this permit might need  
32 some help, in terms of how they get it, and I know that you have  
33 been doing that, and so I just wanted to offer that, and the  
34 council can do that, if you agree, Randy, and, Roy, we can go ahead  
35 and do that, and we promise that everything that we write in  
36 Spanish is exactly the same as English.

37  
38 **ROY CRABTREE:** I think we can provide assistance with that if  
39 people call. The trouble is there's a number of things we get  
40 into. One, we have a group of people in the Permits Office who  
41 process this and have to enter all of it, and then most of them  
42 probably don't speak Spanish, and so they wouldn't be able to --  
43 Then all of this involves programming and putting the forms into  
44 the computer system and software, and we're very limited on how  
45 much programming we can do, and we have to prioritize things, and  
46 so all of these changes, even if they don't sound that difficult,  
47 they still require money and time, and someone has to go in and  
48 program the system to deal with all of that, and that is why it

1 takes a while to get there.

2  
3 **MARCOS HANKE:** Randy.

4  
5 **RANDY BLANKENSHIP:** To build off of what Roy said, as I mentioned  
6 earlier, I know that there is -- There are folks in the building  
7 that do oftentimes get on the phone with Spanish speakers to help  
8 the Permits Shop work through questions on applications, and Maria  
9 is one of them, and there's others, and that is -- We will make  
10 efforts to try to facilitate fishermen being able to understand  
11 what they need to do on that permit application. It is a recognized  
12 need for some additional work there, and I think, Miguel, your  
13 offer is a good one. Exactly what that looks like, probably we  
14 should continue to work on that, in providing that assistance.

15  
16 **MIGUEL ROLON:** My point is that this would be -- We have done this  
17 before in the past, and it has been the fishers who understand the  
18 language, but my proposal is this. We can translate that, and we  
19 have Guillermo here, we can have a purchase order, and they can  
20 translate the document, and I can send it to the Regional Office,  
21 and Maria can double-check and make sure that it follows the  
22 regulations, but we are not intending to have a Spanish version in  
23 the federal government, at the Regional Office, for people. It's  
24 just an assistance, but they will still have to sign their name  
25 and apply in the English version.

26  
27 Also, we can offer -- Because I don't think that a thousand  
28 fishermen will come and apply for that permit. First, they don't  
29 have a boat, and, second, they don't have the desire. However,  
30 there's an opportunity here to teach fishermen from the Virgin  
31 Islands and Puerto Rico and offer them this opportunity.

32  
33 In general, to catch two swordfish a day and sell them is a lot of  
34 money involved there, and that's why Tommy Forte is fishing for  
35 them, and so, to summarize, the council can do the translation  
36 this month and send it to the Regional Office and double-check  
37 that, and then, for next year, we can help any fisherman who wishes  
38 to receive that, and I can send it to Vanessa, or anybody who wants  
39 it.

40  
41 In St. Croix, there are fishermen who only speak Spanish and  
42 Vietnamese, and so we can do that rather easily, and we don't have  
43 to discuss the whole thing now, but the commitment that the council  
44 can make at this time is we will have that translated and download  
45 the seventeen pages and send it to the Regional Office. Once that  
46 is cleared up, I can send it to Vanessa or whomever wants to  
47 receive the information, and they can use the Spanish version to  
48 be able to fill out in the information in English.

1  
2 **MARCOS HANKE:** The conversation is going to keep going, for sure,  
3 between Randy and Miguel and the people that are involved in trying  
4 to facilitate this important part. Carlos, and then I have two  
5 people from the public.

6  
7 **CARLOS FARCHETTE:** Real quick, you can do like what we do on St.  
8 Croix. If somebody has difficulty with the English language,  
9 enforcement is willing to download the application and sit with  
10 them and help them fill it out, and, that way, when they sign,  
11 it's sent out, and I think DNER can do the same thing, help the  
12 fishermen fill that application out.

13  
14 **UNIDENTIFIED:** I think my question was already answered, but, a  
15 couple of months ago, I saw the list of people having the Caribbean  
16 small boat permit, and it was a couple of people whose port is in  
17 Puerto Rico, and I was wondering if there are reports of the  
18 landings, if any, that they did in Caribbean waters and didn't  
19 sell here, if they salt their catch in Puerto Rico, because, even  
20 though that permit has been a long time available for fishermen,  
21 I only saw four fishermen that had the permit, and one of the  
22 permits was about to expire, and I was wondering if there are any  
23 actual reports, because I know the local fish trip data has them  
24 to fill the -- They have to fill out the number of HMS permits,  
25 but they are not doing that, and so it's been about seven years of  
26 us trying to get them to comply, but it isn't happening, and I was  
27 wondering if you have any data regarding the catch and landings of  
28 HMS in the Caribbean.

29  
30 **RANDY BLANKENSHIP:** The data that come in through the commercial  
31 trip reporting through the territory is ultimately sent to the  
32 Southeast Fisheries Science Center, and we do get that information,  
33 and, yes, there are landings of HMS that come in through that  
34 reporting system, and we do incorporate those in our overall  
35 landings updates that we post online, and they're not -- We post  
36 them across the management area, and they're not by region, and so  
37 you can't see it specifically, but, when we do get them, we  
38 incorporate them in there for swordfish and for the BAYS tunas,  
39 which are the landings that would be coming in through that, and  
40 so, yes, we are getting the information.

41  
42 I would say that there is room for improvement in outreach in how  
43 those fishermen fill out the forms properly, but we do get some  
44 HMS reports coming in through that, and it's a longer lag time on  
45 that, because there's a longer process of that data coming in than  
46 let's say through the dealer reporting, which, as you saw, is seven  
47 days after the landing occurs. Within seven days, we get that  
48 information, but we are getting that through the forms.

1  
2 **MARCOS HANKE:** Thank you for the question. Tony Iarocci, and then  
3 we'll go for a coffee break.  
4

5 **TONY IAROCCHI:** Thank you, Randy. That was a very informative  
6 presentation, and I wanted to stress -- I was going to ask the  
7 same exact question, and so I'm going to have to ad-lib a little  
8 bit here, but I would like to stress the importance of this permit  
9 as an alternative fishery for these small boats throughout the  
10 Caribbean.  
11

12 Last night, we were at a social here with some of the commercial  
13 fishermen, and, as I walked the docks and checked out the little  
14 boats, behind one of the small boats was a swordfish tail nailed  
15 to the dock, like similar to what we do up in New England, and I  
16 looked at it, and I said, wow, here's one of the guys here fishing  
17 for these swordfish, and there's many changes in that fishery now  
18 that apply to the small boats.  
19

20 They are using live bait, and they are using lighter gear, spider  
21 wire, and there's all kinds of things, and I just want to stress  
22 that I think -- You're right that we have to make sure that they've  
23 got the right permits and they go through the process and the  
24 landings are documented. Do you see -- She said there's only four  
25 permits right now in Puerto Rico, and do you have a number for the  
26 whole Caribbean?  
27

28 **RANDY BLANKENSHIP:** They are reported in our annual SAFE report,  
29 which is available online, and so you can actually see numbers of  
30 permits in that SAFE report, and it's a 2018 SAFE report, which is  
31 the last one that we put out, and there were four from Puerto Rico  
32 and I think two in the USVI.  
33

34 The number remains very low, and so we're looking for ways for  
35 fishermen to really become aware of that permit and the benefits  
36 that that permit offers them, and then there's also -- There are  
37 some things, as far as what Damaris mentioned, about clarification  
38 on applicability of regulations in the territorial waters that can  
39 also come into play over the longer term, once that clarification  
40 becomes available, as to how that permit then applies to fishermen.  
41

42 Another part of this is that fishermen really would like to also  
43 harvest sharks, in addition to those tunas and swordfish, and the  
44 retention limit under that permit has been zero, and part of the  
45 unique aspect of that is that the requirements of that permit, as  
46 a condition of that permit, make those requirements apply within  
47 territorial waters, if they have the permit, and, therefore, if  
48 they get that permit, which has a zero retention of sharks, then,

1 technically, under federal requirements, they are bound by that  
2 requirement in territorial waters, which they don't want to be  
3 bound by that.

4  
5 There is still this interplay that needs to be worked out on that,  
6 and then, in addition to that, I mentioned earlier a proposed rule  
7 that we're considering, which would look at the possibility of  
8 allowing some small amount, limited amount, of retention of sharks  
9 under that permit for the first time, which may also be part of  
10 trying to deal with this.

11  
12 Separate from the Caribbean small boat permit, I will also  
13 reiterate that there are some other permits available, commercial  
14 permits, that would allow for the catching and selling of HMS,  
15 tunas and swordfish, and fishermen could get those, but they  
16 require selling to an HMS-permitted dealer, and so, for instance,  
17 if you look at like the tunas general permit that is the commercial  
18 permit for rod-and-reel that allows for the retention of yellowfin  
19 tuna, bigeye, albacore, skipjack in this area, there are commercial  
20 tunas general permits that are issued in Puerto Rico and in the  
21 USVI, and so fishermen can operate under those, but they would  
22 have to sell to an HMS-permitted dealer to do that legally.

23  
24 Then, in addition to that, there are options under the  
25 charter/headboat permit with a commercial endorsement and options  
26 under the swordfish general commercial permit as well, but, once  
27 again, all of those have to be sold to dealers. There are a lot  
28 of opportunities for fishermen to do the things they need to do,  
29 but they need to abide by the regulations that are applicable.

30  
31 **MARCOS HANKE:** Thank you, Randy, and, for sure, people are going  
32 to keep asking and stopping you around for many other questions.  
33 Thank you very much, and, from my point of view of this, being  
34 involved on the HMS issues and discussions, I invite everybody to  
35 analyze and to put their best effort to make the regulations to  
36 work to be clear and to be accessible to the fishermen. Let's go  
37 for a coffee break for ten minutes. Thank you very much.

38  
39 (Whereupon, a brief recess was taken.)  
40

41 **MARCOS HANKE:** Please take your seats. We are restarting the  
42 meeting. We have a presentation from yesterday that we have to  
43 accommodate your presentation, and can you please present it?

#### 44 45 **DISCUSSION OF TECHNICAL ADVISORY PANEL** 46

47 **GRACIELA GARCIA-MOLINER:** This is very brief. You have the update  
48 from the ecosystem-based fishery management update. Just to give

1 you a reminder, the way that the council had looked at the setup  
2 of the --

3  
4 **MARCOS HANKE:** We will need to hold for two minutes. There is  
5 still some people out of the room. Hold on for a second. Graciela,  
6 thank you. Proceed, please.

7  
8 **GRACIELA GARCIA-MOLINER:** You had a closed session yesterday, and  
9 the council approved this morning the new members for the TAP,  
10 Technical Advisory Panel, and so, the way that you had set it up  
11 at the October meeting, was that the EBFM TAP will be basically  
12 like the SSC. It will work basically like the SSC, completely  
13 independent, and the consultation from the other advisory panels,  
14 as well as other stakeholders, will be done strictly through the  
15 council, and so --

16  
17 **MIGUEL ROLON:** It will not work like the SSC. It will be separate  
18 from everybody else, and these eight technical people will follow  
19 the work that started before, and it's a big distinction. Then  
20 what Graciela is going to present now is the interaction that we  
21 are going to have with this TAP.

22  
23 **GRACIELA GARCIA-MOLINER:** The TAP panel will be in contact directly  
24 with the council, and there will be establishment of the writing  
25 team, and that will be up to the region and to the Science Center  
26 and to the council to establish the writing team, per se, and it  
27 will be communicating through the council.

28  
29 All of the advisory panels will be also communicating with the TAP  
30 through the council, and so that will be the connection for  
31 submitting information, et cetera. The TAP will be able to request  
32 information from any of the advisory panels, and the stakeholders  
33 as well.

34  
35 The history and the next steps, this is what you had established  
36 for the Technical Advisory Panel at the October meeting. You had  
37 appointed five members at that time, and all of them have confirmed  
38 their availability and willingness to participate in the TAP. At  
39 the December meeting, you established the next three members that  
40 will form the eight-member TAP group, and at least two of them  
41 have confirmed their willingness and availability to participate,  
42 and we still need to contact one of the other members.

43  
44 The first thing that is going to happen during the first quarter  
45 of 2020, and that little asterisk there has to do with the fact  
46 that Michelle Duval will be preparing the strategic plan for the  
47 council starting in January of 2020, and all of the development  
48 and things that are related to the development of the fishery



1 ecosystem plan will be part of that strategic plan for the next  
2 five years of the council.

3  
4 The first thing would be to contract an assistant to deal with the  
5 technicalities of the ecosystem-based approach, and so that will  
6 be done by publishing an announcement for the person to be hired.  
7 The first meeting will be within the first quarter of 2020, and  
8 that would be, more than anything else, an organizational meeting.  
9 There are quite a number of efforts running parallel to what the  
10 council is doing, and so we don't want to duplicate any efforts.  
11 We want everyone to be pushing in the same direction, and so we  
12 will be contacting those point-of-contact staff from other  
13 agencies and dealing with that first, so that we are all on the  
14 same page and pushing forward.

15  
16 At that time, we will be providing the terms of reference, and we  
17 will be developing the agenda before then, but, basically, where  
18 are we now, where are we heading and how this is going to work and  
19 what are the assignments and set up the meeting schedule for the  
20 rest of the upcoming years, if possible, because everyone will  
21 have probably a lot to do from their other duties.

22  
23 We will be developing the FEP outline, or at least that would be  
24 the intention, but, by the second quarter, most likely that would  
25 have to be established, and that would be presented to the council,  
26 and then get directive from the council as to the direction that  
27 the FEP will take.

28  
29 The third quarter of 2020, then we'll be back to finalizing the  
30 conceptual models that we we've all been working on. At this time,  
31 the council is already working, actually with Carlos, and you will  
32 meet him shortly, to transfer the information from the models that  
33 we have had, the Mental Modeler, to a more network-analysis-type  
34 of approach that can be used and analyze the data in a formal way,  
35 and, more than anything else, to have a better visualization,  
36 because, you saw from Richard's presentation yesterday that the  
37 SSC has created quite a conceptual model, and the same thing goes  
38 for the DAPs.

39  
40 There is so much information that it really needs to be presented  
41 in a better graphical manner for everyone to understand, and so we  
42 will be populating the outline, and, by the end of 2020, we should  
43 be able to present results from the conceptual models and from the  
44 stacking of these conceptual models, to see where we're heading  
45 for each of the islands. Then, in 2021 to 2023, that will be  
46 decided during 2020. At this time, we don't have anything else,  
47 and that's it, Mr. Chair.

1 **MARCOS HANKE:** Miguel.

2  
3 **MIGUEL ROLON:** Also to inform you that, yesterday, the -- If you  
4 look at the outline that Graciela presented, there will be a lot  
5 of communication with the DAPs, and so we envision several meetings  
6 in 2020 of the DAPs. The first one will be the last week of March,  
7 and it will follow the one that was postponed in St. Thomas/St.  
8 John on November 25, and so I found that March 25 and 26 are the  
9 two dates that we are going to have that meeting. It will occur  
10 in St. Thomas, and it will be chaired by Julian, and we will  
11 incorporate as many people as possible who have anything to say  
12 about the ecosystem-based model. Graciela is the coordinator, and  
13 Bill Arnold, as you recall from this morning, is the chair of this  
14 new advisory panel. That's all we have, Mr. Chairman.

15  
16 **MARCOS HANKE:** Thank you, Miguel. Thank you for a very clear  
17 roadmap and information about what is about to happen in the  
18 future. Now, Carlos, we'll have the next presentation.

19  
20 **RED HIND STUDIES**  
21

22 **CARLOS ZAYAS:** Good morning. My name is Carlos Zayas-Santiago,  
23 and I will be presenting this acoustic studies of red hind spawning  
24 aggregations in Puerto Rico, and this is a group of many studies  
25 that are through time.

26  
27 **MIGUEL ROLON:** Carlos, can you tell a little bit about yourself,  
28 like where you and what you are doing.

29  
30 **CARLOS ZAYAS:** Yes, and so, as I mentioned, my name is Carlos  
31 Zayas-Santiago, and I just recently graduated from the University  
32 of Puerto Rico Mayaguez Campus with a Masters in Biological  
33 Oceanography, and I did my work with passive acoustics,  
34 specifically in red hind, and so that is what I will be presenting  
35 here today, which is information on my thesis as well as other  
36 studies and projects and research that has been going on associated  
37 to red hind spawning aggregations and acoustics.

38  
39 Before we get into the main character, which is red hind, I just  
40 wanted to mention some other groupers that are obviously  
41 economically and ecologically important, as well as produce sounds  
42 and form spawning aggregations. It's important because we need to  
43 keep in mind that many spawning aggregations can be multiple  
44 species, and so some of the things that we'll be showing here for  
45 red hind can also be used for other species, even though there is  
46 variability and diversity in all of this.

47  
48 Red hind, the star of the show, it's mainly a solitary species,

1 and they are sequential hermaphrodites, and so they're born as  
2 females, and then they, around twenty-seven centimeters, mature  
3 into males, and so the big fish are males and the smaller are  
4 females. They inhabit tropical waters, and, like the other  
5 groupers, they are commercially important for Puerto Rico and the  
6 U.S. Virgin Islands and other places.

7  
8 This is important, that they mainly have a solitary lifestyle in  
9 the early years, because they do form these spawning aggregations,  
10 which are discreet events in time and location that take place,  
11 and so they are basically having -- They live a solitary lifestyle,  
12 and they are coming into these spawning aggregation areas to do  
13 courtship displays and do sound displays and all of this to do  
14 their spawning event, and these spawning events are very  
15 predictable in time and space.

16  
17 Talking a little bit more in detail about the actual things that  
18 are going on when they spawn, and so, before the spawning event,  
19 the males reach a spawning site, and it's usually near shelf edges,  
20 and they start setting up territories, and so they move around and  
21 start picking up a territory, because their reproduction  
22 characteristics are of like mating systems, where the males come  
23 in first and establish territories, and then the females, which  
24 are the smaller figures, come, and then they move around the  
25 spawning aggregation site, evaluating the habitats and evaluating  
26 the fish, to see who they can identify to spawn with.

27  
28 You have big males that were fighting over territories, and then  
29 the females are coming in and evaluating these territories, or the  
30 males, to reproduce, and so this is a very complex reproduction  
31 system, and it establishes hierarchical positions, which will lead  
32 to reproductive success.

33  
34 We have been able to -- This has been shown, these movements, or  
35 these migration patterns, inside and outside the spawning  
36 aggregation sites, and that has been shown before, and so this tag  
37 and recapture data, showing that, in two spawning aggregations in  
38 St. Thomas and St. Croix, there were changes in the female sex  
39 ratio, and so there is changes in the movements and in the fish  
40 that are in the spawning aggregation site, and so, like I  
41 mentioned, this is a mating system, where the males form a harem  
42 and spawning with the females.

43  
44 That has been shown to happen with other studies, but we can also  
45 use sound, and so that is our main talking point, how we can use  
46 sound to interpret and study these spawning aggregation events,  
47 and so here is a spectrogram, which is a visual representation of  
48 the sound that the fish are producing, and so please note that

1 it's basically an image of the sound in frequency in time, and in  
2 loudness, or decibels, and so we basically take the sound and use  
3 a mathematical function to turn it into this, and so we can read  
4 this. Basically, we can read and interpret the sounds that are  
5 being produced at a spawning site. This is a typical courtship-  
6 associated sound done by red hind.

7  
8 As we can read and look at the parameters and see how sounds are  
9 different, we can do it with fish, but we can also do it with  
10 boats, and so this is the sound of a boat passing by a spawning  
11 aggregation site, and so we can treat it like a call, in the sense  
12 that you can characterize it, and you can look for it, and you can  
13 count it, and you can make observations off of it.

14  
15 When we are able to study these spawning events using passive  
16 acoustics, we basically set up a hydrophone that can record for  
17 every five minutes and twenty seconds for a six-month period, and  
18 so you have very high resolution data of the acoustic activity of  
19 the spawning aggregation site, and so, here, you can see daily  
20 counts of a red hind spawning aggregation, and so you can see that  
21 there is an increase in sound production, followed by a sharp  
22 decrease associated with the full moon, and so these events can be  
23 predicted in time by fishermen, and they have been shown to happen  
24 in other studies, but, here, we can also see it with passive  
25 acoustics. However, our sampling resolution is much, much higher,  
26 and so we can study in detail the behaviors of these fish during  
27 the spawning seasons with passive acoustics.

28  
29 This is another example of a spawning aggregation site, and you  
30 can see the number of files, and so I basically counted the  
31 spectrograms that we were seeing earlier, and so you can see there  
32 is a peak and then a steep drop-off associated with the spawning  
33 behavior, but we can also count the boats, and, when we overlay  
34 them, we can get results like this, and so this is boat presence  
35 during the spawning aggregation season in a spawning aggregation  
36 site, and so this is the type of data that we can obtain with  
37 passive acoustics.

38  
39 Not only can we sample in high resolution with passive acoustics,  
40 but we can also sample many different locations or spawning  
41 aggregation sites or basically any site of importance that we want  
42 to study, and so we can deploy different hydrophones at different  
43 sites and have simultaneous recordings in different places, again  
44 with a high temporal resolution independent of sea wind state, and  
45 we've been doing that for some places since 2007.

46  
47 When you do that, when you have that many hydrophones and time  
48 series data, you can not only count the files, the sound files,

1 characterized as call types or boats, but you can also use the  
2 sound levels, which is basically how loud the sound is, but  
3 associated to a specific time event, and so these are sound levels  
4 associated with the spawning aggregation sites of red hind in  
5 Puerto Rico, and so you can see that there are peaks, and this is  
6 from 2011 to 2015, and you can see that there are two peaks.

7  
8 However, they seem to shift a little bit to the right, and you can  
9 see that there's not much acoustic activity here, and, as time  
10 goes by, it increases, and so those diagonal lines that you are  
11 seeing is the shift with the moon of the spawning aggregation, and  
12 so we can determine that exactly when does the spawning season  
13 start and where does it end with a high temporal resolution, and  
14 this is a comparison of multiple years, and we can also get -- If  
15 you compare these sound graphs, you can see that most behavior is  
16 two peaks, but then you get weird stuff going around, like these  
17 two peaks that we don't know why they are there, and there should  
18 be just one peak and down and then up and down.

19  
20 You can get a lot of information, and you can see patterns,  
21 temporal patterns, very well with sound production, and not  
22 necessarily call counts, and so you're detecting -- You are  
23 monitoring and analyzing a lot of places in a lot of years, and  
24 you can compare them, but you can also do spatial comparisons, and  
25 so this is basically a spatial comparison of two spawning  
26 aggregation sites nine kilometers apart.

27  
28 The peak of sound production is the same day, and so that is  
29 telling you that they basically are behaving the same, and that is  
30 important to managing that area, because there is more than one  
31 spawning aggregation site, and so, again, if you do a spatial  
32 comparison of other sites, in this case two spawning aggregations  
33 twelve kilometers apart, you can see that there is a seven-day  
34 offset on the peak of spawning production, and they are --  
35 Basically, they do have some geomorphological and oceanographical  
36 differences, which may account for that, and we don't know, but  
37 the point is that we can see these differences, and we can detect  
38 the small differences in big locations or a small space scale.

39  
40 Sound has been useful in determining time and space, but how many  
41 fish are there? That's really what people want to know, and can  
42 we get this number of fish, or abundance of fishes, from sound  
43 production?

44  
45 We have been trying to look at that, but we haven't been successful  
46 on that. Specifically, this is predictions based on sound levels  
47 of densities and not call counts, and so there is two things.  
48 There is sound levels, which is some of the figures that I showed,

1 and actually counting each number of files, but this is just sound  
2 levels, or how loud the spawning aggregation was, basically, and  
3 how associated it is with the density surveys that were made, and  
4 so it hasn't been constant throughout years or among sites.

5  
6 To recapitulate, we have passive acoustics, and we can use it to  
7 describe and study the courtship behavior, or spawning-  
8 aggregation-associated behavior, of different groupers with very  
9 high temporal resolution, but establishing abundance estimates has  
10 been troublesome, and so that is what I will be talking a little  
11 bit more about, and that's where my thesis comes in, and so we're  
12 just trying to fill in that gap of information that we need to  
13 convert abundance estimates from sound data.

14  
15 These are some of the questions that I tried to answer and my  
16 thesis committee tried to answer. Which type of call sounds can  
17 red hind reproduce? Again, red hind is the main character in this,  
18 but have in mind that many other groupers do similar stuff.

19  
20 What type of behavior is accompanied by the call type, and what  
21 are the characteristics of the call types? Can we differentiate  
22 between them? What are the temporal patterns of these call types,  
23 and, last by not least, can we track an individual's sonic activity  
24 through a spawning period?

25  
26 That is important, because establishing a relationship between  
27 sound and abundance from sound levels has been hard, and so we're  
28 trying to get it as a call rate, and so, basically, taking that  
29 information from call counts and being able to use a call rate to  
30 convert sound data to abundance estimates, and so, basically, how  
31 many calls per time can a male make?

32  
33 To do this, we put out hydrophones in an FSA, or a fishing spawning  
34 aggregation, site, and we simultaneously recorded data in  
35 captivity, and so we set up a tank experiment, where we put the  
36 fish and recorded their behavior, their sound behavior and their  
37 video behavior, in a controlled environment during the spawning  
38 season, and so we got permits for that, and then we used the field  
39 data.

40  
41 We used a passive acoustic device to monitor the fish spawning  
42 aggregation site, and we used that data to characterize the calls  
43 and test the temporal patterns of the calls and validate the  
44 experiment that we were doing in captivity, to see if the behaviors  
45 we were recording were actually going on in the wild, or something  
46 similar was going on in the wild.

47  
48 This the tank facility, their new home, and so, basically, we

1 caught a red hind, and we put him in there, and we set up a harem  
2 for him, and so there were caves and crevices where he could move  
3 around and hide and court with his females, and we had video  
4 cameras and a hydrophone recorder, and then we had these two  
5 accelerometers, which were there to try to record their sound, and  
6 so an accelerometer is another instrument that we might be able to  
7 use for sound detection, but it's smaller, and that's it, and so  
8 we tried to use that, because, in this fish, we can basically then  
9 use it as a tag or something like that. We can put it inside the  
10 fish and basically get a call rate, because we can follow the fish  
11 around with the accelerometer.

12  
13 We tried to do that as well, in the same experimental tank, and  
14 you will see the results, and so, quickly, as I mentioned -- I  
15 mentioned that there is time, frequency, and power, and all that  
16 makes a distinct call, which we can use parameters, basically, to  
17 read this call, what is this call, what does this mean, or what  
18 makes it different from others.

19  
20 Then we can use that to separate the calls, and so that's one way  
21 of looking at this data, but we can also -- That's one way of how  
22 we looked at it. We tried to distinguish the calls by their  
23 parameters, but, also, we wanted to do something that was like a  
24 blind test of similarity, and so this a spectrogram cross-  
25 correlation, where you have a matrix of similarity basically  
26 comparing images.

27  
28 These two images overlay over one another, and so it's basically  
29 two ways of quantifying the differences or similarities between  
30 these call types, and one is algorithm-based, and one is based on  
31 an observers knowledge, and then we just did chi-squared tests to  
32 test for independence in time, and so now you will start hearing  
33 some of the sounds for red hind, and this is the first call type  
34 that we're going to describe.

35  
36 This is the chorus, and so this is how it sounds. That background  
37 noise that you hear is basically all this yellow that you see here,  
38 and that is because there's a lot of sound, and so there's a lot  
39 of overlap of calls, and so you can't really make it out, but you  
40 can make some of them out, and so this is the first type of call  
41 that you can see or identify in a spawning aggregation site for  
42 red hind, and it is the overlap of -- There are many other types  
43 of calls, and so it is a continued sound from fifty to 450 hertz,  
44 and it's composed of those many other calls.

45  
46 You will hear more sounds, and there are five, and so this is the  
47 other two. This is CAS-A. It's much shorter, and it was only  
48 recorded to be produced by males and towards females. It wasn't

1 recorded being done by a female towards a female, but just towards  
2 females, and we have the Courtship-Associated Sound B, which is a  
3 very common sound, again, in the spawning aggregation area, but,  
4 in captivity, it was recorded by males, produced by males, towards  
5 males or females, and so this is a more discreet call, and this  
6 would be possibly more of a display call.

7  
8 We also detected grunts. What is important about this sound is  
9 that, initially, the males were not thought to be sound producers  
10 during these spawning aggregation events, but we did record them,  
11 and this is one of the sounds that they make. They can also make  
12 pulses, and so all these sounds have been differentiated and are  
13 produced during their spawning seasons, but these, in particular,  
14 can be produced by either males or females, towards a male or  
15 towards a female, and so all of that was recorded in captivity.

16  
17 To see if the differences we were seeing between the calls were  
18 real or not, or were quantitatively and statistically significant,  
19 this is basically the result of the similarity matrix, comparing  
20 the spectrograms, basically, and so the blind test of similarity,  
21 and so this is a multivariate analysis, and, basically, each group  
22 that you see -- Each color is a call type, and, if they are grouped,  
23 then they are heard together, and, if there is a lot of separation,  
24 then they are different, and you can see that there is separation,  
25 with some overlap, of the calls, but they are different, and we  
26 did the same things, again, with the parameters, to see where were  
27 they different, where were the calls different and what were the  
28 parameters that made it different, and so these are some of the  
29 parameters that we chose.

30  
31 Again, we see the separation, with some overlap, but there is  
32 separation, and it was quantitatively significant, the differences  
33 were, and so this is the similarity matrix of the parameters.

34  
35 Again, to get the call counts from captivity and the aggregation,  
36 and so, this time, counting those spectrograms by call type, and  
37 we have CAS-A is the blue, and CAS-B is the orange, and note the  
38 chorus is in green, and so it was only recorded in the field, and  
39 it wasn't recorded in captivity, but note that the same peaks occur  
40 on the same day, and so the fish in captivity were following the  
41 cycle, or at least the acoustical cycle, that the field fish were  
42 exhibiting.

43  
44 With the pulses and the grunts, again, the yellow is the pulse,  
45 and the grunts are the gray here, and there is an increase in the  
46 pulse, because there was a -- We added another male during that  
47 day, and so, basically, that could have increased the sound  
48 production of pulses, but there is also these two grunt peaks on



1 two different days, and so this may be showing us some of the  
2 things that I was mentioning earlier about the migration patterns  
3 and movements of females. I mean, it can be a lot of things, but  
4 this is the first time that sounds are being counted for in  
5 spawning aggregation sites, and so we need to look more into that  
6 with all the data we have from the past.

7  
8 Those were daily call counts, and this basically is the hourly  
9 activity, and so, basically, it's breaking the day into four-hour  
10 blocks, and we can see that there's a peak in sound production at  
11 the same time for both captivity and the aggregation site, and  
12 those values were statistically significant for CAS-A,  
13 specifically, and so these events are discreet in time, and they  
14 have something to do with maybe synchronization of the spawning  
15 event, or something along those lines.

16  
17 Similarly, the hourly analysis of calls for the pulses, this is  
18 the time block where we did most of our maintenance of captivity,  
19 and so there was a lot more activity from the fish during that  
20 time, and so we expect that peak in there, and, these two peaks  
21 that we can see over there for the grunt types, basically, we're  
22 seeing a lot of action or a lot of sound production during the  
23 nighttime from females, or possibly from females.

24  
25 Last, but not least, that -- I just went through the results, and  
26 so the results were basically those questions and how we answered  
27 them. The last question was can we track an individual's sonic  
28 activity, can we follow the fish around, and so that was the  
29 accelerometer, and, because it is smaller, it can be placed as a  
30 tag inside the fish, and, in the captivity design, we weren't able  
31 to record the courtship-associated sounds, but, by holding a fish  
32 next to it, that worked, and so we were able to get the recorded  
33 sounds in the hydrophone and in the accelerometer. Again, this is  
34 a much smaller device that can be implanted into the fish, and,  
35 therefore, we can get call rates, or be closer to those call rate  
36 estimates.

37  
38 In conclusion, we basically characterized the different types of  
39 sounds that red hind can produce, and we observed some of the  
40 behavioral context of those sounds produced, and we can study them  
41 in captivity, especially red hind. They were able to accommodate  
42 very well to the facility, and this is important, because, by  
43 breaking down the sound production that is going on in these  
44 spawning events, we can take into consideration or try to analyze  
45 what factors are affecting that sound production with much less  
46 variability than we were using with sound levels, but this also  
47 has other future applications. When we combine these call types  
48 with machine learning, we can use algorithms to detect these call

1 counts.

2  
3 **MIGUEL ROLON:** Carlos, you have one more minute.

4  
5 **CARLOS ZAYAS:** Okay. These call counts to -- Basically, a computer  
6 can analyze this data much quicker than a person can count all of  
7 this, and we can also put it inside gliders and drifters, which  
8 makes out the detection of these calls automatically, and you can  
9 get maps, acoustic maps, of where spawning aggregations are, what  
10 are the boundaries of that aggregation, and we can find new places  
11 that haven't been reported or are not known by scientist, by  
12 placing this information into other drifters and gliders, and so  
13 that can only help us to get more abundance estimates and find new  
14 spawning aggregation sites, and so that will be all. Thank you.

15  
16 **MARCOS HANKE:** Thank you very much, Carlos, and I hope we have a  
17 little more time to keep going over this, please. Are you going  
18 to stay around for questions? We have one question, very quick,  
19 from Vanessa.

20  
21 **VANESSA RAMIREZ:** Carlos, I just wanted to congratulate you for  
22 the work. I was in the MREP 2016, and I know you, and I have seen  
23 that project in Mayaguez, and so I'm very grateful to have you  
24 here presenting your project to the council. Thanks.

25  
26 **CARLOS ZAYAS:** Thank you.

27  
28 **MARCOS HANKE:** I want to make a quick comment. I have known Carlos  
29 since the University of Humacao, and he was a graduate of marine  
30 biology, and, from there, he went to Mayaguez, to do his study,  
31 and he is a perfect case of capacity building in Puerto Rico, and,  
32 without knowing, you are, in my opinion, the example that the  
33 students should follow, the path of getting into the fishery issues  
34 and doing jobs that are very meaningful for the fishery industry,  
35 and I am very happy and proud, and thank you very much for coming  
36 and sharing your knowledge with us.

37  
38 **CARLOS ZAYAS:** Thank you. (Applause)

39  
40 **MARCOS HANKE:** Next is the Oceanographic Connectivity Study  
41 Presentation.

42  
43 **GRACIELA GARCIA-MOLINER:** We have a Coral Reef Conservation Program  
44 Grant that went to study the connectivity between the spawning  
45 sites on the west coast and wherever the fish spawn ended up at,  
46 and you asked for the work to be done also in the Virgin Islands,  
47 and so this is in response to that request by the council, and so  
48 a CRCP was granted to look at the connectivity between the Virgin

1 Islands and Puerto Rico, or wherever the eggs end up at.

2  
3 **MIGUEL ROLON:** Can you introduce our presenter?

4  
5 **GRACIELA GARCIA-MOLINER:** Our PI is the University of Puerto Rico  
6 in Mayaguez, with work with CARICOOS also, the last grant and this  
7 one, and so we've been using the resources of CARICOOS to look at  
8 the oceanography of the resulting areas, where they spawn and where  
9 they end up at, the eggs and the larvae, and so --

10  
11 **MIGUEL ROLON:** I am ageing myself here, but I met this guy when he  
12 was a little kid.

13  
14 **OCEANOGRAPHIC CONNECTIVITY STUDIES USVI/PR**

15  
16 **MIGUEL CANALS:** Good morning, everyone. My name is Miguel Canals,  
17 like Graciela said, and I would like to thank the council for the  
18 invitation. I'm a professor at the University of Puerto Rico at  
19 Mayaguez, and I'm also one of the lead scientists in the CARICOOS  
20 project, and that stands for Caribbean Coastal Ocean Observing  
21 System, and I will explain briefly what we do within the system.

22  
23 I am also a fisherman, what you would call a weekend warrior, but  
24 fishing is my passion, and so I'm humbled to be here, and I feel  
25 lucky to be able to do this research and help the council better  
26 understand what's going on with the transport and connectivity of  
27 larvae from these spawning sites.

28  
29 This is work we're doing with colleagues from the University of  
30 Puerto Rico, from CARICOOS, and colleagues from the University of  
31 the Virgin Islands as well, including Sennai Habtes, which some of  
32 you will know.

33  
34 These are just some of the goals. We want to explore the pathways  
35 that lead to the dispersal of eggs and early larvae from spawning  
36 sites, with a special focus for this project on marine protected  
37 areas of the Virgin Islands and eastern Puerto Rico. We want to  
38 quantify the connectivity between the eggs and larvae spawned from  
39 these MPAs with coastal environments that function as nurseries in  
40 the Virgin Islands and Puerto Rico, and we're focusing mostly on  
41 red hind and mutton snapper, but we'll also probably analyze other  
42 species, if time allows, as we have a deadline for December of  
43 2020 to finish this project.

44  
45 What is larval transport and connectivity? I would like to define  
46 what we're saying by that, just because population connectivity is  
47 a very important concept, and we're looking at larval transport  
48 and connectivity within the context of understanding what is the

1 probability of the larval dispersals from a source population, and  
2 so eggs and larvae coming from a well-known spawning site, and how  
3 that probability of dispersal is connected through coastal  
4 habitats that function as nurseries, and so, for example, for  
5 Nassau grouper, a shallow-water seagrass habitat, for example, in  
6 St. John, and so what is that connectivity, and we're not looking,  
7 in the traditional sense, at population connectivity between adult  
8 populations, and so that's very important to keep in mind, and I  
9 will go back to this throughout the presentation.

10  
11 We are working in a couple of MPAs, Lang Bank, the closed mutton  
12 snapper area in southwest St. Croix, Grammanik Bank, and the Red  
13 Hind Bank within the Marine Conservation District, and we're also  
14 looking at El Seco in Vieques, which might not officially be an  
15 MPA, but it is a source -- It is a well-known spawning site for  
16 some of these species.

17  
18 We're looking at red hind and mutton snapper, again mostly at the  
19 banks and spawning sites that I mentioned, and so, when we do this  
20 type of modeling, there is several sources of uncertainty. The  
21 first one is how good your hydrodynamic model is, and I will talk  
22 a little bit about this. I have a couple of technical slides that  
23 I will just skip over quickly, because I know we're getting close  
24 to lunch, but I just wanted to show you what we're doing on the  
25 technical side to be able to calibrate these models.

26  
27 That is one source of uncertainty, and the exact time of spawning  
28 is also very important, and there is a lot of work that has been  
29 done, including some of the acoustics work that was just presented  
30 by Carlos, and that's very important for us, because it allows us  
31 to pinpoint the specific dates and times, so that we can simulate  
32 the release of larvae, or release of eggs, from these spawning  
33 sites.

34  
35 Also, the behavior, and so the size of the eggs, their buoyancy,  
36 and how they behave in the days following the spawning, that's  
37 very important, because we're not just passively transporting the  
38 eggs. We are allowing for those eggs, as they mature, to become  
39 buoyant and come to the surface and migrate vertically at small  
40 speeds, but following their natural behavior. It turns out that  
41 that impacts quite a bit some of the connectivity stuff, we're  
42 finding out.

43  
44 We're using a IOOS-structured three-dimensional model, and I won't  
45 get into the details, but it is the first time that that social  
46 model has been implemented for the Puerto Rico and Virgin Islands  
47 region, and this is part of the CARICOOS near-shore circulation  
48 efforts.

1  
2 An important thing is, when you do some type of circulation model,  
3 you have to calibrate the model very carefully. Again, if the  
4 model is not correct, that is the most important source of  
5 uncertainty for larval modeling.

6  
7 This the CARICOOS coastal circulation model, and it covers Puerto  
8 Rico and the Virgin Islands, and it's actually much bigger than  
9 this, but this is available on the CARICOOS website, and, actually,  
10 some of the fishermen, commercial and recreational fishermen, are  
11 using these models to inform their fishing efforts, and they are  
12 being quite successful, especially some deepwater fishermen, deep-  
13 drop fishermen, in the Mona Passage, who are very familiar with  
14 these products, and so we're using that same model that's been  
15 proven, that we have calibrated over the years, to kind of  
16 transport this larvae and eggs and see where they're going.

17  
18 This is an animation of the currents in the Mona Passage and the  
19 Caribbean, eastern Caribbean. A couple of things here are the  
20 currents are very strong in the Mona Passage, but they're also  
21 very strong in the passages between the Virgin Islands as well as  
22 the Vieques and Virgin Islands Passage, and so those are one of  
23 the main hydrodynamic processes that affect larval transport, but  
24 we also have large-scale currents, such as mesoscale eddies and  
25 jets and other types of flows, that also create the effect of the  
26 transport of eggs and larvae.

27  
28 A little bit about CARICOOS. Before 2008 and 2009 in Puerto Rico,  
29 we had very few assets to be able to observe the ocean, and so  
30 CARICOOS is almost like the Weather Service of the ocean, in the  
31 sense that we have a bunch of buoys, assets, gliders, drifters,  
32 and we deploy acoustic current profilers and a bunch of other ocean  
33 instruments to measure, in real time, what is happening with the  
34 ocean in three dimensions, and so this allows us to calibrate the  
35 models in real time and also for hind-cast simulations, when we go  
36 back in time and simulate the spawning events.

37  
38 We have several buoys, and we have five buoys right now in Ponce,  
39 San Juan, Vieques, St. Thomas, and St. John, and so these are very  
40 important for calibrating our models for these studies regarding  
41 the eastern Caribbean MPAs.

42  
43 For this project, I'm not going to go into too much detail, but  
44 we've done quite a bit of deployment of instruments, like drifters  
45 and ADCPs. Here are some drifters we have deployed during the  
46 spawning season of mutton snapper in southwest St. Croix, and so  
47 we have some drifters, and there is some connectivity there between  
48 St. Croix and Parguera, actually, and so we've been able to observe

1 that using instruments, and so these are not simulated results.  
2 These are actual observations of circulation.

3  
4 Depending on the time of day you deploy these instruments, it  
5 changes quite a bit, and so, here, you see connectivity between  
6 the mutton snapper closed area and Culebra and Vieques and the  
7 Vieques Passage, and so there is quite a bit of connectivity  
8 between these areas.

9  
10 We deployed an ADCP, and I'm not going to go into the details here,  
11 and I will just comment that, for -- Here, we're looking at the  
12 2019 spawning seasons. We're looking at the full moon periods of  
13 January and February of 2019, when we had these instruments in the  
14 water. A couple of things that are important is, in gray, you  
15 will see here the days before, and so three days before, and one  
16 day after the full moon, and so that's when -- We're looking here  
17 for the spawning aggregations of red hind, and that's our first  
18 species, and we're looking at the mean flows surrounding the full  
19 moon.

20  
21 You will see that, in January, the mean flow was westward, and  
22 then it switched south and eastward, and then, in February, the  
23 mean flow was northward, and I'm not going to go into other  
24 details, but just I will go back to those two periods and see the  
25 differences in the transport of eggs and larvae.

26  
27 Again, calibration with -- We calibrate the model with tide gauges  
28 and with current meters, and we're quite comfortable that this is  
29 the best available model that we have right now, and that's  
30 important, because we're trying to use the best available data and  
31 science that we have at the moment, and this is not perfect, and  
32 so models are not perfect, and there is always sources for  
33 uncertainty. As long as we understand and recognize those sources  
34 of uncertainty, we can then make informed decisions.

35  
36 Here, you will see a simulation of -- The currents are in red, and  
37 so you will see the velocity, and so red are high velocities, and  
38 you see these really strong currents in the Virgin Islands Passage,  
39 between St. Thomas and Culebra, and I will run that again one more  
40 time, and you will see some of the particles we are releasing from  
41 Red Hind Bank and El Seco, and so you will see how these particles  
42 faithfully follow the flow, but, also, I would like to mention  
43 that this model can accurately reproduce the flows between the  
44 islands, and those are key to understanding recruitment on the  
45 small-scale eddies and turbulence that forms in between each  
46 island, because those small-scale phenomena are the ones that kind  
47 of attract some of these particles, eggs, and larvae to the coastal  
48 environments that function as nurseries for these fish.

1  
2 These are the main results, and I am just going to be showing some  
3 simulations for the full moons of January and February, and so  
4 we're looking at releases on January 17, 18, 19, and 20 at sunset,  
5 at 6:00 p.m. That is some of the best available data we have,  
6 that says that this fish, the red hind, spawns close to sunset,  
7 and I know there is a couple of hours before and after, and I will  
8 talk to Carlos and some of you to kind of -- I know it's not just  
9 6:00 p.m., but this is just a simulation, to show you some results,  
10 and you will see a couple of interesting things.

11  
12 If spawning occurs over several days at sunset, the trajectories  
13 are completely different for each day, and you will be able to see  
14 this, and so we're doing the same thing for February, around the  
15 full moon, the 17<sup>th</sup>, 18<sup>th</sup>, and the 19<sup>th</sup>, and, again, we're not just  
16 advecting particles passively. We are including the buoyancy of  
17 the eggs and some of the behavior of the early larvae and some  
18 vertical migration, from data we've had from the Nancy Foster  
19 cruises that have happened over the last decade.

20  
21 Also, we have recognized the previous work that has been conducted  
22 by Dr. Rick Nemeth, Dr. Laurent Cherubin, and others in the Virgin  
23 Islands and some interesting results they've had. They have  
24 mentioned the possibility that red hind actually travel up current  
25 to the spawning locations and then spawn the eggs at the spawning  
26 site, and then eggs might be transported back onto the shelf, and  
27 so we're taking all of that information and including that into  
28 the models.

29  
30 There is other possibilities as well, that eggs could be advected  
31 by downwelling currents into deep water, so that these eggs and  
32 the larvae will actually feed in deep waters and then they will be  
33 transported back onto the shelf, and so these are three eventual  
34 processes that are resolved by the models that we're presenting  
35 today.

36  
37 Again, straight to the results, and hopefully you can see this,  
38 but we're releasing eggs from the red hind spawning site, and these  
39 are eggs released on January 18 at 6:00 p.m., and so right at  
40 sunset, and eggs are initially advected northward and then  
41 transported and dispersed throughout the Virgin Islands. This is  
42 a release happening January 18 at sunset. If we look at January  
43 19, I have a simulation, or I have a movie, that I'm going to show  
44 you later, but I just wanted you to see the differences between  
45 each spawning event.

46  
47 This is actually one day later, and so a difference of one day can  
48 make the trajectories to be completely different, and this makes

1 sense, because currents in the ocean are turbulent and chaotic,  
2 and it's almost like the butterfly effect, and so there is a lot  
3 of randomness in this process.

4  
5 Then, if we go back, and we look at January 20, they start  
6 transporting east, and then they kind of go to the British Virgin  
7 Islands and the shelf and St. John, and, if we go back to January  
8 21, we see a more type of eastward trajectory, and this is in  
9 January, and, if we look at all of the trajectories combined, then  
10 we can see a more spread out nature of the plume, and this is how  
11 we should really look at particle trajectories and larval  
12 connectivity in a probabilistic sense and not just that single  
13 episode, just because of the uncertainty of what's going on and  
14 the turbulent nature of the ocean currents.

15  
16 Now, you see this trajectory right here, and there is even some  
17 connectivity with St. Croix from the red hind bank spawning  
18 aggregation sites. Not all of the flow is going to towards the  
19 west or towards the north.

20  
21 If we look at February, we see it's a little bit different. As I  
22 told you before, in February, we have northerly currents as the  
23 mean flow, and so the mean flow is going north, and that's what we  
24 see in the model as well, and so these are releases on February  
25 17, February 18, and February 20, and so they're all going north  
26 towards the islands, and, if we see all of the trajectories, again,  
27 for this month, there is no connectivity with St. Croix, but there  
28 is quite a bit of connectivity with the islands, and the model can  
29 resolve the looping trajectories of the eggs and larvae within the  
30 islands, and you can sometimes actually see that these trajectories  
31 become trapped in small embayments of the Virgin Islands, and so  
32 St. John and St. Thomas.

33  
34 I am going to finish up with a couple of animations, so that you  
35 see what's going on, and we don't have any statistic results yet,  
36 and so we finished calibrating the hydrodynamic model, and we're  
37 now actually looking at this from a probabilistic sense, to  
38 estimate the actual connectivity between the spawning sites and  
39 the coastal environments, and we hopefully would like to be able  
40 to finish this by next year.

41  
42 These are the simulations for the release in January, and this is  
43 a simulation for the releases in February, and so you will see  
44 that, for the first three days, we had releases at 6:00 p.m., the  
45 days before and during the full moon, and so here you see the  
46 trajectories.

47  
48 We are doing this same thing for tiger grouper and yellowfin



1 grouper from spawning at El Seco, and we're also doing red hind  
2 from Lang Bank. We're actually doing this same thing for mutton  
3 snapper from the closed area off of southwestern St. Croix, and  
4 we're also, hopefully, doing Nassau grouper and tiger grouper from  
5 the Grammanik Bank in the east of the Marine Conservation District.

6  
7 This is an update on the project results. If you have any  
8 questions, I will be happy to take them. Again, the CARICOOS  
9 project is very important, and so what's neat about this project  
10 is that -- So there's been many efforts to understand larval  
11 transport before by great researchers, and I think what we're  
12 bringing different to the table is that we have this CARICOOS  
13 project, and so we have so many ocean observing assets, buoys and  
14 instruments, that are really allowing us to calibrate the model  
15 and have great confidence in the trajectories and in the results  
16 of the circulation model, and so thank you. Do you have any  
17 questions? Thank you for the invitation, Graciela. (Applause)

18  
19 **MARCOS HANKE:** Miguel.

20  
21 **MIGUEL ROLON:** Thank you, Miguel. That was an excellent  
22 presentation. To me, when we started discussing with fishers and  
23 managers, et cetera, the closure of those areas in the Virgin  
24 Islands, people thought that you would be working for Puerto Rico.  
25 If we close there, everything would come to Puerto Rico, but, to  
26 me, it's very good news that you have been able to prove, with  
27 science, that those areas are helping the fishery of the U.S.  
28 Virgin Islands, the U.S. and British.

29  
30 Also, to my surprise, with the different time and different days,  
31 and people used to assume that the sea would behave the same  
32 throughout the month, and you have proven to us that it behaves  
33 different from one day to another, between one hour and another,  
34 and the other surprise, for me at least, is the St. Croix  
35 connection, because people also think that all of this would go to  
36 the east and nothing to the south, but, here, you have proven that  
37 those fishers knew more oceanography than us. They picked that  
38 place because they can maximize their distribution to the area,  
39 including St. Croix.

40  
41 **MIGUEL CANALS:** I think that's a very interesting hypothesis, yes.  
42 We're seeing that it's not all going to Puerto Rico, definitely.  
43 There is a strong connection with the Virgin Islands, and,  
44 actually, that connection with St. Croix has been found before by  
45 other authors, and so there is eddies and recirculation structure  
46 and vortices, you call them, in the wake of St. Croix, and it forms  
47 a retention cell, and so it's very interesting, and definitely the  
48 timing, the differences in timing between one day and the other,

1 and I think, yes, there is a lot of chaos involved, and  
2 probability, and it could just be that this fish spawns for several  
3 days and not all of the eggs are going to go in the same direction.  
4 They are just spawning, and we'll see where they end up.

5  
6 **MIGUEL ROLON:** But the timing is the key. The work in Hawaii and  
7 other areas proved that the fish time their spawning with the  
8 conditions at-sea, to maximize also the spread, and this is  
9 excellent work. I believe that -- How long are you going to be  
10 working with this project?

11  
12 **MIGUEL CANALS:** We began in summer of 2018, and we hope to finish  
13 by December, and so most of the calibration is done, and that was  
14 really the hardest part, getting the model up and running for these  
15 sites and making sure that the currents make sense, because that's  
16 the most important thing.

17  
18 We are working with a couple of issues regarding the life cycle of  
19 this species, and this is very important. Like, for the mutton  
20 snapper, we need to learn a little bit more about the buoyancy of  
21 the eggs and the exact timing of the spawning events and also how  
22 this fish starts swimming, or the larvae start swimming, and at  
23 what stage do they start swimming towards the shore, because we  
24 can't resolve that, and so we include the movement of the larvae  
25 in the vertical direction, but we don't know when the fish will  
26 want to start swimming towards the shoreline to a nursery area,  
27 and so we're trying to see how we can incorporate that behavior of  
28 the larvae, but we hope to finish the statistical maps and the  
29 connectivity maps by December of 2020.

30  
31 **MARCOS HANKE:** Thank you very much. Graciela.

32  
33 **GRACIELA GARCIA-MOLINER:** We are also collaborating with the  
34 Southeast Fisheries Science Center, and they have been providing  
35 larvae that they have collected over the years from the U.S. Virgin  
36 Islands, and so they have been identified, in some cases, to  
37 family, but not to species, and so the council is working to try  
38 and identify the larvae to species, so that we can know where in  
39 the water column they are and at what time.

40  
41 They usually coincide with some of the periods of fish spawning in  
42 the Virgin Islands, and so we're trying to basically put the little  
43 pieces of the puzzle together, but that's going to take a little  
44 bit of time, and so we're working on about a hundred larvae right  
45 now, but there are thousands of larvae that are sitting at the  
46 Science Center that we're hoping to identify to species, and that  
47 could provide information, for example, on the mutton snapper,  
48 that pre-flexion or post-flexion, where they are in the water

1 column at what time.

2  
3 That is happening, and the other thing is that the group of  
4 scientists who are working with acoustics and the spawning  
5 aggregations have been providing, over this period of time, the  
6 dates that they think are the best dates for the spawning to take  
7 place, and so this has been a very large collaborative effort among  
8 Puerto Rico and the Virgin Islands and the Science Center, and so  
9 we're hoping that, in the near future, we'll have even more  
10 information to provide, in terms of where they actually end up.

11  
12 We actually have some testimonial from way back when, in one of  
13 the council meetings, that I have to provide to you, of where the  
14 fishers from the St. Thomas area actually thought the larvae were  
15 going to end up, and so we have the drawings, and I have them in  
16 some old papers that we're just finally getting access to, and so  
17 there is some drawings of what they thought, and I think it would  
18 be very interesting to put it together with this information.

19  
20 **MARCOS HANKE:** Thank you, Graciela. I really want to congratulate  
21 you, because it's very important for the fishing community to  
22 understand those patterns, not just by predicting how to fish, but  
23 understand how they can do a better job to preserve and to help in  
24 the conservation of the species.

25  
26 I have a question that has been going around between Graciela and  
27 I and other people, and that is -- I am from the east coast of  
28 Fajardo, the east coast and Fajardo, and a lot of shorelines that  
29 are exposed to the south, on the last seven years, or maybe ten  
30 years, have been eroding, and we have the -- Also, we have the  
31 starting of the loss from the south face of the island, and you  
32 have the same process in Icacos and other places.

33  
34 Is there, in your data, any information that the flow, this trend,  
35 or the intensity, the magnitude, of the current that goes from  
36 south to north has been increasing during that time, because that  
37 matches with the sargassum influx, and that's something that the  
38 fishermen really want to know, to understand that, if that's the  
39 reason, that a lot of things are changing in Puerto Rico,  
40 especially on the east coast.

41  
42 **MIGUEL CANALS:** That's a very good question, and so we actually  
43 have had the buoys in Vieques for about eight years, or seven  
44 years, I should say, and the buoy in Ponce for almost ten years,  
45 and so we have a lot of data to look at currents, and we haven't  
46 seen any acceleration of the currents, and so I think Palominito,  
47 those issues with the ocean, have to do with storms, Maria, but  
48 also other storms, but also climate change and natural processes

1 associated with morphology change, and so some islands will appear,  
2 and some other islands will disappear naturally, and that happened  
3 quite a bit in Guanica, where there were a lot of islands that  
4 disappeared, and so that's a little bit separate from the concept  
5 of connectivity, but, to answer your question, we don't have  
6 evidence of a strengthening ocean current.

7  
8 Now, the sargassum is something else. The sargassum has to do  
9 with algal blooms and geochemistry and, in CARICOOS, we have some  
10 experts that are dealing with that, especially Professor Julio  
11 Morel, another person to answer that, but I will have to get back  
12 to you on the sargassum.

13  
14 **MARCOS HANKE:** Please do so, and I know that it's very important  
15 for the fishing community to address those questions, because they  
16 are connected to what you are studying. They are all related.

17  
18 **MIGUEL CANALS:** I do want to mention that, this year, from the  
19 satellite images, it looks like the sargassum is way less than the  
20 year before, and so, looking at the locations where the sargassum  
21 that reaches Puerto Rico is at right now, the intensities, they  
22 are way low, and so this is a very unpredictable pattern.

23  
24 **MARCOS HANKE:** Yes, and just a note on the side is thank you,  
25 Carlos, for supplying mutton snapper for the east coast of Puerto  
26 Rico and to La Parguera from St. Croix. We have Toby.

27  
28 **WILLIAM TOBIAS:** Thank you very much for your presentation, and I  
29 find it very interesting, being from St. Croix and seeing the  
30 retainment, perhaps, of some of that larval distribution off the  
31 west end, with the eddy currents that form.

32  
33 Have you tried to correlate the current patterns with  
34 meteorological events, weather patterns, weather systems, because,  
35 that way, with an approaching weather system, knowing the potential  
36 for spawning aggregation at that time to release gametes, you could  
37 predict the direction that they would go.

38  
39 **MIGUEL CANALS:** Definitely, and so very good question. That is  
40 one of the main forcing mechanisms that the model includes, and so  
41 we have a very high-resolution wind model that we run in-house,  
42 within the CARICOOS project, and it takes into account the  
43 strengthening of the trade winds, for example, that usually happen  
44 in January or February, when you have a very strong cold front and  
45 then you have a high pressure system, and so we definitely take  
46 that into account.

47  
48 That is already implicitly taken into account on the larval

trajectories, but that's interesting, because they don't spawn in hurricane season. They spawn in January and February, and I don't know if there is any relationship there, because they don't want to be exposed to extreme events, and I don't know, but that's a very good question.

**WILLIAM TOBIAS:** Right. We see, during that period of time, major current reversals, due to the frontal systems and strong low-pressure systems that are generated off the east coast and the frontal systems that swing down low through the Caribbean area, and, quite possibly, we see, at that time, a lot of the current variations that go typically to the east, as opposed to west.

**MIGUEL CANALS:** Definitely, and we saw a little bit of that with some -- Usually, you would think the particles would go westward, but, in some of the modeling and some of the data we had at St. Croix, we see these really strong reversals towards the east, which is completely unexpected.

There is, like I said, other sources of variability. In the Caribbean, we have this huge, massive-scale eddies, and they are almost like hurricanes, but in the ocean, and so those are very important for transport and connectivity, definitely. Thank you.

**MARCOS HANKE:** For sure we have to bring you back, because we have a lot of questions, and I have three people in the queue, and then I have to go for lunch, and please be precise. Carlos, go for it.

**CARLOS FARCHETTE:** Sure. I do want my mutton snapper back when they become adults, and so send them back, but this is very interesting for our St. Croix Fisheries Advisory Committee. I mean, Toby is a member of our committee, and I think, if there is any way that I can get at least those three or four slides that we can present, because we speak a lot about larval distribution and settling and all that stuff, and so, if they see this, I think it would be a great help for our committee.

**MIGUEL CANALS:** Definitely. I will share that, and I would be delighted also to even visit and give a presentation. Definitely.

**MARCOS HANKE:** Maria.

**MARIA LOPEZ:** Are you aware of any projects that are measuring productivity of these MPAs and maybe tying that up to the dispersal patterns that you are looking into? I am asking this question from a management perspective, and, if you were to focus efforts in some areas, in different MPAs for example, based on this, and based also on the productivity, you would want to do that on those

1 that will provide the most -- Act most as a source and provide  
2 most of those eggs and larvae to supply to other areas, and so I  
3 wonder if you are aware of any of that.

4  
5 **MIGUEL CANALS:** I am not aware, and I assume, by productivity, you  
6 mean the volume of larvae or eggs that are produced from --

7  
8 **MARIA LOPEZ:** Yes. Like what is being produced, like if it's an  
9 MPA, like an area that has been closed for a long time and it's a  
10 spawning aggregation area, and like how much it is producing, maybe  
11 based on the number of adults or whatever other biological  
12 parameters that are being -- That can be taken from there and then  
13 correlating that to the dispersal patterns that you have.

14  
15 **MIGUEL CANALS:** What I can say is we're using all of Dr. Rick  
16 Nemeth's work, and he is, I think, the authority on that, and so  
17 we're using all of his papers, and we've been in touch with him,  
18 and so my answer would be that he would probably know better than  
19 me, but we're using all of his latest work to initialize the  
20 models, definitely. Thank you.

21  
22 **MARCOS HANKE:** Last question from Damaris, and I would invite you,  
23 please, if you can, to stay around, because people really want to  
24 talk to you.

25  
26 **DAMARIS DELGADO:** Thank you for the presentation, Miguel.  
27 Excellent job. I just wanted to ask you if you could do a replay  
28 of the trajectories.

29  
30 **MIGUEL CANALS:** Which ones?

31  
32 **DAMARIS DELGADO:** The last ones that you showed for January and  
33 February.

34  
35 **MIGUEL CANALS:** This is the difference between each day that they  
36 are released, and then there is quite a bit of connectivity with  
37 Culebra, and on the Arrecifes de la Cordillera also, and I think  
38 it could go backward as well, and so I don't have this movie here,  
39 but we've done some simulations from El Seco, and, in El Seco,  
40 there is a lot of transport towards St. Thomas and St. John, and  
41 so I think it goes both ways. I think the grouper are ending up  
42 in the St. Thomas, and so I think there is a very good exchange.

43  
44 **DAMARIS DELGADO:** Thank you.

45  
46 **MIGUEL CANALS:** Thank you.

47  
48 **MARCOS HANKE:** Thank you very much. We're going to break for lunch

1 now, and thank you to the presenters so far. It has been amazing  
2 and very instructive. We will come back at 1:30 sharp. Try to be  
3 back five minutes before, to make sure we don't lose any time.  
4 Thank you.

5  
6 (Whereupon, the meeting recessed for lunch on December 11, 2019.)  
7

8 - - -  
9

10 December 11, 2019  
11

12 WEDNESDAY AFTERNOON SESSION  
13

14 - - -  
15

16 The Caribbean Fishery Management Council reconvened at the Hilton  
17 Ponce Golf and Casino Resort, Ponce, Puerto Rico, Wednesday  
18 afternoon, December 11, 2019, and was called to order at 1:30  
19 o'clock p.m. by Chairman Marcos Hanke.  
20

21 **MARCOS HANKE:** Something else to mention is that we're going to  
22 have, before enforcement, Deidre, and she's going to address the  
23 council before enforcement.  
24

25 **OUTREACH AND EDUCATION ADVISORY PANEL UPDATE**  
26

27 **ALIDA ORTIZ:** Good afternoon, everyone. I hope you have enjoyed  
28 the meetings. We will do a short report on the outreach and  
29 education activities that we have been working on for this period.  
30 We have paid a lot of attention, and yesterday, last night, was  
31 one of the activities on the sustainable seafood campaign.  
32

33 The sustainable seafood campaign is much more than just eating  
34 fish. It is that the consumer knows what they eat, when does it  
35 occur, what is the life history, and how can it be cooked so that  
36 it is good, and, traditionally, we always ask for the same species,  
37 and those are the ones that get overfished, and so we are using  
38 the approach of underutilized species, and we have prepared with  
39 that the posters that we presented in the last meeting, and we  
40 also are doing some work in the restaurants and the fishing  
41 villages.  
42

43 The importance of the seasonal closures, not only for the fishers,  
44 but also for the consumers, so that they know, when they ask for  
45 a grouper that is in closed season, if they say they will pay  
46 anything for it, then usually the fishery is going to get it, and  
47 so we tried to make sure that the consumers know the closed season  
48 as well as the fishers do.

1  
2 We have distributed the posters in different restaurants and  
3 fishing villages. Jeanette Ramos has done a lot with the  
4 restaurants, and Wilson Santiago has been very helpful with fishing  
5 villages, and now, as soon as we get to those places, we can find  
6 out what is the reaction that the consumers have.

7  
8 We have been working with the chefs, especially because in Puerto  
9 Rico we have, and I suppose the Virgin Islands also, but we have  
10 a lot of cooking schools, and so, from the panel, we decided that  
11 probably we should give the campaign also to them and teach them  
12 how to use the fish, and that would be a good idea, and so we had  
13 the first one, and the first video is the one that those who went  
14 last night saw it, and it will be -- It's in Spanish, but it will  
15 have English sub-titles, and, if something like that can be done  
16 with the Virgin Islands and the restaurants there, we would be  
17 glad to do it.

18  
19 Another chef that is working with us is Chef Cedric Taquin from  
20 Arecibo, who is doing the catch of the day, and that will be  
21 another set of videos that will be sent to the Facebook and the  
22 YouTube channels of the council.

23  
24 The calendar for 2020 is already completed, and I don't know if it  
25 came back from the printers or not, and so we'll get them by  
26 January, and it's dedicated to the underutilized species and  
27 identification of the fish and also the plates that attractive  
28 with that fish. Then, last night, we had one of the fact sheets,  
29 and, for every one of the activities that we are doing in different  
30 restaurants in different fishing villages, we will prepare a fact  
31 sheet with the species that are being eaten, and we have also  
32 another fact sheet that is the code of conduct let's say for the  
33 consumer.

34  
35 The consumer must know the species, and the consumer must know  
36 when it's available and when it is in closed season, because, if  
37 they don't know that, they will either substitute it for anything,  
38 or either they will claim that they have to eat that, and so that  
39 first one is done, and it's distributed in all of the activities  
40 that the council does.

41  
42 We also participated with Wilson in a PEPCO, and it is the  
43 presentation of what are the principles or what are the priorities  
44 for ecosystem-based management. To me, it's very, very important,  
45 and I think I discussed it a little bit in the previous meeting,  
46 that knowing the ecosystem is as important as knowing the fish  
47 that you are taking out.



1 If you don't know the general biology, and if you don't know the  
2 food chains in that ecosystem, then we can put in danger the  
3 stability of the ecosystem, and so we are taking a good initiative  
4 of going in any kind of activity that we have with fishers with  
5 these principles of ecosystem-based management, and the other  
6 thing is the sustainable seafood campaign. That is when we did  
7 that, in Humacao, in the PEPCO, and that's the type of information  
8 that we are giving them, in very simple words, the concepts, so  
9 that they are aware of where they are at.

10  
11 There have been meetings with fishers, especially in the Cabo Rojo  
12 area, because Vanessa has been very, very great to let us know  
13 when the associations meet, and then she asked if we can give  
14 material from the council or if we can be present there, and, this  
15 last one in Cabo Rojo, Christina Olan was the person that had the  
16 council material with all the materials, and then we take the  
17 information that we want, and then we can send them either to  
18 Vanessa or to the fishers themselves. We are trying to open up  
19 that outreach avenue to all the activities where fishers are  
20 present.

21  
22 Now the fishery ecosystem plan that, as part of the outreach and  
23 education we have to work with, that Graciela gave you the update  
24 just earlier in the day, but we are still responsible for the  
25 stakeholder engagement, and, in there, this is what I presented in  
26 the last meeting, but we haven't done much else, because we had  
27 the meeting, and we were going to have a meeting with the St.  
28 Thomas group, but that was canceled, and I learned today that it  
29 was going to be in March, and so, in March, we will do that first  
30 meeting, and we will look at it as a model of how to do the other  
31 engagement, especially in Puerto Rico, where we have to see  
32 stakeholders from the federal and from the state government and  
33 from the municipality government, and so, everyone that has  
34 anything to do with fishers, we should put them in contact with  
35 this fishery ecosystem plan.

36  
37 What are the proposed projects that we have for 2020? First, we  
38 want to do workshops with fishers in the communities, and the  
39 community includes not only the fishers, but it includes the people  
40 that live there, and it will also include the teachers that are  
41 teachers of the children, to work with the marine ecosystem of  
42 fisheries in the Caribbean, and the book is already printed, and  
43 we'll be working with that, beginning in February or March.

44  
45 Then we are planning on two regional conferences, and they are  
46 having a lot of claims of getting that information, and the first  
47 one will be an update on the status of fisheries in the U.S.  
48 Caribbean or in the Caribbean region, where we will update the

1 information that was presented in nineteen-ninety-something, and  
2 that was the only one that we have had. We have never had a  
3 meeting like that, and so we are going to do that and see all the  
4 changes, not only in the ecosystem, but in the socioeconomics and  
5 in the fisheries relationships with the countries.

6  
7 The other regional conference that we will be planning for 2020 is  
8 one dealing with fish and seafood chemicals, also for the region,  
9 because we are getting a lot of questions and a lot of requests  
10 for information and a ciguatera update, and not only ciguatera,  
11 but there are many other chemicals in seafood that could be --  
12 That could make people sick, but we don't get that information.

13  
14 About ten or twenty years ago, in Puerto Rico, we had the  
15 Department of Health and all the physicians in every coastal town  
16 had to take statistics on the people that came in with ciguatera,  
17 but that doesn't happen for a long, long time, and now we are  
18 hearing people from Naguabo and from Cabo Rojo and from San Juan  
19 that are claiming that they have been sickened with ciguatera.  
20 Are they the same fish? Is it the way that they work with it or  
21 the size, and so we have to put that update, and that will happen  
22 also in 2020. Now I would like to hear an update from Christina  
23 on the social media.

24  
25 **CHRISTINA OLAN:** Good afternoon. The council has pages on  
26 Facebook, Instagram, and YouTube, and I am going to give you an  
27 update on how they are working. We have Facebook, and we have  
28 over 3,000 followers, and the goal was 3,000 for December 31, and  
29 we reached that goal this year.

30  
31 Again, as before, I said that people from ages from twenty-five to  
32 fifty-four are the most that follow us on Facebook, and the  
33 favorite content is still the same as the last time that I talked  
34 to you in the last meeting, seasonal prohibitions, fishing  
35 villages, workshops, such as PEPCO and MREP, group pictures, and  
36 short videos.

37  
38 We are still publishing notes that are similar to block entries,  
39 and followers continue in the inbox as well, and people are sharing  
40 the content, and I am very thankful that they are doing that,  
41 especially fishers, commercial and recreational both.

42  
43 In YouTube, we are going to publish new videos, and we still have  
44 the same videos as I told you about the last time, fishing in St.  
45 Croix and in Puerto Rico, and we are going to add the video that  
46 we presented yesterday that is part of the sustainable seafood  
47 campaign. Also, we are going to include new videos about safe  
48 diving while fishing and fishing families in the USVI and Puerto

1 Rico. We are still producing those.

2  
3 I want to give a special thanks to all the fishers that are  
4 contributing with us in the interviews and giving information,  
5 and, especially in the case of the USVI, to Carlos Farchette. I  
6 am very thankful. Carlos helped us a lot last week to do the  
7 interviews and visiting fishing villages, fishing places,  
8 families, and all the beautiful landscape that St. Croix has to  
9 offer.

10  
11 That is a picture of Carlos and myself, and I also want to share  
12 a trailer that was prepared that shows the people that we have  
13 been interviewing and the places that we have visited already.

14  
15 (Whereupon, a short video was presented.)

16  
17 **CHRISTINA OLAN:** Again, thank you very much to all the fishers  
18 that contributed with us with the interviews, and, again, Carlos,  
19 thank you very, very much for all that you did for us last week.

20  
21 Continuing with the presentation, we opened an Instagram account  
22 in September, and we have 277 followers, which is good, but we  
23 want to increase that number. There, we publish short videos,  
24 and, also, we are publishing Fish Fact Fridays that we also share  
25 in the Facebook page, and we also published what Alida mentioned  
26 about the consumer code of conduct, and we are using that  
27 information to create short posts. The Fish Fact Friday, for  
28 example, is in English and Spanish, and all the content is in both  
29 languages, and the responsible consumer campaign. Thank you. The  
30 new videos will be published in January of 2020.

31  
32 **ALIDA ORTIZ:** (Dr. Ortiz's comment is not audible on the  
33 recording.)

34  
35 **MIGUEL ROLON:** Just to announce that the next island that we are  
36 going to work with will be St. Croix for the consumer thing that  
37 we have, the sustainable seafood. Then we will go to St.  
38 Thomas/St. John, and we'll be knocking on the doors of probably  
39 Julian and the usual suspects, to see if we can put together these  
40 videos and activities.

41  
42 We are already working, and Maria Falcone is conducting the video  
43 in St. Thomas/St. John, and it's the third leg of the three videos,  
44 *Fishermen: Masters of the Sea*, and they are finishing that in the  
45 U.S. Virgin Islands, the St. Thomas/St. John area. In addition,  
46 she is working on the soft tissue coral disease, and that was a  
47 video that was asked for by the local fishers of St. Thomas, to  
48 give the alert that this is happening, and you received a

1 presentation by Dr. Brandt at the meeting in August.

2  
3 Since that time, Puerto Rico has found that the disease has reached  
4 Puerto Rico in some areas, and, as Dr. Brandt said, that disease  
5 is like the -- Usually the whitening of the coral reef is like a  
6 cold, but the one that it has now is like a boil. When it hits  
7 the tissue of the coral reef, the tissue dies, and it cannot be  
8 recuperated, and so we are going to finish that and load it up in  
9 2020, the YouTube video, to the YouTube channel that we have, and  
10 so you will have the three videos, and you saw the first two  
11 already, and we'll continue the campaign.

12  
13 We also have one that I don't know if you mentioned, Christina,  
14 the family of Naguabo, and we don't have to jump into that now,  
15 but, in the case of Naguabo, we have a family of three or four  
16 generations, and they are all divers. Even the young daughter of  
17 ten years old wants to be a diver like her dad.

18  
19 It's a class of fishers that we thought had disappeared with time,  
20 and now they are back, and they had never disappeared, and so we  
21 are going to finish that video, and we mentioned the short videos  
22 on the different habitats, and that also will be finished, and it  
23 will be incorporated in 2020.

24  
25 **MARCOS HANKE:** Thank you, Miguel.

26  
27 **ALIDA ORTIZ:** Are there any other comments there? We could hear  
28 now from PEPCO a very short update of the PEPCO program, and Wilson  
29 Santiago will do it.

30  
31 **WILSON SANTIAGO:** Thank you, Alida. Good afternoon to the council  
32 and the people who are here. This year, the PEPCO program has  
33 been very productive, for the program and for the fishers, too.  
34 For those of you who don't know about the program, we work with  
35 commercial fishers in Puerto Rico, and this is a program from the  
36 DNER, and our mission is to educate commercial fishers, so that  
37 can obtain and maintain their commercial fishing licenses and  
38 permits.

39  
40 We educate them about the importance about filling out good  
41 statistical data and the knowledge of how to conserve the resource  
42 and following the states and federal regulations.

43  
44 In 2019, we have been a very good program. From January to December  
45 of 2019, the PEPCO program has impacted eight fishing centers with  
46 assistance from different municipalities around the island. Also,  
47 Vieques Island. In Puerto Rico, the fishing villages that we have  
48 impacted through these eight courses, we have a total of 274

1 participants that have registered to the program, and 227 are  
2 commercial fishers from thirty-six different fishing centers  
3 around the island. We also give them an evaluation at the end of  
4 the workshop, and 98 percent of the participants rate the course  
5 as excellent, and 2 percent rate it as average.

6  
7 We educate fishers that have got their commercial fishing license  
8 for the first time, and this is new in the program. We have been  
9 -- We have very good participants, and they were recreational, or  
10 they are getting out of high school, and they want to make the  
11 fishing a business for them, and commercial fishing is like a  
12 business, like I tell them, and they get the fishing license for  
13 the first time. They are reporting correctly the statistics data  
14 to the DNER, and we have better data, now that we have given the  
15 PEPCO.

16  
17 In this year, we integrated the coral sickness and bleaching to  
18 the workshop, with the help of the DNER Coral Conservation Program,  
19 and we brought that to the last PEPCO, and thanks to Vanessa that  
20 helped me make it Puerto Real, and we brought Miguel Figueroa,  
21 Jr., and he helped with this.

22  
23 Here are some photos of the workshop, the first one. In Vieques,  
24 we had another workshop, and, in Ponce, the fishing village that  
25 we went yesterday to the activity, in the night. In Humacao, like  
26 Alida told you, should brought the management plan, and that was  
27 a very good presentation. Thank you, Alida, for helping. In  
28 Aguada, we gave the PEPCO too, and the last one, last Wednesday,  
29 we had the last PEPCO in Puerto Real.

30  
31 I want to give a special thanks to the DNER and Damaris Delgado  
32 and Dr. Ricardo Lopez and the port agents. They are the ones that  
33 make the PEPCO complete. Without them, I couldn't make this  
34 workshop.

35  
36 A special thanks to the DNER Coral Conservation Program, like I  
37 said, Miguel Figueroa, Jr., and the council's social media and  
38 staff. I want to give a special thanks to Christina Olan with the  
39 social media of the council. It has been very good for the program,  
40 and we have received a lot of good feedback in the social media of  
41 the council. I want to give thanks to our sponsor, the Nature  
42 Conservancy and Conservación ConCiencia and our partner, Raimundo,  
43 the council and NOAA and the DNER. That's all. Thank you.  
44 *(Applause)*

45  
46 **ALIDA ORTIZ:** Any questions for Wilson? Nelson.

47  
48 **NELSON CRESPO:** I only have to say to Wilson thank you. Thank you

1 to be so accessible and open to help all the fishermen with all  
2 the concerns they've got. You are the key to maintain the  
3 fishermen interested in all of the products that this council is  
4 developing. Thank you very much.

5  
6 **WILSON SANTIAGO:** Thank you. I appreciate it.

7  
8 **ALIDA ORTIZ:** Thank you, Wilson. As well as I do from my part in  
9 the outreach and education, the communication with the Department  
10 of Natural Resources is excellent, because I know what Wilson is  
11 doing, and Wilson knows what we are doing, and we try to go in the  
12 same direction. The fisherman is the same, no matter if he comes  
13 from the federal or from the state, and so they have to understand  
14 what is the dynamics in this communication. Helena. Helena is  
15 the person doing the recreational fishers workshop.

16  
17 **HELENA ANTOUN:** Good afternoon, everyone. My name is Helena  
18 Antoun, and I am the fishery liaison for Puerto Rico for the Coral  
19 Reef Conservation Program, and this is just a report that I'm  
20 giving the council, so that the council knows and is aware of the  
21 fishery liaison activities that are going on in the island of  
22 Puerto Rico.

23  
24 Just to give a little background on what this position is, the  
25 fishery liaison position is a position that helps support the local  
26 DNER in their coral reef conservation priorities, and so, as a  
27 liaison, 80 percent of my time is going to be dedicated to Puerto  
28 Rico, working with DNER and establishing the projects that I will  
29 be working on.

30  
31 What I do is I sit down with my point of contact, who in this case  
32 is Ernesto Diaz, and he and I sit down and we identify what are  
33 the top priorities for Puerto Rico and DNER, and then that's what  
34 I work on. For 2019, it was identified that there were three top  
35 priorities, ramicrusta, recreational fisheries, and DNER Rangers.

36  
37 In terms of ramicrusta, it was just an overview of what the status  
38 was, but, in the case of the recreational fisheries and DNER  
39 Rangers, the priority was in education and outreach, and so I've  
40 been developing the programs for outreach and education and  
41 training, and I'm just going to give an update on where we are  
42 with the recreational fishers and the Marine Recreational  
43 Fisheries Education Program, and then I'll give you a little update  
44 on what we're doing with the DNER Rangers.

45  
46 A brief program outline is we have seven topics that we cover for  
47 the recreational fishers, and they are fishery laws and  
48 regulations, and this covers both state and federal laws, regulated

1 marine species, highly migratory species, coral reef ecology, as  
2 well as coral reef regulations, and fishery management and how to  
3 effectively participate in the management process, and catch-and-  
4 release techniques, and I just want to reiterate that these are  
5 topics that were picked out by the fishermen during scoping  
6 meetings that I held, and these are not topics that we chose, and  
7 these are topics that they chose.

8  
9 This is how the program, the full course curriculum, this is what  
10 it looks like. Now, it's not that we're going to give all of these  
11 topics all at once, but the idea is the nautical clubs will get in  
12 touch with me, and they will pick and choose what are the topics  
13 that they are interested in, and they can combine or however they  
14 feel. Like they will look at it, and they will say these are the  
15 topics we want, these two or these three, and there's more or less  
16 an estimated time that each topic will take, so we can coordinate  
17 and we can plan the event and the activity.

18  
19 Last time I gave this presentation, I had already held scoping  
20 meetings with the fishers and with DNER personnel, and this is in  
21 close collaboration with DNER personnel, and, based on the results  
22 of the meetings, we developed a course design, a curriculum  
23 development, which was also discussed and shared with DNER for  
24 edits or suggestions or comments or anything, and that was a review  
25 process, and then, right now, we did a pilot workshop this past  
26 December 3 in Arecibo, and it was a very informal pilot workshop,  
27 and it was just to see how this would go with the fishermen and  
28 what their feedback was. We focused on fishery laws and  
29 regulations and marine-regulated species, and those were the two  
30 topics that we focused on.

31  
32 Everybody loved it, and they said it was great, and they enjoyed  
33 it. I do need to do more pilot workshops, to get a better idea of  
34 how this sort of dynamic will work, if it will work or if we have  
35 to maybe consider other alternative means of getting this  
36 information out, but, after a few more pilot workshops, I will  
37 have more material to report on.

38  
39 In terms of comments that they gave me, they gave me a  
40 recommendation of including penalties, and they said it's a good  
41 idea to include the penalties for each violation as an incentive  
42 as to why you should not do this if you're not supposed to be doing  
43 it, and so I think that's a great idea, and I'm going to do that,  
44 and one of the things that one of the participants mentioned is  
45 one of the valuable take-home information that they got out of  
46 that workshop was knowing what can be fished. In other words,  
47 understanding, having a better understanding, of what regulations  
48 there are in terms of fisheries. Any questions regarding this

1 section, before I move on? Okay.

2  
3 Now, the second part of my projects that were identified by DNER  
4 was developing a Ranger training program. Now, let me just clarify  
5 that it's not that Rangers have not had trainings before. They  
6 have. There have been many workshops before, in the past and over  
7 the years, but the idea of this is to establish a course that is  
8 given on a regular annual basis and becomes part of the Ranger  
9 training, per se.

10  
11 One of the first things that I did is I met with the DNER Ranger  
12 Commissioner, Commissioner Ferrer, and I sat with him, and he told  
13 me what he wanted and what he expected and what he understood that  
14 they needed.

15  
16 We drafted up a really rough draft of the curriculum, based on  
17 what he said, and I had a very informal scoping with some  
18 stakeholders and industries, and these were just a few people that  
19 I had conversed with. I had spoken with, for example, Nelson, and  
20 I have spoken with Raimundo, talking and getting their feedback on  
21 suggestions and comments that they had regarding Ranger training.

22  
23 That gave me a list of topics to create the curriculum draft, which  
24 I had sent to Commissioner Ferrer for his review and to DNER,  
25 Ernesto Diaz, and so, right now, this is where we are right now.  
26 I already did all of this, and, right now, we're at the stage of  
27 developing the presentations regarding species identification, and  
28 so we're going to do a species identification training, and,  
29 hopefully, by the time we hit April, we should have a full program,  
30 with training materials, and have this incorporated as part of the  
31 DNER Ranger training. That's about it, if you have any questions  
32 or comments.

33  
34 **MARCOS HANKE:** Vanessa.

35  
36 **VANESSA RAMIREZ:** Just one. I suggest, for the Rangers, that you  
37 should put in there also like the way they should interact with  
38 the fishermen, and a good example is the Coast Guard. You can use  
39 the same.

40  
41 **HELENA ANTOUN:** I agree.

42  
43 **MARCOS HANKE:** Montes.

44  
45 **JEREMY MONTES:** To that point, whenever you get this kind of ironed  
46 out, when you've got your first trainings available, I would be  
47 more than willing to send a couple of my guys to sit through the  
48 course at the same time and develop those professional



relationships between the two organizations that are necessary for success.

**HELENA ANTOUN:** That would be great. Thank you.

**MARCOS HANKE:** Thank you, Helena.

**ALIDA ORTIZ:** As you can see, we have been very busy with the outreach and education activities, and, to me, that's the best, because we have to impact all the population and not just the fishers, but the consumers and the teachers and everyone, because that's one of the great resources that we have, the fishery, but we must all understand how it is.

Here we have a very good example of a child, a little girl, in her classroom, where it's using one of the posters that we have in the council to make her special presentation about the life cycle of a fish.

From there, probably we will get a person that in ten years might be a fisheries biologist, and why not? What do we recommend to the council or ask from the council? We request the support for the development of the activities of 2020 that we mentioned.

**MIGUEL ROLON:** We already decided that. It's just to inform the council that we are going to do that.

**ALIDA ORTIZ:** Okay, and so this is all -- These are the projects that we will have for 2020, and it will take probably all the time to do those, and so any questions?

**MARCOS HANKE:** I don't see questions, but I just want to highlight that that poster that the council has about the Nassau grouper had been there for three or four months, and that's my girl.

Every time I walk past it, the kids have a question about the marine environment, and, instead of using just whales or manatees and the usual suspects for the endangered species presentation that they normally do now they want to have something cool from the marine environment, local, in Puerto Rico. Next year, the teacher will do just organisms or animals from Puerto Rico, and things like that go a long way for the kids.

Thank you very much, Alida, and we will go to the next presentation, which will be a portrait of the Puerto Rico commercial fishery two years after Hurricane Maria, the impact of Hurricane Maria from Daniel Matos. We are going to ask all of the presenters to be very, very precise. Miguel is informing me that

1 we have ten minutes each and five of questions, please.

2  
3 **PORTRAIT OF PUERTO RICO'S COMMERCIAL FISHERIES TWO YEARS AFTER**  
4 **THE IMPACT OF HURRICANE MARIA**  
5

6 **DANIEL MATOS:** Let's talk a little bit about what happened in  
7 Puerto Rico after Hurricane Maria. I remember when I was in junior  
8 high school and in high school and we studied, in the history  
9 class, the impact of the hurricanes in Puerto Rico during the 18<sup>th</sup>  
10 and 19<sup>th</sup> centuries, and the impact at that time was very, very  
11 hard, and the population of Puerto Rico during this time -- They  
12 had a lot of needs, and they did not have food and everything.

13  
14 After Maria, I remembered those lessons, and we were very close to  
15 that situation. We had a lot of problems and situations, but,  
16 finally, we are fine, and we are on the track again, and so let's  
17 see what happened in Puerto Rico fisheries for the last two years.

18  
19 For example, after Hurricane Maria, we observed that many  
20 commercial fishers started to travel with their boats and trailers  
21 from the north coast and south coast, and they traveled to Fajardo,  
22 Puerto Rico, and they used Fajardo ramps and started fishing around  
23 Vieques and Culebra, and they started to land the catch in the  
24 Fajardo area, and so, in Puerto Rico, for the last four years,  
25 Cabo Rojo was the most productive municipality in landings, and,  
26 after Maria, we discovered last year, because of this very  
27 interesting migration of commercial fishers, that it looks like  
28 Fajardo is now the number-one fishing production municipality in  
29 Puerto Rico.

30  
31 Also, I have to mention that, before the hurricane, we identified  
32 eighty-eight places, or sites, where the fishers arrived, or  
33 landed, and we call that fishing centers, and this number was  
34 reduced from eighty-eight to seventy, and now we have also Fajardo  
35 as the number-one municipality in fishing landings.

36  
37 You see that they have eighty fishers and 410,000 pounds landed.  
38 Cabo Rojo has 144 fishers, but they caught 389,000 pounds, and  
39 then you see Rincon, followed by Saba and Vieques and Lajas and  
40 Ponce, Naguabo, Guanica, Aguadilla, Juana Diaz, and Guayama. These  
41 are the twelve municipalities reporting commercial fishing  
42 landings in Puerto Rico.

43  
44 For the last twelve months, the commercial fishing statistics  
45 personnel, we were doing a lot of interviews to know how the  
46 commercial fishery recovered after the Hurricane Maria, and the  
47 interviews were heavy. It takes thirty-five to forty-five minutes,  
48 and so the fishers have to sit with us, and they have to be relaxed,

1 and sometimes we have to say, okay, please stop and let's go the  
2 next question, because they speak a lot of information.

3  
4 The average age in Puerto Rico for the commercial fishers, after  
5 we interviewed 651 commercial fishers, is fifty-two years. By  
6 coast, and this is the east coast, it's fifty-two years, and the  
7 north coast is fifty-four years. The average on the south coast  
8 is fifty-four too, and it's a little bit younger on the west coast,  
9 fifty years old, but we need to bring more young fishers to keep  
10 the commercial fishery in Puerto Rico, because this is an old  
11 population of commercial fishers.

12  
13 The income is very interesting. In the west coast, 71 percent,  
14 close to 72 percent, of the commercial fishers receive most of  
15 their income from their commercial fishery activity, and the number  
16 of dependents is very interesting too, because they are over fifty  
17 years old, but they still have -- The east and the north and also  
18 the west, they have three people depending on this income in their  
19 homes, and this is very interesting.

20  
21 I hope you are able to read this column here, and I have to mention  
22 that the interviews were very difficult. Many of the commercial  
23 fishers are angry with the DNER, for many reasons, and they are  
24 frustrated, because they don't receive some FEMA help, and so we  
25 have to speak with them and convince many of them, and probably I  
26 think we are able to identify fifty or more that they reject the  
27 interview.

28  
29 We know there are probably 800, or 820, or 850, commercial fishers  
30 active. After a year, we were able just to interview 650. Because,  
31 as I mentioned before, many of them do not want to cooperate, or  
32 they reject the interview, and others were very difficult to find.

33  
34 Anyway, in this table, for example, the education was very  
35 interesting. Less than high school, 31 percent of commercial  
36 fishers have less than high school in their education, but 39  
37 percent or above, close to 40, 40 percent, completed high school,  
38 and 16 percent were able to complete a college education. That's  
39 very interesting.

40  
41 Another important observation we observed after Hurricane Maria  
42 was the queen conch habitat in the southwest Puerto Rico, and we  
43 observed it before the hurricane, and the commercial fishers were  
44 able to land thirty-one pounds, thirty-two pounds, of queen conch  
45 per trip, but, after the hurricane, that was very difficult, and  
46 many of them are able to catch only eight or ten pounds. However,  
47 the average is 22 percent. The commercial fishers reported to us  
48 that Hurricane Maria destroyed the habitat of the queen conch in

1 many places on the west coast.

2  
3 In this table, we show you the pounds reported, the number of  
4 fishers reporting, and the average price per pound. For 2015, you  
5 see 91,000 pounds. After the hurricane, for the year 2018, 71,000  
6 pounds were reported, but the price increased 33 percent, from  
7 \$6.00 per pound to \$9.00 per pound, and so they catch less, but  
8 the price is higher, and so it continues to be a good business for  
9 them.

10  
11 The scarcity of the queen conch and the high price now resulted in  
12 the effect that many restaurants retired the queen conch from their  
13 menus, because the price is too high, and so it's very difficult  
14 to sell that. This is the most important things that I can show  
15 you, and there are a lot more, but I only had ten minutes, and so  
16 are there any questions?

17  
18 **MARCOS HANKE:** Thank you for the presentation. Are there any  
19 questions? Richard.

20  
21 **RICHARD APPELDOORN:** Thank you, Daniel. Could you put your last  
22 slide back up, or the one before that with the data? We're seeing  
23 a significant drop after Maria, yet there are more fishermen that  
24 are reporting conch.

25  
26 **DANIEL MATOS:** Yes, and it's very interesting.

27  
28 **RICHARD APPELDOORN:** So how much of the price demand is because of  
29 the scarcity versus the conch fishers themselves having to charge  
30 more just to make a living, if you will? The demand, I guess, is  
31 such that they're able to pay for --

32  
33 **DANIEL MATOS:** I have to mention one other thing. These eighty-  
34 nine commercial fishers, many of them, after April or May, they  
35 left the fisheries, and they are working doing some yard  
36 maintenance, cut grass and everything like that, and so we  
37 identified probably twenty of them that are out of the commercial  
38 fishery right now, and maybe they will return later.

39  
40 **RICHARD APPELDOORN:** That's very interesting, too. Thank you.

41  
42 **MARCOS HANKE:** Vanessa.

43  
44 **VANESSA RAMIREZ:** I just want to clarify the point of the price.

45  
46 **DANIEL MATOS:** Vanessa, I'm glad you're here, because you can  
47 answer the question to Richard better than me. Thank you very  
48 much, Vanessa.

1  
2 **VANESSA RAMIREZ:** That's exactly what I'm going to do.  
3 Practically, it's not the fishermen who put the price. It's the  
4 fish market owners, and, just for example, in Cabo Rojo, they are  
5 fighting between them to get more fishermen, and, every week, or  
6 every month, they get a quarter more, a quarter more, a quarter  
7 more, and so, right now, they are paying \$8.00 or \$8.50 per pound  
8 to the fishermen, and that's why the price is \$9.00 for the  
9 restaurant or retailer.

10  
11 **RICHARD APPELDOORN:** It's great for the fishermen.

12  
13 **VANESSA RAMIREZ:** Yes, that's good for them, but we have seven in  
14 the same road, within walking distance, and so they have to fight  
15 for the price.

16  
17 **RICHARD APPELDOORN:** I will continue buying it anyway.

18  
19 **VANESSA RAMIREZ:** Yes, and we are glad of that.

20  
21 **MARCOS HANKE:** Thank you very much, Daniel. Thank you for a great  
22 presentation. We are ready to go for the next presentation, which  
23 will be the SEAMAP and Veronica Seda.

24  
25 **SEAMAP-C PUERTO RICO UPDATE WITH THE USE OF UNDERWATER VIDEO**  
26 **IMAGES FOR FISH COUNTS AND HABITAT DESCRIPTION**  
27

28 **VERONICA SEDA:** Thank you, everybody. I'm here, and I'm the only  
29 member of the SEAMAP program for the department, and we started  
30 using the underwater video cameras in 2017 on the east coast, and  
31 then Maria hit the islands, and so we started in full in 2018, and  
32 we are still in diapers, like I said, and so we're going to just  
33 give you a little bit of what we have been doing since 2018.

34  
35 We will start with the methodology. We get 120 stations per  
36 sampling period, and we used to have quadrants on the east coast,  
37 and we changed to stations, only one point, and NOAA people make  
38 their -- They stratify the two coasts by depth and habitat, using  
39 the benthic map or their universe, what they use to set it.

40  
41 Right now, we are using three gears in every station, and we use  
42 handline, we deploy a longline, and we deploy the underwater  
43 cameras on each station. First, we drop the camera, and then we  
44 deploy the longline, and then we fish with the handline, and then  
45 we retrieve the longline and the camera on each station.

46  
47 We also use a ground-truthing camera, where we anchor the boat and  
48 we do the handline, and so we have a better idea of each habitat

1 for each station, and we don't have any specific fishery that we  
2 target. This is a photo of the frame that we use, where we put  
3 two GoPro cameras looking sideways, with two lasers, each one.

4  
5 What we get from NOAA is this information about -- I mainly used  
6 the coordinates and the habitat that they gave us, and we compared  
7 what they gave us with what we see in the cameras and what we get  
8 on the handline and the longline, and so every station is  
9 stratified by coral reefs or mud or macroalgae and seagrass and  
10 from zero to twenty, twenty to forty, and forty meters to fifty  
11 fathoms.

12  
13 This is like an example of the images that they of the benthic  
14 maps for the west coast, and all of these light-green areas are  
15 unknown for them, and so they don't set any station on those areas,  
16 and they want us to monitor the stations that they already have  
17 information of the habitat, and so that's an example of the 120  
18 stations of the first period for the west coast, and, by the time  
19 we started the presentation, we already had -- Like I said, we  
20 started in 2017 on the east coast, and then were like a year out  
21 of the water, and then we started in 2018 in full with the video  
22 cameras and the longline, and they we went ahead with the second  
23 period, and we started in full in 2019 on the east coast.

24  
25 This is part of the images that we already have from the video  
26 cameras on the frames, and that's like the easiest images to  
27 analyze, like coral, sand, seagrass, and macroalgae, but we realize  
28 that it's very complicated, in that sometimes you have one camera  
29 looking to one habitat and another camera looking to another  
30 habitat, and, when you get the third camera from the ground-  
31 truthing, it's another habitat, and so it's really complicated.

32  
33 We started making our own protocols, and we started to analyze the  
34 videos for each camera, because, in other places, they just do one  
35 camera for everything, for fishes and habitat, and so we started  
36 to -- It was so different on each place that we started analyzing  
37 -- We started analyzing each camera, and this is part of the forms  
38 that we use for every -- When we start analyzing the videos. This  
39 page is for habitat, and we fill out three, one for each camera,  
40 and this is for the species that we see during the videos.

41  
42 We usually drop the camera, and we let like ten minutes, for the  
43 sediment and the fishes to come back to the place, and then we  
44 start reading for twenty minutes, and we also take some time,  
45 sometimes, to see the rest of the video, to see if there is  
46 something else that should be added to the list, and this is an  
47 example of one reading on one station.

1 We do all the characterization of the habitat for each camera, and  
2 then we do the reading for species to each station, and we choose  
3 randomly which camera we're going to read, and we just read one  
4 camera for fishes, because it's really -- It takes a long, long  
5 time to -- Well, it depends on the station, because there are some  
6 stations that are really murky, or nothing happens and nobody goes  
7 over there, and so you can take just twenty minutes, but there are  
8 some stations where you can find more than forty species on one  
9 station, and you need to be like two or three days on one video,  
10 only twenty minutes, and it's like pause, play, pause, rewind,  
11 pause, play all the time.

12  
13 This is a comparison from what NOAA gave us on the stations, and  
14 they gave us seventy-five stations on coral reef, five stations on  
15 what they think is macroalgae, by their maps, nine stations of  
16 sand or mud, and thirty-one for seagrass, and this is what we have  
17 been reading from each camera, and you can see the difference from  
18 what they gave us to what we have in one camera and in the other  
19 camera for each station, and so that's on the west side, and this  
20 is on the east side, and it's the same thing. The difference  
21 between what they gave us on each 100 stations to what we see in  
22 Camera 1 versus Camera 2.

23  
24 Sometimes one camera is just looking at sand, and the other one is  
25 looking to a reef, and so you cannot make a general classification  
26 for that station.

27  
28 This is list a list of the first 120 stations that I think we did  
29 on the west side, and all the dark are species that we don't catch  
30 on handline or longline, versus fifty-six species that we saw on  
31 the cameras, but we never got it onboard, and so we don't know  
32 anything, maybe, about those species.

33  
34 When we started with the cameras, we knew it was something very  
35 challenging, but we started having problems with a lot of things,  
36 and we took a calibration workshop, because there are issues with  
37 a mismatch between habitat maps and the video observations. It's  
38 difficult from small boat and safety issues, because we are doing  
39 three things at the same time in the same station, like really  
40 close, to one to each other, with so many lines in the water, and  
41 the video analysis -- We used lasers to make sure -- Not every  
42 fish goes through the lasers, and so it's really difficult for  
43 that data and to measure every fish.

44  
45 It's time consuming, and it's really hard when -- We still have  
46 more than 50 percent without being read, and we have more than  
47 1,300 videos, and maybe half of those have been read, and it's  
48 really, really hard, but we're getting into it.

1  
2 The data storage was really a big problem, because we lost, like  
3 in a week, four hard drives, and it was so much data in that hard  
4 drive and that we need to recover those videos. In that case, we  
5 have help from the council, that they gave us some space to like  
6 make a backup of the videos, so we don't lose everything. Now I'm  
7 going to show you a short video of what you see in the cameras.

8  
9 We start with the deployment of the frame, and that's the first  
10 thing that we do. We try to go strictly to the coordinates that  
11 they gave us, and so that's the first thing that we deploy, and  
12 usually everybody comes to the camera or it takes some time, and  
13 sometimes you don't see anything. You usually see small fishes  
14 that you don't know what they are, unless they get really close to  
15 the camera. Then twenty minutes of reading like that.

16  
17 You see all kinds of habitats, without anything to see, and it can  
18 be really boring, but suddenly something appears, and you have  
19 this kind of habitat, and all these are sponges, and it's really  
20 hard to classify those, because we don't have -- We have sponges  
21 only, and sometimes we have sand with some algae, and everybody  
22 wants to get in the camera too, and you're able to see the lasers  
23 and the fishes, but that's really -- It's like one in a hundred it  
24 happens.

25  
26 When you have this, it takes you a long, long, long to pause, play,  
27 pause, play, rewind, pause, play, rewind, because you need to count  
28 how many of each species start coming in the camera and when they  
29 came out of the camera. If they get closer, you can identify them,  
30 but that's really weird, that they get that close, those small  
31 fishes, and I get dizzy, really dizzy, looking at the corals moving  
32 all the time, and so it's really hard for me.

33  
34 Sometimes you have some other cute things, and, curiously, that  
35 shark was seen in that station, and I'm pretty sure it was this  
36 same shark that was in two different stations one mile away from  
37 each other in the same day, but it looks like almost the same size,  
38 but there is no way to know if it was the same, and you can see  
39 the grouper left. This is a hogfish, and so there are two count,  
40 and you have to pause right on the data forms. There is just  
41 thirty more seconds of video.

42  
43 I don't get dizzy on those, because nothing is moving. Sometimes  
44 it's really hard to see, when it's like -- It's not that murky,  
45 but you don't see the horizon, and you have like space between the  
46 -- Sometimes you just see this for twenty minutes or thirty or  
47 forty, and you just see this, and there's nothing to see. There's  
48 nothing moving and nothing going around, no juveniles or no



1 nothing, and so that's part of what we have been doing lately with  
2 the cameras.

3  
4 I don't read any video. Aida Rosario reads the videos, and Fabian  
5 reads the videos, and they just ask me like what do you think about  
6 this, but, you know, we are moving forward right now, and so are  
7 there any questions?

8  
9 **UNIDENTIFIED:** (The question is not audible on the recording.)

10  
11 **VERONICA SEDA:** At the beginning, we kept them in a small hard  
12 drive, but those hard drives started like crashing and getting  
13 encrypted, and it took me like two weeks of trying to recover those  
14 hard drives, and then we asked Graciela -- We decided that the  
15 council was going to be the ones that are going to have the full  
16 original backup of those videos, because, after we read those  
17 videos, SEAMAP is not going to do nothing with those.

18  
19 **UNIDENTIFIED:** (The question is not audible on the recording.)

20  
21 **VERONICA SEDA:** Eventually, yes. I know there is a lot of  
22 information, because we only read twenty minutes, but sometimes  
23 they are thirty or more minutes of video.

24  
25 **JULIAN MAGRAS:** That was a good presentation. I just have two  
26 questions. What kind of depth range are you guys using?

27  
28 **VERONICA SEDA:** We have from one fathom to twenty or twenty to  
29 thirty-five or forty and forty to fifty, and we don't get deeper  
30 than fifty fathoms.

31  
32 **JULIAN MAGRAS:** The reason why I asked that is because I see  
33 there's a lot of undertow, and so that's why I asked that question,  
34 and then have you guys ever done any videos with like chumming  
35 next to the camera, to see what kind of attractions you would get?

36  
37 **VERONICA SEDA:** No, and the committee was thinking to bait the  
38 cameras, but they had problems on the Gulf coast, because the big  
39 fishes get into the bait, and you're not able to see part of it,  
40 because they get in the middle, and so you're not able to measure  
41 or see other species, and so we just leave it like that.

42  
43 **JULIAN MAGRAS:** Thank you. Good presentation.

44  
45 **VERONICA SEDA:** Thank you.

46  
47 **MARCOS HANKE:** Richard.

1 **RICHARD APPELDOORN:** I just want to make a comment. They are doing  
2 this work while they're also setting longlines and while they're  
3 also hand-lining from the boat, and, when we were at the joint  
4 SEAMAP meeting last summer, one of the other program members came  
5 over and said that we do all of those things too, but we're not  
6 crazy enough to do them all in the same day, and so it tells you  
7 something about how hard these people are really working, both  
8 here and in the Virgin Islands. It's really an incredible effort  
9 they are doing.

10  
11 **VERONICA SEDA:** Thank you. Thank you to Marcos and to Fabian and  
12 to Aida. They are the ones that go out and take those videos, and  
13 they do the handline and the longline.

14  
15 **MARCOS HANKE:** I want to make a quick -- Because of this point.  
16 The whole exercise of developing how we can do it very effectively  
17 have been including students of Humacao, and the way the team works  
18 has been very professional and effective, and this is something  
19 that I am very proud to be part of it.

20  
21 I just want to make that mention and the recognition to everybody  
22 that works on this project together, in the field and processing  
23 the videos and doing everything. Thank you very much, because  
24 it's an important project.

25  
26 **VERONICA SEDA:** Thank you.

27  
28 **MARCOS HANKE:** Thank you, Veronica. The next presentation is  
29 Histological Validation of Visual Sex Determination for Reef Fish  
30 Species by Noemi Pena Alvarado.

31  
32 **HISTOLOGICAL VALIDATION OF VISUAL SEX DETERMINATION FOR REEF**  
33 **FISH SPECIES**  
34

35 **NOEMI PENA:** Good afternoon, everyone. My name is Noemi Pena, and  
36 I'm a biologist for the DNER, the Fisheries Research Lab. Since  
37 2006, I think, we started collecting data, gonad data, for the  
38 SEAMAP program, just to make like a quality control of what we are  
39 seeing macroscopically and then comparing to the --  
40 Macroscopically and then compare with microscopically.

41  
42 The objectives of this is to improve the gonads maturity staging  
43 identification, because, before that, it was only macroscopically,  
44 and then provide the data that managers need to have the -- To  
45 improve the stock assessment, and, also, the fisheries-independent  
46 data are critically needed to obtain essential information for  
47 fisheries management.

1 What we do, and what you have seen here today, is that we are like  
2 a bunch of people working different stuff, and it is important  
3 just for all of us moving together to the same direction, and so,  
4 as part of what we do in the lab, the lab component of the Fisheries  
5 Research Lab, is to keep doing the histology to have the best data  
6 available.

7  
8 What we do is just to have -- Well, I am just going to talk about  
9 what we do with SEAMAP information. We get the fish collected,  
10 and then every fish is measured and then identified, the sex, and  
11 then, visually, we tell the stage of the gonad. Then that  
12 information is recorded. Since 2006, we have been collecting and  
13 preserving the gonads, to do the histology, and then we compare  
14 what we see visually and then with a microscope.

15  
16 Mostly, it is very challenging to do this stuff, because what we  
17 -- This is a female gonad, and this is an ovary, and this is an  
18 immature female, and so what we see macroscopically is that the  
19 ovary looks like a ribbon, and it is very clear, and it has no  
20 blood vessels that are seen. The oocytes we cannot see the oocytes  
21 visually, and so, in that way, we can tell that this is an immature  
22 female. Then, when we see it under the microscope, we have seen  
23 the primary oocytes with the thin ovarian wall, and, in that way,  
24 we can say that this is an immature female.

25  
26 Then, as the female matures, we can see here the blood vessels,  
27 and the gonads are more grown, and the oocytes we can see with the  
28 naked eye, and then we see some characteristics here of some fat  
29 around also, and, in that way, we can say that this female is  
30 maturing.

31  
32 If we see that gonad under the microscope, we can see here that  
33 the oocytes -- We have seen here the primary oocytes, but we see  
34 quite a few that are developing, and so, in that way,  
35 microscopically, we can say that that female is maturing, or  
36 developing.

37  
38 Here, we have a ripe female that is spawning capable, and so, here,  
39 with the naked eye, we can see hydrated oocytes that you can see  
40 perfectly macroscopically, and then you have seen here the blood  
41 vessels, also, and that's a sign that this female is totally mature  
42 and spawning capable. If you see it under the microscope, you can  
43 see all the oocytes already to spawn, and they are ready to spawn.

44  
45 Here are some of the issues or the challenges that we have to face.  
46 Here is an inactive female, and you can see the blood vessels, and  
47 the ovary is like shrunken, and it's wrinkled, and so you can see  
48 here that the color is very red and very orange, and, when you see

1 it under the microscope, it looks like an immature female, and so  
2 this is one of the challenges that we have to face every time that  
3 we do an identification of the ovary, or staging the ovary, on  
4 naked eye.

5  
6 Here, we have the primary oocytes, and this ovary is resting, or  
7 is inactive, or is regenerating for the next spawning season, and  
8 so the challenge is that you have an inactive female, but it's not  
9 an immature female. When you compare it to an immature one, the  
10 ovary looks mostly the same. This is why the microscopic  
11 information and the histology information is very important.

12  
13 One of the other challenges that we have is to identify and stage,  
14 in hermaphroditic species, like the red hind that we heard today  
15 a lot of talk about the red hind, and, here, it looks like a  
16 developing female, and we classify it as a developing female by  
17 the fishers, but it's not. It's a male that has already changed  
18 sex to the male, and then it has the oocytes, some oocytes, around,  
19 and so it's not a female. It looks like a female, but it's a male.

20  
21 Also, males are very challenging to stage macroscopically. This  
22 looks small and threadlike, corresponding to an immature or  
23 developing male, but it's a mature male. All the violet color,  
24 very violet color, is sperm, and it's a very mature male. This is  
25 also a mature male. It's white, and it's large, and it's firm,  
26 and so, if you put a little bit of pressure, milt is released, and  
27 here is the sperm, also.

28  
29 Since 2006, the laboratory has established a quality control to  
30 assure that the data collected is the best data available. Since  
31 then, macroscopic sex and stage determination have improved. Since  
32 2006, the error was very high, when we compare what we do visually  
33 versus microscopically, and so now the error is like -- Even though  
34 males are very hard to stage, not to identify the sex, but it's  
35 very hard to stage, and then the females, if they are resting or  
36 if they are -- If they are resting or immature, they are very  
37 difficult to stage.

38  
39 It is important to establish and standardize terminology for gonad  
40 description. Right now, we are using Nancy Brown Peterson  
41 standardized terminology to do that, and so we tried to keep  
42 standardizing the terminology, and then histology is the best way  
43 to bring the most reliable gonad description, and, also, it's very  
44 important, because we have been working with SEAMAP information,  
45 but we have done a lot of work besides the SEAMAP information, and  
46 we have been working lately with deepwater snappers, just  
47 collaborating with other scientists, and we have been working with  
48 another professor, and we have been working also with providing

1 samples to life history information, which is very important. At  
2 the lab, we only do the histology information, but we collect all  
3 the data that the scientists need to get the best information for  
4 these species. I think that's it.

5  
6 **MARCOS HANKE:** Thank you very much, Noemi. One question, because  
7 we need to move on, and Noemi will be around if you guys have any  
8 other specific questions. Go ahead, Damaris.

9  
10 **DAMARIS DELGADO:** Thank you. I just wanted to recognize the great  
11 work that our staff in the laboratory is doing and congratulate  
12 all my colleagues in DNER that have been presented their work, and  
13 I'm just proud of them and what they're doing.

14  
15 **MARCOS HANKE:** Thank you for saying that, and, Noemi, I think this  
16 is a good opportunity to invite the fishermen and that, once you  
17 guys knock on their door to have samples from very little animals,  
18 or bigger animals, that, through your guidance, it's needed, and,  
19 please, I invite all the fishermen to collaborate, because that's  
20 important information for the future of our fishery.

21  
22 **NOEMI PENA:** I just want to point out that, also, it's very  
23 important that everyone that is doing science out there, like  
24 students and other researchers, that it is important at this kind  
25 of meeting that you get to know what everyone is doing around, and  
26 it's another way to see what they are doing around, and so it is  
27 important to see what we do.

28  
29 I only work lab stuff, and I don't go to fish, and I don't know  
30 how these larvae move around the current that I learned today, and  
31 so it is important that we all join together to do the best that  
32 we can to get the best science and management possible.

33  
34 **MARCOS HANKE:** Thank you. Thank you very much. That was a great  
35 presentation. (Applause) The next presenter is the ciguatera  
36 study, and it's going to be presented by Miguel del Pozo.

#### 37 38 **CIGUATERA STUDIES REPORT**

39  
40 **MIGUEL DEL POZO:** Good afternoon. Thanks for having us, and my  
41 name is Miguel del Pozo, and I'm from UPR Ponce, and, together,  
42 Joseph Luczkovich and Henry Raab, we're going to be talking about  
43 a study that we are conducting currently that is called "Ciguatoxin  
44 Detection and Model Predictions for Use in Fisheries Management in  
45 Puerto Rico". I will leave you with Joseph Luczkovich now, and  
46 he's going to be giving you a brief introduction to the project,  
47 and then I will talk later on about the anthropological side of  
48 it.

1  
2 **JOSEPH LUCZKOVICH:** I'm Joe Luczkovich, and I'm a professor at  
3 East Carolina University, and my co-authors, as Miguel said, are  
4 Henry Raab, who is a PhD student in my lab, and Cindy Grace-  
5 McCaskey, who is here in the room with me, in my office in  
6 Greenville, North Carolina. David Griffith and Wayne Litaker are  
7 also involved, and this is an interdisciplinary project on  
8 ciguatoxin in fishes in Puerto Rico.

9  
10 Many of you probably know, just as background, that ciguatoxin a  
11 fish poisoning condition that causes a neurological condition in  
12 people who have eaten it, and it's about 50,000 cases per year  
13 worldwide, and about three out of a hundred people traveling in  
14 endemic areas are exposed to this, potentially, through consuming  
15 fish.

16  
17 There are lots of fish that could be involved, and at least 400  
18 species have been named, but they usually are top predators, like  
19 barracuda, great barracuda, grouper, snappers, king mackerel, as  
20 an example, and it's in the Hawaiian islands as well as in the  
21 Caribbean ecosystems, and it's a worldwide tropical problem.

22  
23 This is a map of Oahu, and some scientists there have gone around  
24 the island and looked for places where grouper are high in  
25 ciguatoxin, and you can see the red areas here show the high  
26 percentage of positive for CTX, or ciguatoxin, and so we know there  
27 are hotspots and cold spots, areas where there isn't much in the  
28 way of ciguatoxins in the fishes.

29  
30 We wanted to find out if there are hotspots in Puerto Rico, and,  
31 because I work with anthropologists here at the university, we  
32 started to talk them about, well, how can we interview fishermen,  
33 to find out where they think people have gotten sick, and so we  
34 went to fish houses, and Miguel del Pozo was instrumental in lining  
35 up interviews for Henry Raab, who is the top picture there, and  
36 Miguel and Henry in a fish house in the bottom picture, and Henry  
37 is doing a fish dissection.

38  
39 We interviewed fishermen at the fish houses, both in Puerto Rico  
40 and in St. Thomas, and the objectives were -- I'm going to let  
41 Miguel talk about this part. Miguel, why don't you take over?

42  
43 **MIGUEL DEL POZO:** Thank you. Just like Joe mentioned, I want to  
44 emphasize the interdisciplinary character of this study. We are  
45 a team of anthropologists and biologists, but we are working  
46 together in a synergistic kind of way, trying to put together this  
47 study to learn more about this disease.

1 Talking about the anthropological aspect of it, basically, we are  
2 learning from fishers. As anthropologists, we understand that  
3 fishers are very knowledgeable, and they are the ones who engage  
4 more commonly and frequently than any other stakeholders, and so  
5 we are basically learning from the fishers ecological knowledge  
6 about ciguatera.

7  
8 What we wanted to learn, we wanted to determine, as Joe Luczkovich  
9 mentioned, hotspots and cold spots in Puerto Rico, and we also  
10 wanted to determine what are the hot fish, what fishes are the  
11 most likely to cause the disease, and, in this aspect, when we  
12 were talking about hotspots, we could define that as places that  
13 fishers recognize, traditionally, as an area that will produce  
14 landings that are more prone to produce the ciguatoxin, and, on  
15 the other hand, cold spots are the opposite. It's a place where  
16 you rarely have a report, or it's unlikely to come across a toxic  
17 fish.

18  
19 We also wanted to know the species involved, and we had some other  
20 questions, and I'm not going to get into -- Because of the time  
21 constraints, I'm not going to get much into Point 3 and 4, but we  
22 also had questions about if the fishers observe any relationship  
23 between environmental events and weather changes in relation to  
24 ciguatera, and, also, we wanted to explore how they feel about the  
25 traditional ways of telling a toxic fish apart from one that is  
26 not, traditional ways to test suspicious fish.

27  
28 What we did is that we a snowball sampling of experienced fishers  
29 in Puerto Rico, and we conducted twenty-one open-ended interviews,  
30 and among the things we asked there is we asked them to free list  
31 the species that they understand to be hot fish, and we also did  
32 pile sorting, where we provide the fishes with fish cards, and we  
33 asked them to put them in piles, a pile of fish that are toxic and  
34 fish that are not toxic.

35  
36 In St. Thomas, something similar took place, and I didn't conduct  
37 any interviews in St. Thomas. Henry did and Cynthia, but they did  
38 pile sorting with seventeen fishers and open-ended interviews with  
39 fourteen fishers.

40  
41 This is a previous kind of draft version of a map that I was  
42 building about the interviews, and the dots are the locations where  
43 I conducted the interviews, and the numbers related to the dots  
44 are the number of interviews. As you can see, we conducted one  
45 interview in Cabo Rojo, two interviews in Ponce, three interviews  
46 in Juana Diaz, five interviews in Guayama, three more in Arroyo,  
47 one in Maunabo, and one in Naguabo and five more in Fajardo.

1 A more recent version of this map will have different colors in  
2 the dots, and the reason for that is that this dot on Cabo Rojo  
3 and the one in Fajardo should be in green, because those are places  
4 that we have identified, based on the interviews, as cold spots.

5  
6 Now, the fifth spot in Guayama, that should be red, because that  
7 is a hotspot that we have identified through the interviews, and  
8 then the interviews in Ponce, in Juana Diaz, Arroyo, Maunabo, and  
9 Naguabo should be yellow, because we are not sure yet. We cannot  
10 pinpoint those areas as hotspots, based on the information we have  
11 so far, and we have to conduct more interviews, and we are planning  
12 to do that in the future. We're going to be conducting a survey  
13 with a much bigger sample in the future.

14  
15 So what did the fishers say? As you can see in this chart, the  
16 names that pop up are barracuda, amberjack, black jack, hogfish,  
17 and king mackerel as well. Here, you can see how many times  
18 species were identified as hot species, and great barracuda -- 100  
19 percent of the interviewees mentioned barracuda as a potentially  
20 ciguatoxic fish, followed by hogfish, with 86 percent, amberjack  
21 at 81 percent, and black jack and so on.

22  
23 King mackerel, basically, half of the interviewees mentioned king  
24 mackerel, and then horse-eye jack, dog snapper, African pompano,  
25 schoolmaster, escolar, cobia, cero, bar jack, yellow goatfish, and  
26 ballyhoo, and I have to stop here for a second to mention that --  
27 Can you go back, please? I wanted to mention that cobia was  
28 mentioned in an interview that took place in the south.

29  
30 At the time, I didn't have, in the fish cards, any cobia, and there  
31 were no cobia in the -- The fish that they were relating to, they  
32 had none in the freezers, and I had no reception on my mobile, and  
33 so I couldn't -- I cannot say for sure if that's a cobia, and I  
34 know that there are reports about cobia in Puerto Rico, but they  
35 are very scarce, and so, judging from the description that the  
36 fishers gave me, I feel like they were talking about rainbow  
37 runners, but I have to confirm that in the future. I just left it  
38 with the common name that they used, but I need to confirm that in  
39 the future.

40  
41 Now, when we compare the fishes from the hotspots and the cold  
42 spots, it's quite interesting, because, if you look at the first  
43 five species, great barracuda, great amberjack, hogfish, black  
44 jack, and horse-eye jack, you see a good deal of agreement between  
45 the fishers that were interviewed in the hotspots and those in the  
46 cold spots.

47  
48 Now, when you go down, from king mackerel down, there is agreement



1 among the fishers from each of the spots, but not between them.  
2 If you look at king mackerel, 80 percent of those interviewed  
3 mentioned king mackerel as being a toxic fish in the hotspot, but  
4 none mentioned king mackerel in the cold spots, and the same  
5 happened with dog snapper, schoolmaster, bar jack, African  
6 pompano, and escolar as well.

7  
8 **JOSEPH LUCZKOVICH:** Do you want me to talk about this, Miguel?

9  
10 **MIGUEL DEL POZO:** Please.

11  
12 **JOSEPH LUCZKOVICH:** This is work that was done in the Virgin  
13 Islands, in St. Thomas, by our team there, and David Griffith  
14 interviewed seventeen fishermen and had them do the card sort into  
15 piles, and this is a consensus analysis, which means, if you look  
16 at which fishermen, which are the red circles, and they are  
17 numbered one through seventeen, which fisherman put a given species  
18 in a pile that says "toxic fish", they are connected by arrows to  
19 the species that they identified as toxic.

20  
21 All the ones on the right-side on the screen are high consensus,  
22 and they are most often chosen as a hot or toxic species by the  
23 fishers. It's great barracuda, hogfish, amberjack, horse-eye  
24 jack, yellowfin grouper, and they are all in the MDS, the  
25 multidimensional scaling, of the pile sort data, the ones in the  
26 center of the screen, the blue ones in the center.

27  
28 There are some fish that are mentioned by some fishers, but not  
29 others. For example yellow goatfish and snappers on the bottom-  
30 right are -- Some fishermen say they are toxic, but not all  
31 fishermen, and other fishermen say king mackerel is toxic, over on  
32 the left-side, on the bottom, but not the same fishermen that  
33 picked yellow goatfish and snappers, and so there seems to be some  
34 disagreement about those species.

35  
36 Then, all the way to the left, are the species not even chosen, or  
37 very rarely chosen, like surgeonfish, grunts, angelfish, porgies,  
38 and parrotfish. Those are all sort of lower trophic level, or  
39 they eat other things than fish, and so we're interested in how  
40 this consensus analysis amongst fishermen indicates some  
41 traditional knowledge about the pathways that ciguatoxins are  
42 coming through the food web, and we think that, the TEK,  
43 traditional knowledge, is pretty good. The fishermen know which  
44 species are toxic. There is some disagreement, but they agree on  
45 the barracuda, hogfish, jacks, and groupers.

46  
47 I think the next slide is -- Here is the slide that shows the east  
48 coast of the Puerto Rico island and the sites that we selected for

1 our ecological sampling, because the next phase was to take our  
2 traditional ecological knowledge from these sites and take  
3 biological samples, to see if the fishermen are telling us the  
4 right species are toxic and the hotspots and cold spots are  
5 correct.

6  
7 This area up in green is called CTX 1, and CTX 2 by Fajardo is an  
8 area that fishermen said is a cold spot and that not many fish  
9 there are toxic, but, down by Guayama, where we have CTX 3 and 4,  
10 we have established sites there to sample, and we're building a  
11 food web model right now, and we're using this one from Optiz for  
12 Puerto Rico from 1996. She published a dissertation on this, and  
13 it's an Ecopath model, but we can use the Ecosim and the Ecotracer  
14 modules within Ecopath to find out what pathways the ciguatoxin is  
15 traveling up the food web.

16  
17 I am just going to isolate a few of these key pathways for you,  
18 and like this is one pathway that could be how the ciguatoxin gets  
19 to the hogfish, and the algae here and seagrasses are substrate  
20 for grazing snails. When we look at the stomach contents of  
21 hogfish, we see a lot of those grazing snails in the guts of the  
22 hogfish, and so we think the snails are grazing on the algae and  
23 seagrass and getting the CTX from their dinoflagellates that they  
24 consume near the base of the food web.

25  
26 Another key pathway is all of the barracuda we've seen so far have  
27 been eating fish, and one of the common fish they eat is ballyhoo,  
28 and they may eat other fish, and so that larger food web model  
29 will detail all the pathways, but this is a pathway by which  
30 barracuda could be getting high levels of ciguatoxin through the  
31 ballyhoo, which feeds mostly on Syringodium, as you see here, and  
32 floating Syringodium, or seagrass, could be also having this  
33 dinoflagellate, and so we need to investigate, at all trophic  
34 levels, how this CTX is getting into the food web, but,  
35 nonetheless, with the Optiz food web Ecopath model, we were able  
36 to simulate a bloom, using a very high cell concentration now.

37  
38 We're assuming here 100,000 cells of gambierdiscus with ciguatoxin  
39 at the highest levels, and so this is the worst-case scenario, but  
40 you can see that, at Trophic Level 4, the king mackerel and the  
41 jacks are getting it within three months. The groupers take a  
42 little bit longer, nine months, and this is assuming a seven-day  
43 gambierdiscus bloom. Hogfish is about ten months, and the  
44 parrotfish and some of the herbivorous invertebrates don't seem to  
45 ever reach the toxic level, which is 0.1 part per billion,  
46 indicated by the red horizontal dotted line.

47  
48 If we say instead that there is a gambierdiscus bloom that lasts

1 for four months, that had a much more rapid increase to the top  
2 trophic levels in just a month-and-a-half for some of those top  
3 species, and so what we're doing now is we're putting out  
4 collectors.

5  
6 These are based on a collecting technique in this manual from  
7 International Oceanographic Commission on sampling toxin-producing  
8 microalgae, like dinoflagellates, and so that's a picture of me  
9 diving near Guayama, in one of the hotspot areas, putting out  
10 little weights with a screen attached and a float on it, and that  
11 little float will keep it up off the bottom, and the screen will  
12 collect the dinoflagellates.

13  
14 If you see over here this picture on the left, it acts just like  
15 window screen, but the dinoflagellates are there on the window  
16 screen and attracted to it, and then I go up later, after one day  
17 of letting this -- After twenty-four hours in the water, I take a  
18 sample, with a jar around the screen, and bring it back for  
19 analysis.

20  
21 We did this at the University of Puerto Rico Humacao and at the  
22 NOAA laboratory down in Beaufort, North Carolina, who are  
23 collaborating with scientists there, and the collectors worked.  
24 We just did this in October, and there were cells both in the  
25 hotspot and the cold spot, but, at the hotspot, at CTX-4, there  
26 are 12,400 cells per liter, and so a much, much higher level, and  
27 there were gambierdiscus, and, now, we're still identifying the  
28 strains of the gambierdiscus, and so this is work in progress, but  
29 we hope to use this information to parameterize that food web  
30 model.

31  
32 Henry Raab, for his dissertation, is actually looking at the  
33 toxicity levels of fish from different parts in the hotspot and  
34 cold spot areas, parts of the coast, and we have taken over a  
35 hundred different individual fish, about eighteen species, and we  
36 have extracted the tissues to get the CTX, and it takes a long  
37 time. It takes four days to do eight fish, but Henry is working  
38 hard, and I'm going to show you some of his preliminary data.

39  
40 By the way, we're going to try to do it across all different  
41 Ecopath trophic levels, everything from the gastropods at Trophic  
42 Level 2.4 and small herbivorous fish, like parrotfish, up to the  
43 large carnivorous fish, like great barracuda, cero, and amberjacks  
44 and things.

45  
46 Right now, here are some preliminary data from a map of the east  
47 coast. The top there is Fajardo, near Fajardo, and no fish were  
48 found to be toxic so far. We have looked at southern sennet,

1 barracuda, and dog snappers, but, in the Naguabo area, the hogfish  
2 that we looked at all have a sort of low toxicity, and there was  
3 one hogfish tested that was not toxic, but the barracuda from there  
4 was highly toxic, and then, down in Guayama, all the hogfish and  
5 barracuda were highly toxic, and the white grunt and pluma porgy  
6 were not toxic.

7  
8 We are just trying to give you a little update, and we're still in  
9 the process of analyzing all of that, and I will just go ahead and  
10 summarize the conclusions from everybody.

11  
12 We have identified, from fisher interviews and TEK, traditional  
13 ecological knowledge, two hotspots in Puerto Rico and one in --  
14 Well, one is on Vieques, and one is in Guayama. We haven't done  
15 much work over in Vieques at all, but it's come out of the  
16 interviews that there's a hotspot on the east side of Vieques.

17  
18 Fajardo was a cold spot, based on the interviews, and, in Naguabo  
19 and Maunabo, we need to have more interviews there, to determine  
20 if hotspots are present. There are hotspots in the U.S. Virgin  
21 Islands as well, and we were going to identify them in the future.

22  
23 The species of fish that the fishermen name are great barracuda,  
24 hogfish, amberjack, black jack, horse-eye jacks, dog snapper, and  
25 king mackerel. These species are important, obviously, and we  
26 think that the fishers are actually avoiding the high-likelihood  
27 CTX fisheries, and they are not being landed in the south, in the  
28 hotspot area at Guayama, and so that's an interesting finding that  
29 we want to investigate more.

30  
31 From the Ecopath modeling and the sampling for the dinoflagellates,  
32 CTX levels showed the highest toxicity in great barracuda and  
33 hogfish from Guayama, and the barracuda and other fishes were not  
34 toxic in Fajardo, and hogfish had low toxicity in Naguabo, and  
35 barracuda have high toxicity there.

36  
37 The Ecopath model is showing that it takes only about three months  
38 after a bloom to get to the top trophic levels, and it stays in  
39 the fish for many, many months after that, and so it's a real  
40 concern if blooms are happening out there, and it looks like they  
41 are, that the fish are getting contaminated and staying  
42 contaminated.

43  
44 We need to study further the time extent of the blooms, and that's  
45 something we have planned for the future, and we recommend to this  
46 management council that you continue with CTX testing in fish,  
47 especially hogfish and the other fish that are coming out of this  
48 study as being important from the traditional ecological

1 knowledge, and continued surveillance of the gambierdiscus blooms  
2 along the coast. With that, I think we'll just take questions.

3  
4 **MARCUS HANKE:** Thank you for the presentation for everybody, for  
5 both, and it looks like there is more than one on the line, and  
6 thank you to all. Tony, did you have a question?

7  
8 **TONY BLANCHARD:** Actually, I've got a statement. I noticed, at  
9 the beginning of the presentation, you refer to it as a disease,  
10 but I don't understand it. If they're feeding off the algae, and  
11 the algae is the problem, how would it be referred to as a disease?

12  
13 Anyway, going past that, what jumped out at me was the ballyhoo.  
14 I think that you're looking at analyzing it in the wrong way. I  
15 think part of the problem is a lot of people that claim to say  
16 that there were fish poisoned is not actually fish poisoned.

17  
18 It's actually food poisoning, and I'm pretty sure that Mr. Magras  
19 will back me on this, because he used to work at the hospital, and  
20 he had access to a lot of the doctors, and the only way he could  
21 really tell if it was fish poisoning is by bringing the contents  
22 that you bring up and them testing it. I think the ballyhoo might  
23 be a case of food poisoning, because I have never heard, in all my  
24 days of fishing, that ballyhoo has poison.

25  
26 As for the barracuda, I think that the high-predator fish -- What  
27 is happening is they are feeding off of the smaller fish, and,  
28 because the smaller fish feed off of the microalgae, and you know  
29 the big fish feed off of the smaller fish, the bigger-predator  
30 fish are getting the microalgae in their system.

31  
32 Certain places, that's where you see the hotspots, and they are  
33 not hotspots in certain places, is because what I believe is,  
34 especially in St. Thomas, because of the upwelling, what we call  
35 the ground sea, the microalgae grows ashore, in shallower water,  
36 and, when the ground sea comes in, it uproots everything, and it  
37 sweeps it off, and so there goes the microalgae.

38  
39 The fish in the north of the island probably don't have the access  
40 to the microalgae that they would find in the south, which the  
41 upwelling is not a bigger deal. In certain places in the south,  
42 you find like the hot fish, and certain fish have a tendency to  
43 carry the ciguatera, and some species more likely than others, but  
44 there is no real way of looking at the fish to tell that a fish  
45 has got ciguatera or not. The only way you're going to know is by  
46 eating it, and I could verify it. I've got poisoned four times,  
47 and so I know, off of my own fish.

1 To the end of the day, I don't think there is no secret -- Let's  
2 say no secret potion to figure out whether the fish is ciguatoxic  
3 or not, but what we have learned to do is certain areas and certain  
4 types of fish we avoid bringing in, and we avoid going to them  
5 areas to begin with, so that we don't have the problem of poisoning  
6 people, because, at the end of the day, if I poison you, you ain't  
7 coming back to buy my fish.

8  
9 Number one, it's not a nice thing to do, and, number two, it's a  
10 bad business practice, and so, if you want to stay in business,  
11 don't poison people, and that's the lesson here, and so that's how  
12 I see it, and I believe, in Puerto Rico, it might be somewhat the  
13 same thing that is happening, because a lot of the food poisoning,  
14 the stuff that you get for food poisoning, like the vomiting and  
15 the diarrhea and stuff like that, is the same symptoms you get for  
16 being poisoned by ciguatera.

17  
18 **JOSEPH LUCZKOVICH:** Can I respond? I think that he's absolute  
19 right, and food poisoning versus ciguatoxin poisoning is a big  
20 issue. If the fish are handled poorly, and they're not kept cold,  
21 on ice, then you could have a buildup of histamines in the tissues,  
22 and that has been documented to cause similar symptoms, and so I  
23 totally agree, and it's important to know the history, and, of  
24 course, fishermen should be encouraged to use refrigeration at all  
25 steps of storage, and we want to test the ballyhoo and other fish  
26 that have been identified in this survey of the traditional  
27 ecological knowledge, using our mouse cell bioassay, which is the  
28 definitive test.

29  
30 It takes a long time, and we haven't tested those ballyhoo yet,  
31 but we intend to, and so I think he's right, the questioner, and  
32 I think ballyhoo may or may not -- Still the jury is out, but it  
33 is mentioned, and ciguatoxin often gets confused with food  
34 poisoning.

35  
36 **MIGUEL DEL POZO:** I just wanted to stress that those fish that  
37 tested positive from what we are calling a hotspot, those fish  
38 were a special request, and those are fish that, like Tony  
39 Blanchard was saying, that the fishers avoid. I had to place a  
40 special request for the fishers to bring those specimens back to  
41 shore, and so I agree that the fishers know the species that are  
42 and the places that are more prone to it, and they just don't  
43 commercialize them.

44  
45 **MARCUS HANKE:** Miguel Rolon, and then we have to finish the  
46 presentation.

47  
48 **MIGUEL ROLON:** Just to Miguel and Joe, thank you very much for the

1 presentation and the update. We will have the conference that Dr.  
2 Alida Ortiz mentioned, and so I hope that, between here and July  
3 20, you will have more information, and we will invite you to  
4 participate as speakers.

5  
6 At that conference -- We will have two. One is the status of the  
7 fisheries of the U.S. Caribbean, and the second part will be  
8 chemicals in the seafood, and the reason for that is that you have  
9 to be careful, and I am talking about the council members now,  
10 everybody that is in the room, that you don't go running like  
11 Chicken Little and saying the sky is falling because they found  
12 one fish with ciguatera.

13  
14 We did that already several years ago, and the entire west coast  
15 of Puerto Rico fishery was closed for months, and the reason for  
16 that is that there was a lot of misinformation and everything, but  
17 we also had the -- You already have that in your review, the marine  
18 fisheries review, that was published by us and National Marine  
19 Fisheries Service.

20  
21 At that time, we collected all the information regarding ciguatera,  
22 and we would like to do the same thing now, but about all the  
23 information that we have regarding food poisoning and histamine  
24 poisoning, scombrototoxin poison, and any other poison that you have  
25 around here, but we don't want to call it "poison". We call it  
26 "chemicals in the seafood".

27  
28 This is an open invitation, Miguel and colleagues, and I hope that  
29 you can make it. If you cannot make it in person, I am sure that  
30 we are going to have equipment like this, so that you can give a  
31 presentation, and, again, the week of the Monday the 20<sup>th</sup> through  
32 Friday, and that's when we are shooting for having this meeting,  
33 and I hope that you can attend.

34  
35 **MIGUEL DEL POZO:** Thank you, Miguel.

36  
37 **JOSEPH LUCZKOVICH:** I think we would like to go. I heard that  
38 earlier announced, and that's a great conference for us, and we  
39 should have many more fish tested by then, and so we should have  
40 a better handle on this, and we won't -- We're not going to try to  
41 make a big deal about this. We know ciguatera has been around for  
42 a long time, and it is a problem, however, but I think better  
43 surveillance is what we need and not hysteria about it.

44  
45 **MARCUS HANKE:** Well, thank you very much, and I would like to make  
46 a little space on the agenda for -- I would like to introduce  
47 participation from the Department of State. Deidre, if you can  
48 address the council, please.

1  
2 **DEPARTMENT OF STATE COMMENTS**  
3

4 **DEIDRE WARNER-KRAMER:** Thank you. I just wanted to take a few  
5 minutes before we wrapped up here, and I didn't have any formal  
6 presentations this time around, but I thought I would at least  
7 offer a few notes on some international things that are happening  
8 that might be of interest to the council in the coming year, and  
9 we'll find ways to make sure that we get you more details as they  
10 come forward.

11  
12 The first is related to WECAFC, and I know you got the report at  
13 the August meeting of the commission meeting in July, which was  
14 really constructive, and there's a lot of really interesting and  
15 exciting work happening in WECAFC now to really step up what it's  
16 doing to help coordinate on an advisory basis on a number of key  
17 issues, and, of course, the council is a key partner in a number  
18 of the working group meetings, including two that are happening  
19 next week, queen conch and spawning aggregations.

20  
21 One of the other things that is happening there is something that  
22 I reported to the council on last December, which is this  
23 reorientation process and the agreement of all the WECAFC members  
24 to start a process to look at how WECAFC might either evolve its  
25 whole self into being a regional fisheries management organization  
26 that can help develop binding conservation and management measures  
27 at an international level or at least have some part of its mission  
28 doing that.

29  
30 The work on that is about to get going, and I don't know if I was  
31 cursed or blessed to now be Chair of WECAFC, and so I'll be in  
32 charge of that, and the first step is going to be kind of a virtual  
33 correspondence process, where all of the WECAFC members, as well  
34 as a number of NGOs, several society organizations, stakeholder  
35 groups, will be invited to provide some information on good models  
36 that they have seen for multi-lateral fisheries management,  
37 whether it's existing regional fisheries management organizations,  
38 whether it's sub-regional bodies, like the Foreign Fisheries  
39 Agency in the Pacific, things like that.

40  
41 Certainly, from the U.S. perspective, we will be gathering up some  
42 input, and we definitely have heard the message loud and clear  
43 from the councils about the importance of making sure that the  
44 fisheries resources that the U.S. cares about from the wider  
45 Caribbean are covered somehow, and we know that the agreement that  
46 the members had was for sure we're talking about areas beyond  
47 national jurisdiction, on the high-seas, but there is also openness  
48 to having whatever this binding process would be to cover



1 straddling stocks and shared transboundary resources or the kind  
2 of coastal pelagics or highly-migratory stuff that ICCAT doesn't  
3 cover already.

4  
5 We'll be gathering up some information on that, but, also, we'll  
6 be looking to get some input from all of the U.S. stakeholders,  
7 including through the council, and so keep your eyes out for maybe  
8 a letter or something from me with some input on that.

9  
10 The other thing to flag is, every two years, the FAO Committee on  
11 Fisheries meets, and that meeting is -- It's a COFI year next year,  
12 and COFI will be meeting again in July, and, as always, we will  
13 take a representative of the councils on our delegation to that  
14 meeting. This year, Jessica McCawley from the South Atlantic  
15 Council will be the council representative, but there are going to  
16 be a whole lot of things under discussion at COFI that could be of  
17 interest.

18  
19 COFI is the body, of course, where all of the sort of global  
20 standards, sometimes even binding international agreements, are  
21 worked out, and a lot of that tends to then filter down, both into  
22 what we do on a regional and sub-regional and national basis, but  
23 the agenda is still being finalized.

24  
25 It's going to include things related to climate change, and  
26 especially fisheries adaptation and the effect of climate change  
27 on fisheries, and there is a full set of discussions underway about  
28 small-scale fisheries, and, in fact, next year is the International  
29 Year of Artisanal Fisheries and Aquaculture, and so there will be  
30 some special things really focusing on small-scale fisheries, as  
31 well as work related to IUU fishing issues, including potentially  
32 building stronger measures internationally on issues related to  
33 transshipment and access agreements and foreign vessels that are  
34 fishing in coastal countries waters.

35  
36 As that agenda comes together, which it should be finalized I think  
37 at the beginning of the year, we'll make sure that we share it  
38 with the council, so there's opportunity to get feedback.

39  
40 I don't expect myself to be able to be here at the April meeting,  
41 but I am hoping that one of my NOAA International Fisheries  
42 colleagues might be here, and that will be a great time to get  
43 some feedback on both of those issues, and so I'm happy to take  
44 any questions at this time, but mostly, like I said, I wanted to  
45 share that there is a number of big things happening at an  
46 international level next year, where for sure we're going to be  
47 very interested in making sure we get the right kind of input from  
48 everybody, and especially the Caribbean, where all these issues

1 are so inherently international. Thanks.

2  
3 **MARCOS HANKE:** Any questions? No? Well, I want to say thank you  
4 to Deidre for including the Caribbean, and we have been  
5 historically been involved with the Caribbean-wide movements and  
6 relationships with our neighbors, and you have been very effective  
7 and good to the Caribbean Council in using this platform to try to  
8 produce something positive to the region, and we really appreciate  
9 it, and thank you very much for everything you do for us and for  
10 the resource. We will go for a break now. Thank you very much.  
11 Ten minutes.

12  
13 (Whereupon, a brief recess was taken.)

14  
15 **MARCOS HANKE:** Let's take your seats and restart the meeting,  
16 please. We are going to go now to the Enforcement Issues. Puerto  
17 Rico DNER.

18  
19 **ENFORCEMENT ISSUES**  
20 **PUERTO RICO DNER**  
21

22 **DAMARIS DELGADO:** With regards to interventions of the Rangers,  
23 there have been no interventions from September to November.  
24 However, during this time, we have spent time coordinating  
25 workshops to Rangers, and you learned from Helena Antoun about  
26 efforts to provide workshops to them with regard to fishing  
27 regulations in a more permanent, continuing education mode.

28  
29 Besides that, our biologist, Grisel and Yamitza Rodriguez, who are  
30 here with this, they have been providing workshops to the Rangers  
31 with regard to highly migratory species. We received and we  
32 acknowledged that we have received some educational materials from  
33 NOAA about highly migratory species, and so we have been sharing  
34 this information with the Rangers, and we already have provided  
35 the workshops to the Rangers in the Saba area, which encompasses  
36 Saba, Humacao, Vieques, and Culebra.

37  
38 Also, they held a workshop in Arecibo, and another one in Ponce,  
39 and they will continue providing these workshops to the Rangers  
40 and providing the materials to them.

41  
42 Once those workshops are finalized, we will be sharing this  
43 information with the public and try to educate the people about  
44 what's going on with the highly migratory species subject, and so  
45 that's pretty much the information that I have, and Grisel and  
46 Yamitza are here, and, if you are interested, they could give you  
47 a little bit more information about the initiative with the  
48 workshops and the Rangers.

1  
2 They have provided, in the past, workshops to the Rangers regarding  
3 the identification of the species, fish species, and these things  
4 -- I know the fishers are very interested in strengthening the  
5 knowledge of the Rangers on certain things about fisheries, and we  
6 discussed this in our council meeting in St. Croix, and so we are  
7 working on that subject.

8  
9 **MARCOS HANKE:** Thank you, Damaris. The next item is USVI DPNR.

10  
11 **USVI DPNR**  
12

13 **JEAN-PIERRE ORIOLE:** Thank you, Mr. Chair, and so I'm going to speak  
14 just as an overview, and then I can turn it over, for any more  
15 specifics, to Director Forbes. As an overview, the U.S. Virgin  
16 Islands does continue to experience some capacity issues with  
17 respect to its enforcement branch. At this time, right now, we  
18 have a significantly low number of enforcement officers, and so  
19 we're limited primarily to doing the inspections of the individual  
20 fishers at the sale points themselves.

21  
22 We are working and strategizing ways to increase our capacity with  
23 respect to recruitment and bringing in additional officers, but,  
24 at this time right now, it has proven to be very difficult, and we  
25 have a number of people that are bypassing our enforcement agency  
26 for other enforcement agencies within the U.S. Virgin Islands,  
27 but, for the specifics on the fisheries right now, I will turn it  
28 over to Director Forbes to provide some information.

29  
30 **MARCOS HANKE:** Thank you.

31  
32 **HOWARD FORBES:** The Department of Planning and Natural Resources  
33 Division of Environmental Enforcement goal is to provide  
34 comprehensive territorial-wide boating education and safety  
35 education for both commercial and recreational fishers in the  
36 territory and a more effective law enforcement program, which  
37 allows us to better serve the Virgin Islands and its boating and  
38 fishing community.

39  
40 In following with these goals, the division has taken a series of  
41 steps this year. In December of 2018, the division hired an  
42 Environmental Outreach Coordinator, and the coordinator has  
43 provided to the division technical guidance and support for the  
44 development and enhancement of our outreach and education program  
45 throughout the Virgin Islands. The coordinator has also developed  
46 plans to expand cooperation with federal and state governmental  
47 agencies, non-profit groups, private businesses, and the residents  
48 of the U.S. Virgin Islands.

1  
2 In May of 2019, we implemented Project Safety. Project Safety is  
3 an initiative that the division, in partnership with the United  
4 States Coast Guard, has taken to assist all commercial and  
5 recreational fishers in the territory to become compliant with  
6 proper safety equipment on their vessels.

7  
8 The division will continue its daily patrols, but, at a minimum of  
9 once per quarter, an officer will perform a random extra check of  
10 all fish landed and all safety items on the vessel. If a vessel  
11 is found not in compliance, the division will allow the boaters  
12 twenty-four hours to become compliant.

13  
14 The Division of Environmental Enforcement has developed a social  
15 media page on the Facebook platform to bring public awareness to  
16 several different communities in the Virgin Islands, and some of  
17 these communities include the recreational and commercial boating  
18 communities, the fishing community, and the everyday residents of  
19 the Virgin Islands.

20  
21 The page shares information from several sources, such as the CFMC,  
22 DPNR, local and federal boating agencies, and from the NOAA  
23 Fisheries office. The page currently has 445 followers, with some  
24 post interaction with over 1,300 people in the territory. The  
25 division will expand their social media platform for Fiscal Year  
26 2020 to reach a wider audience and continue to spread the word of  
27 boating safety and fishing updates.

28  
29 Highlights from enforcement actions through the territory in this  
30 quarter, dockside fisheries inspections are fifty-nine, fishing  
31 gear inspections is eight, fishing license inspections is thirty,  
32 fishing license helper inspections is fifteen, written warning  
33 issued is twenty, and fishing citations issued is three.

34  
35 In summary, we are proud to say that, this year, the division has  
36 a bigger presence in the community, not only with our safety checks  
37 and Facebook page, but also with our safety events that occurred  
38 in May in both St. Croix and St. Thomas, with partnership with the  
39 United States Coast Guard, the Virgin Islands Police Department,  
40 and other divisions of the department.

41  
42 The division will continue to increase its outreach and education,  
43 not only to the boating community, but also to the fishing  
44 community. This concludes my quarterly report for the U.S. Virgin  
45 Islands.

46  
47 **MARCOS HANKE:** Thank you, Howard. Now we have -- If there is no  
48 questions, we have the U.S. Coast Guard Report and Montes.

1  
2 **U.S. COAST GUARD**  
3

4 **JEREMY MONTES:** Good afternoon. I have got a report that  
5 encompasses the months of October and November. During those two  
6 months, fifteen boardings were noted in the U.S. Caribbean waters,  
7 which is a drastic increase, which is more than likely just data  
8 reporting and understanding better what the folks are doing out  
9 there, but there's been an increased amount of effort to conduct  
10 boardings at-sea.  
11

12 Two notable violations were found during that timeframe. The first  
13 was in the month of October, and one of our cutters detected a  
14 recreational vessel that was both anchored and fishing within the  
15 Hind Bank Marine Conservation Area, and they were boarded, and, in  
16 the process of boarding, the operator of the vessel overtly cut  
17 his line, to make it look like he wasn't actually fishing, and he  
18 tried to hide his actions.  
19

20 Unfortunately, with this case, I don't think the cutter's crew  
21 that was going to go check him out was expecting this to be a  
22 fisheries violation case, and so they weren't able to collect  
23 enough evidence and documentation for the case to pursue penalties  
24 on the person, but it was something that was noted, and then I  
25 responded to leadership down here by reminding them what the  
26 requirements are for preparation for missions and what the case  
27 documentation looks like, and also that they need to be patrolling  
28 here more frequently, because, if a guy in broad daylight is  
29 anchored and fishing, the two prohibitions inside of the  
30 conservation area, obviously there is probably a history of  
31 violations, and so we'll continue to patrol Hind Bank and the other  
32 closed areas in the region.  
33

34 The second case is off of Puerto Rico. Another one of our cutters  
35 boarded another recreational vessel that was found with out-of-  
36 season and closed reef fish, and, also, it had exceeded the bag  
37 limit, the aggregate limit, for their catch, and so they had both  
38 illegal and too much catch onboard, and they were cited for that,  
39 and, luckily, in that case, they were able to have enough case  
40 documentation that we'll be pushing the case package up to NOAA  
41 here in the very near future to take care of.  
42

43 On the training front, I am looking forward to working with DNER  
44 and making sure that, with the Ranger training, that we participate  
45 in that as well, and, also, I wanted to go on the record with  
46 thanking Marcos and the rest of the members that assisted with the  
47 recent Coast Guard training that we held for specifically the  
48 species identification and being able to have something to touch

1 and smell for the folks out there, and so thank you. That concludes  
2 my report.

3  
4 **MARCOS HANKE:** Thank you very much, and this council has a vision  
5 that this is our responsibility to support you guys on the job  
6 that you guys do. Thank you. We have the next item is National  
7 Marine Fisheries Service/NOAA Enforcement Report.

8  
9 **NMFS/NOAA**

10  
11 **MANNY ANTONARAS:** Good afternoon, everybody. My name is Manny  
12 Antonaras from the NOAA Office of Law Enforcement, and present as  
13 well is Miguel Borges, Special Agent for Puerto Rico and the USVI.  
14 I've got a brief update for the council, to include a couple of  
15 enforcement actions that were issued during this quarter, as well  
16 as some training and outreach events that were conducted.

17  
18 Before we go on to the enforcement actions, I wanted to provide an  
19 update on staffing. During the past I think three meetings, we've  
20 talked about staffing, and it's come up quite a bit with the  
21 Caribbean Council since Special Agent Lynn Rios retired, and, as  
22 you already know, Miguel Borges has been active in Puerto Rico and  
23 the USVI, and he's pretty much complete with all his training, and  
24 he is now working in AOR.

25  
26 As of the last meeting, we had several vacancies that we were in  
27 the process of filling in the Southeast Division, which include  
28 officer positions for Charleston, South Carolina, and so, in  
29 Charleston, we hired an officer who has already reported, and we  
30 have a vacancy in Cape Canaveral, Florida. For that position, a  
31 selection has been made, and it's working its way through the HR  
32 process.

33  
34 In St. Petersburg, Florida, we also had an enforcement officer  
35 vacancy, which has since been filled, and Miami has also been  
36 selected, and that position is also pending, and the big news for  
37 the council is that the St. Thomas position, as of last meeting,  
38 was still vacant, and it currently is, but we've made a selection  
39 for the St. Thomas enforcement officer, and that name is also  
40 working its way through the HR process.

41  
42 I don't have a timeline on when they will report, and so, as of  
43 right now, we're waiting on a tentative job offer to be issued  
44 from HR, and, if and when that candidate accepts that offer, they  
45 will begin their field training.

46  
47 Then, as far as the Caribbean goes, we have one special agent, and  
48 we previously had two officers that were slated for Puerto Rico,

1 and one of those two officers was moved to St. Thomas, and so the  
2 remaining officer will be filled in Puerto Rico during the next  
3 round of hires, when funding becomes available.

4  
5 As far as case updates for Puerto Rico and the USVI, during this  
6 quarter, the agent in Puerto Rico, Special Agent Borges, along  
7 with Coast Guard, conducted an LMR training, and that was in San  
8 Juan, and it was a four-day training, and it was put on by SRFTC,  
9 the South Atlantic Fisheries Training Center, and Special Agent  
10 Borges was present as well, and he provided training on case  
11 package preparation and an overview of NOAA regulations, and he  
12 talked a little bit about fishing trends in the area.

13  
14 We had an enforcement officer that was detailed out here for a  
15 couple of weeks, and, during that time, he and Special Agent Borges  
16 conducted a joint patrol with CBP Air and Marine on the west coast  
17 of Puerto Rico. During that patrol, they made two stops on  
18 commercial vessels, fishing near the Bajo de Sico area, and there  
19 was no violations detected, although they did use the opportunity  
20 for outreach and education.

21  
22 Again, during this detail, the officer and agent did a joint patrol  
23 in St. Thomas, with CBP Air and Marine, and no violations were  
24 detected during that patrol. However, they did meet with the U.S.  
25 Parks Service Ranger, Chief Ranger, and, during that time, they  
26 discussed some opportunities for collaborative efforts in the  
27 future for St. Thomas and St. John.

28  
29 We had a couple of cases this quarter that were concluded, and one  
30 of them was -- Both were actually referrals from the U.S. Coast  
31 Guard. The first one here I will talk about was an interdiction  
32 made by the Coast Guard in Bajo de Sico, and Special Agent Borges  
33 was assigned that case, and, upon completion, issued an enforcement  
34 action to the operator in that case.

35  
36 The second case was an older case that was finalized during this  
37 quarter, another closed area, and you can see there -- I believe  
38 the boarding occurred less than half-a-mile inside the closed area,  
39 and, in that case, it was also reviewed, and OLE issued an action  
40 for that case as well.

41  
42 Just a couple more updates here. Many of you have probably seen,  
43 on social media, that there was a turtle that was washed up on the  
44 beach with a cinderblock tied to it. That case was referred to  
45 our office, and it's still open. It's an open investigation.

46  
47 We did have our officer and agent, along with CBP, conduct an  
48 import exam on shipping containers. After completion of that,

1 there was no violations detected, but I believe it was three  
2 containers that they examined. Then there were a couple, more  
3 than a couple, HMS trainings that were provided to DNER officers  
4 during this quarter, and those were done in conjunction with  
5 Special Agent Borges and DNER Biologists Yamitza and Grisel, and  
6 I want to thank you for your participation in that. I understand  
7 those were very well received.

8  
9 The first one was in November, in Arecibo, and the second one was  
10 in December, in the Ponce Field Office, and it's my understanding  
11 that there is a third planned for next week, in Aguadilla. There  
12 are additional trainings scheduled for the southwest areas of  
13 Puerto Rico, and, at this time, they are focusing on HMS  
14 regulations. It's my understanding that they are going to expand  
15 the scope of those trainings in the future, to cover other species  
16 of fish.

17  
18 The last thing I have here is just a slide on our violation hotline  
19 that we've had for several years, but, just as a reminder, if there  
20 are any folks that would like to report violations, you can  
21 continue to do so via the local agent. You can contact Miguel,  
22 either on a break, or, if you want to ask him for his email address,  
23 or you can always contact the NOAA Enforcement hotline, and it's  
24 a toll-free number, and it's 24/7, and it's a call center that  
25 takes the complaint, and, once it's received, it's essentially  
26 dispatched to the local agent or officer, and that's a toll-free  
27 number, and it's (800)853-1964. That concludes the presentation,  
28 if there are any questions.

29  
30 **MARCOS HANKE:** Any questions? Thank you for your report. Do we  
31 have another MREP meeting?

32  
33 **GRACIELA GARCIA-MOLINER:** Actually, in terms of time, Vanessa is  
34 going to give you the report.

#### 35 36 **MREP MEETING**

37  
38 **VANESSA RAMIREZ:** Thank you all for being here. I am going to  
39 present the MREP Puerto Rico. The last one was in August, just  
40 after our meeting in St. Croix, and so most of us that were there  
41 had to run from St. Croix to La Parguera, and it was a great  
42 experience, and, practically, I am going to give a summary of the  
43 MREP.

44  
45 This is the new steering committee, and we just had the meeting  
46 this Monday on Ponce Plaza, and we are part of the last committee,  
47 and we have new members, also. This was the group that  
48 participated in August.



1  
2 For the MREP, it was a very special group, first, because it's the  
3 first time that MREP has a lot of applications, and, this time,  
4 they had eighty-eight applications, and so thanks also to Wilson  
5 and Christina that made a big effort in giving the promotion of  
6 the event and going up behind the fishermen and asking them and  
7 helping them also to complete the application by the internet.

8  
9 In there also, we can see that we have, for the first time, five  
10 generations of fishermen, and so it's very, very difficult to get  
11 together, since people that have been fishing before the last --  
12 So people that started fishing at sixty, or sixty-five, and then  
13 we have the new generation of fishermen that are active right now  
14 and the next one, and so they are practically recreational now,  
15 teenagers, from thirteen and fourteen and fifteen years, and then  
16 they are going to be the next generation of the recreational and  
17 commercial fishermen.

18  
19 This is part of the workshop that we made. As you see, the guy  
20 with the blue shirt, that's Miguel, and he's going to be the next  
21 chairman of the council, and, in that part, we were just making  
22 them part of the things that we do in here, and so it's practically  
23 -- There were someone presenting, and Miguel was just with our  
24 chairman, but he was doing the paper, just to be able to see how  
25 we feel when we are in here, and the good thing is, the first day,  
26 Miguel didn't even talk. He was shy, and he didn't talk. The  
27 last day, he took the table and said he was the chairman.

28  
29 Also, it's very important that we continue supporting this kind of  
30 workshop, because, as I say, the fishermen during the time -- We  
31 know that, for a long time, we lost that communication between  
32 fishermen and agencies, and this kind of workshop practically gives  
33 us the opportunity to start again that communication, and I think  
34 it's the first time that I go to a meeting where they don't fight  
35 together.

36  
37 We have recreational, and we have the agencies, and we have  
38 enforcement, and we have commercial fishermen, and they were all  
39 together just explaining the experience and talking with each one  
40 and being friends from different sides of Puerto Rico, and so it's  
41 a really great experience.

42  
43 For the next thing that we have, we want to, in 2020, make also  
44 the next one, and it's going to be in August, and we are planning  
45 to make one also for St. Croix and St. Thomas, and that's in the  
46 plan, and we still are working on the dates. From what they say,  
47 it's going to be probably May in St. Croix and St. Thomas, and, if  
48 it's not possible for May, then we want to bring some people from

1 St. Croix and St. Thomas to the August MREP and then plan one for  
2 2021 for the islands, also.

3  
4 **GRACIELA GARCIA-MOLINER:** We also had the opportunity of having a  
5 number of students that came onboard for the MREP, and so a lot of  
6 networking was done between the students who need a project for  
7 their master's or PhD thesis and the fishers that were at the  
8 meeting. We had quite a number of new faces that came onboard, a  
9 lot of divers that were participating, and so that connection, in  
10 terms of capacity building, was worthwhile during that meeting.

11  
12 **VANESSA RAMIREZ:** Yes, and there is another one, and the last one  
13 was the practice that they made at the lab, the first day, and,  
14 for the fishermen, practically, this was the number-one activity  
15 that they liked. Because they are always fishing, they know the  
16 fish, and they know that they need to tell the numbers, the  
17 statistics, and that sometimes we are asking for samples, but they  
18 never know what it's for, and so, when they go to the lab, and  
19 thanks to Noemi and all the students that were there and practiced  
20 with them, and they have this experience from the other side of  
21 the story.

22  
23 After that, most of them, especially the commercial fishermen that  
24 always are like I don't want to support that, or I don't want to  
25 give samples, now they are just asking what do you need, and now  
26 we are coordinating with the University of South Carolina also,  
27 and with the DNRA, to start working with that.

28  
29 Also, from that MREP, we have five people that want to be part of  
30 the DAP and want to continue their education process, to in a  
31 couple of years be here as council members, or part of the council.  
32 Thank you.

33  
34 **MARCOS HANKE:** Thank you for your report, and I want to mention  
35 that the leadership that Vanessa brings to the table between the  
36 fishermen and the group is excellent, and, as well, Miguel Cedeño  
37 and all the participants.

38  
39 It's truly an event, to see how you have adverse groups that you  
40 think will not get along, like you said, and they're leaving the  
41 room with one voice and creating bridges and friendships and common  
42 ground. Thank you very much, Vanessa, and thank you to everybody  
43 that worked on MREP.

44  
45 We are now on Other Business, and we didn't have anything for that,  
46 but we have the Public Comment. Is there anybody in the public  
47 that would like to make a comment? Hearing nobody on the public  
48 that wants to make a comment, Miguel.

1  
2  
3  
4       **NEXT MEETINGS**

5       **MIGUEL ROLON:**   Thank you, Mr. Chairman.   For the 2020, the  
6 tentative dates for the next meetings, we will have an April 28  
7 and 29, we have August 11 and 12, and we have December of 2020, 8  
8 and 9.

9       Remember that, in between, we will have meetings of the DAPs and  
10 the Outreach and Education -- All the panels and committees that  
11 we have, and we also have a meeting, a meeting that Graciela and  
12 Dr. Alida Ortiz mentioned, the one in July, the week of the 20<sup>th</sup>,  
13 and we are going to include all the DAP Chairs and all the council  
14 members in that meeting, and you will be participating with members  
15 of the public, or we will be required to have representation from  
16 any of you, because those two days, the first two days, 20 and 21,  
17 will be for the status of the U.S. Caribbean fisheries.

18  
19       What we are going to do is to copy the agenda that was put together  
20 a long time ago and incorporate the new developments of the U.S.  
21 Caribbean, and certainly, between that date and this date, there  
22 is a lot that happened, and, during those times, we didn't have  
23 fishermen sitting around the table, and now we have Julian, and we  
24 have Nelson and Toby and Eddie Schuster that are the links between  
25 the fisher groups and the council.

26  
27       In addition, we have members of the scientific community attending  
28 council meetings and participating more and more, and so we want  
29 to update all of that during those two days, and, following those  
30 two days, we will have also the 20, 21, 22, and 23, the meeting  
31 about chemistry of seafood, and, there, we would like to have  
32 participation of the council members.

33  
34       We have a steering committee, and the steering committee is  
35 Graciela, Alida, and myself. We are the core, but we would like  
36 to have the DAP Chairs attending, and there is a lot that we want  
37 to ask you, and the Chairman of the SSC, and so that will be in  
38 February some time, and we will let you know. In January, we will  
39 send a note. Alida and Graciela and I will send you a note with  
40 a tentative agenda.

41  
42       Remember that these meetings are subject to the availability of  
43 especially Dr. Roy Crabtree. He has to attend two other council  
44 meetings, plus a bunch of other stuff, and so, tentatively, the  
45 April meeting probably could change.

46  
47       The one in April could be in San Juan, and, actually, Tony and I  
48 were talking about maybe seeing if we can have it in St. Thomas,

1 and the reason for that is that high season in St. Croix is -- The  
2 hotel is \$300 to \$400 per day, and so we will have it in Puerto  
3 Rico, and the one in August we will have it tentatively in St.  
4 Croix, and the one in St. Thomas probably could change, and so the  
5 next one in April will be in Puerto Rico, followed by the one in  
6 August in St. Croix. The July 2020 whatever meetings will happen  
7 in San Juan, Puerto Rico.

8  
9 **MARCOS HANKE:** Julian wants to make a comment, but go ahead.

10  
11 **MIGUEL ROLON:** In August, we were talking the 11<sup>th</sup> and 12<sup>th</sup>.

12  
13 **MARCOS HANKE:** Go ahead, Julian.

14  
15 **JULIAN MAGRAS:** Just for a little note, Miguel, the April 28 and  
16 29, that's the week of the St. Thomas carnival.

17  
18 **MIGUEL ROLON:** Yes, I know, but we are not going to meet there.

19  
20 **JULIAN MAGRAS:** I know, but --

21  
22 **MIGUEL ROLON:** Did you want to go to the carnival?

23  
24 **JULIAN MAGRAS:** No, but that's when the fishers work the hardest,  
25 and so I'm just putting it out there, and not only that, but  
26 government officials and everybody participate in that time, and  
27 so it's just my comment, and I'm just putting it out there.

28  
29 **MIGUEL ROLON:** No, but that's a valid comment, because we did that  
30 one time, and we even had a meeting on Good Friday, and they called  
31 us all kinds of names, and so the other week that we have available  
32 is the 20<sup>th</sup> to the 24<sup>th</sup>. Roy, is that week good for you so far,  
33 April 20<sup>th</sup> to 24<sup>th</sup>?

34  
35 **ROY CRABTREE:** (Dr. Crabtree's comment is not audible on the  
36 recording.)

37  
38 **JOHN-PIERRE ORIOLE:** Miguel, just to piggyback on what Julian was  
39 saying, the other thing that we have to realize is that, on the  
40 St. Thomas side, the limited availability of rooms, and so, if you  
41 come during carnival week, you would have to be basically calling  
42 those hotels that are open like now, to try and block in any kind  
43 of room block.

44  
45 **MIGUEL ROLON:** In the case of St. Thomas, we don't have a place  
46 for a meeting, unless -- We discussed that we would find some  
47 place, but, if we have the meeting on St. Thomas, that will be the  
48 December of 2020, and so, by that time, if the hotel opens, we

1 will meet there, but, if not Diana and I can go and scout and knock  
2 on the doors of everybody and see if we can secure a place that  
3 can accommodate a council meeting.

4  
5 That place has to be also suitable for internet and reachable by  
6 fishers and the general public, and so probably Julian and Ruth  
7 and your office can help us secure that place, and, yes, you're  
8 right. If we want to meet in St. Thomas, we have to start making  
9 the reservations by January, and they do not accept reservations  
10 more than twelve months in advance, but, in January, we will start  
11 knocking on doors and asking people to have the meeting there, and  
12 so can we say, Mr. Chairman, that the meeting in April will be the  
13 21<sup>st</sup> to the 22<sup>nd</sup>?

14  
15 **MARCOS HANKE:** Yes. It will be the 21<sup>st</sup> to the 22<sup>nd</sup> of April of  
16 2020.

17  
18 **MIGUEL ROLON:** That will be in Puerto Rico.

19  
20 **MARCOS HANKE:** Yes, in Puerto Rico.

21  
22 **DAMARIS DELGADO:** That is the Earth Day Week.

23  
24 **MIGUEL ROLON:** Bring a tree, and we can plant it.

25  
26 **DAMARIS DELGADO:** At DNER, we always celebrate -- We do activities  
27 during that week.

28  
29 **MARCOS HANKE:** Tony, last word.

30  
31 **TONY IAROCCHI:** Thank you. Vanessa, I really appreciate you  
32 stepping up to this MREP thing, and I just want to thank and  
33 applaud the efforts of Alexa Dayton, who is no longer with MREP,  
34 and she was the one who we reached out to years ago, when she was  
35 up in Maine, to try to get that whole thing down here, and it was  
36 her who brought this here and worked tirelessly to bring this  
37 together and everything, and I just want to reach out to her and  
38 tell her the council and the fishermen really -- It really helped  
39 us, and she did a great job, and we thank you.

40  
41 **MARCOS HANKE:** Just a follow-up on that. I want to remind everybody  
42 that Helena Antoun was instrumental in the first MREPs, and she  
43 started the fire, and I want to say thank you to Helena for that,  
44 too. I don't think we have anything else, and I just want to say  
45 thank you to everybody, and we had a very long agenda, and thank  
46 you for allowing me to cut you off and make the business as sharp  
47 as possible, and thank you for the very fruitful discussion, and  
48 thank you to all. Have safe travels and everybody welcome to

1 Puerto Rico.  
2  
3 **MIGUEL ROLON:** And Merry Christmas.  
4  
5 **MARCOS HANKE:** Merry Christmas to all. Happy Holidays. Feliz  
6 Navidad.  
7  
8 (Whereupon, the meeting adjourned on December 11, 2019.)  
9  
10 - - -