

Table of Content

1	Table of Motions.....	3
2	Call to Order and Roll Call.....	4
3	Adoption of Agenda.....	5
4	Consideration of 176th and 177th Council Meetings Verbatim	
5	Transcriptions.....	6
6	Executive Director’s Report.....	6
7	Outcomes of the Moored FADs Working Group Meeting–Rachel O’Malley... 14	
8	Questions/Comments.....	16
9	IBFMP and Amendments Update.....	22
10	Spiny Lobster OFL/ABC Update and Council’s Request to NOAA Fisheries 23	
11	Questions/Comments.....	25
12	Gear Amendment: Modification to Buoy Gear Status Update.....	26
13	Questions/Comments.....	27
14	Potential Actions for IBFMP Amendments–Trawling and Other Net Gear and	
15	Options Paper.....	40
16	Questions/Comments.....	49
17	Pelagic Species Management Measures–White Paper.....	60
18	Questions/Comments.....	64
19	EBFM TAP Report–Sennai Habtes, Chair.....	80
20	Questions/Comments.....	85
21	Scientific and Statistical Committee Report–Richard Appeldoorn.....	86
22	Questions/Comments.....	96
23	Southeast Fisheries Science Center Updates–Kevin McCarthy.....	98
24	Questions/Comments.....	106
25	District Advisory Panel Chairs Report on March 2022 Meetings.....	107
26	St. Thomas/St. John–Julian Magras, Chair.....	107
27	St. Croix–Edward Schuster, Chair.....	110
28	Puerto Rico–Nelson Crespo, Chair.....	111
29	Questions/Comments.....	113
30	Identifying Critical Habitats of Juvenile Nassau Grouper in Puerto	
31	Rico–Evan Touhy.....	117
32	Questions/Comments.....	126
33	Understanding Essential Fish Habitat of Queen and Cardinal Snappers	
34	and Associated Fish Communities of the Deep-Water Snapper Fishery:	
35	From Fishers’ Knowledge to Scientific Language–Jorge García-Sais... 133	
36	Questions/Comments.....	148

1	Squid fishing: New Opportunities in Deep Sea Fishing—Jannette Ramos-	
2	García.....	155
3	Characterization of Prey Diversity of the Commercially-Important Queen	
4	Snapper— Stacey Williams/Diana Beltrán.....	158
5	Questions/Comments.....	171
6	Microplastics in the Caribbean Study—Dalila Aldana.....	174
7	Questions/Comments.....	183
8	Recreational Fisheries Summit— Marcos Hanke/Carlos Farchette.....	185
9	Questions/Comments.....	186
10	Dolphin Fish Studies on FADs—Wessley Merten.....	187
11	Questions/Comments.....	199
12	Outreach and Education Report— Alida Ortiz.....	203
13	Questions/Comments.....	207
14	Social Media Report—Cristina Olán.....	208
15	Questions/Comments.....	210
16	Liaison Officers Reports.....	211
17	St. Thomas/St. John—Nicole Greaux.....	211
18	Puerto Rico—Wilson Santiago.....	212
19	Questions/Comments.....	215
20	Fisher-Scientist Concepts—Marcos Hanke.....	216
21	Questions/Comments.....	227
22	Enforcement Reports.....	233
23	Puerto Rico—DNER.....	233
24	Questions/Comments.....	234
25	NOAA Fisheries Office of Law Enforcement.....	235
26	Questions/Comments.....	239
27	Other Business.....	244
28	Public Comments.....	248
29		

Table of Motions

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

PAGE 28: Motion to request the staff to develop a scoping white paper to amend the Saint Croix Fishery Management Plan to determine if it is feasible to allow persons to fish for and possess certain highly migratory and pelagic species from the red hind spawning aggregation seasonally closed area of Saint Croix. The closed area is defined in the current regulation at 50 CFR 622.435(a)(2)(ii)(A). This area includes portions of Lang Bank. The motion carried on page 37.

PAGE 57: Motion to request staff to move forward with the preparation of an amendment to each of the island-based FMPs to address trawl and net gear as discussed in the options paper presented at the April 2022 CFMC meeting. The motion carried on page 57.

1 **CARIBBEAN FISHERY MANAGEMENT COUNCIL**
2 **178TH REGULAR COUNCIL MEETING**
3 **COURTYARD MARRIOTT**
4 **ISLA VERDE, PUERTO RICO**

5
6 APRIL 19-20, 2023
7

8 The Caribbean Fishery Management Council convened on Tuesday
9 morning, April 19, 2022, and was called to order at 8:15 a.m. by
10 Chairman Marcos Hanke.

11
12 **Call to Order and Roll Call**
13

14 **MARCOS HANKE:** On today, April 19. We are going to start the
15 meeting. It's 9:13 am. This is the 178th CFMC meeting. We are in
16 Puerto Rico. We're going to start by opening this meeting and roll
17 call is going to start from Cristina's side. My left.

18
19 **CRISTINA OLÁN MARTÍNEZ:** Good morning. Cristina Olán, Council
20 Staff.

21
22 **LIAJAY RIVERA GARCÍA:** Buenos días. Liajay Rivera, Council Staff.

23
24 **GRACIELA GARCÍA-MOLINER:** Graciela García-Moliner, Council Staff.

25
26 **MARÍA LÓPEZ-MERCER:** María López, NOAA Fisheries.

27
28 **CARLOS FARCHETTE:** Carlos Farchette, Council Member.

29
30 **JEAN-PIERRE L. ORIOL:** Good morning. Jean-Pierre Oriol, Council
31 member.

32
33 **LOUIS ANTHONY BLANCHARD:** Good morning. Tony Blanchard, Vice Chair.

34
35 **MARCOS HANKE:** Good morning. Marcos Hanke, Chair.

36
37 **MIGUEL A. ROLÓN:** Miguel Rolón, Council Staff.

38
39 **DIANA T. MARTINO:** Diana Martino, Council Staff.

40
41 **ANDREW STRELCHECK:** Good morning. Andy Strelcheck, NOAA Fisheries,
42 Southeast Regional Office.

43
44 **JOCELYN D'AMBROSIO:** Good morning. Jocelyn D'Ambrosio, NOAA Office
45 of General Counsel.

46
47 **KEVIN MCCARTHY:** Good morning. Kevin McCarthy, Southeast Fisheries
48 Science Center.

1
2 **NELSON CRESPO:** Good morning, everyone. Nelson Crespo, DAP Chair
3 of Puerto Rico.
4
5 **JULIAN MAGRAS:** Morning, everyone. Julian Magras, DAP Chair Saint
6 Thomas/Saint John.
7
8 **RICHARD APPELDOORN:** Good morning, Rich Appeldoorn, SSC Chair.
9
10 **HOWARD FORBES:** Good morning. Howard Forbes, DPNR Enforcement.
11
12 **MANNY ANTONARAS:** Morning. Manny Antonaras, NOAA Office of law
13 enforcement.
14
15 **WILSON SANTIAGO:** Wilson Santiago, Puerto Rico Fisheries Liaison.
16
17 **ORIAN TZADIK:** Orian Tzadik, PEW Charitable Trust.
18
19 **IRIS N. OLIVERAS:** Iris Oliveras, Council Staff.
20
21 **MARÍA DE LOS A. IRIZARRY:** Good morning. María Irizarry, Council
22 Staff.
23
24 **MARCOS HANKE:** Now the online people. Cristina, can you help me
25 out? Liajay.
26
27 **LIAJAY RIVERA GARCÍA:** Okay. Online we have Aida Ortiz Sotomayor,
28 Chelsea and Evan Tuohy, Edward Schuster, Gabriel J. Pecunia Malave,
29 Helena Antoun, Jack McGovern, Jesús Rivera Hernández, John Walter,
30 Julio Cotto, Laura Cimo, Nicole Greaux, Loren Remsberg, Maria
31 Angeli Leon, Martha Prada, Michelle Duval, Michelle Schärer,
32 Rachel Eckley, Rachel O'Malley, Sarah Stephenson, Stephanie
33 Martínez Rivera, Vanessa Ramírez, and Wessley Merten.

34
35 That is all on the list.
36

37 **Adoption of Agenda**

38
39 **MARCOS HANKE:** Thank you, Liajay. We are going to go now for the
40 adoption of the agenda. Any Council member can help me out on this.
41 Adoption of the agenda.
42

43 **CARLOS FARCHETTE:** Yes. Carlos Farchette, move to adopt the agenda
44 as written.
45

46 **LOUIS ANTHONY BLANCHARD:** Second.
47

48 **MARCOS HANKE:** Any comment? Any opposition? Everybody in agreement?

1 Yes. Everybody in favor say aye.

2

3 **GROUP:** Aye.

4

5 **Consideration of 176th and 177th Council Meetings Verbatim**
6 **Transcriptions**

7

8 **MARCOS HANKE:** Thank you. Consideration of the 176TH and 177TH
9 Council meeting verbatim.

10

11 **CARLOS FARCHETTE:** Motion to accept the 176th and 177th verbatim
12 transcripts as written.

13

14 **LOUIS ANTHONY BLANCHARD:** Second.

15

16 **MARCOS HANKE:** All in favor say aye.

17

18 **GROUP:** Aye.

19

20 **MARCOS HANKE:** Thank you. Before the Executive Director report, I
21 want to request everybody to speak loud and close to the mic in
22 order for the participants, virtual participants, to hear as well
23 and for the recording.

24

25 And also, the meeting will end sharp at 12 because you have lunch
26 for the people that are present because we need to be there sharp
27 at 12:00 pm. Miguel, Executive report.

28

29 **Executive Director's Report**

30

31 **MIGUEL A. ROLÓN:** Thank you, Mr. Chairman. The first thing I would
32 like to do is to read a letter from the record that we received,
33 and-- Se oye ahora. Mira a ver. How about now? Okay. Sorry for
34 that.

35

36 Diana will read a letter for the record that was sent to us by the
37 Office of International Fisheries Affairs, and we would like to
38 include it-- no se está grabando. Si, el problema es la mascarilla.
39 Okay. Hello.

40

41 So, Diana will read the letter for the record. Okay.

42

43 **DIANA T. MARTINO:** Okay. Dear Mr. Rolón, I am writing to express
44 appreciation for the Council support for the work of the Western
45 Central Atlantic Fisheries Commission WECAFC, the advisory
46 regional fisheries body responsible for promoting the effective
47 conservation management and development of living marine resources
48 in the wider Caribbean.

1
2 At the 17th session of WECAFC, held in July 2019 with the Caribbean
3 Council's support and guidance, the United States successfully
4 proposed to expand the mandate of WECAFC's joint working group on
5 flying fish in the Eastern Caribbean to incorporate dolphin fish
6 and other pelagic species not managed by the International
7 Commission for the Conservation of Atlantic Tunas.

8
9 The dolphin fish stock is of great importance to the United States.
10 Supporting active commercial and recreational fisheries throughout
11 the Southeastern United States and wider Caribbean. As you are
12 well aware ongoing U.S. efforts to ensure the long-term
13 sustainability of this important stock will only be realized
14 through a meaningful collaboration with other nations that are
15 effectively fishing in this shared stock.

16
17 Under this wider mandate, the working group will continue to
18 function in a technical and advisory capacity. This provides a
19 platform for the United States to share its best available science
20 and advance the interest of the U.S. fishermen in the sustainable
21 fishery. Your active engagement on the part of the Council will be
22 critical to the working group's success.

23
24 Furthermore, I wish to acknowledge the valuable contributions of
25 the Council in support of the WECAFC's Joint working Group on queen
26 conch and the organization's joint working group of spawning
27 aggregations. The Council has supported the development of fishery
28 management plans, training modules for assessment and management
29 and communication and outreach tools to better manage these fishery
30 resources of high economic and social value in the WECAFC
31 convention area. I also wish to thank the Council for regularly
32 hosting meetings of these subsidiary bodies to help monitor and
33 advance progress.

34
35 In closing, I commend the Council for its leadership and
36 partnership in the work of WECAFC, and I look forward to continuing
37 our strong collaboration in the future. Sincerely, Rogers
38 Christop.

39
40 That's it.

41
42 **MARCOS HANKE:** Thank you, Diana. As part of the executive report.
43 Miguel.

44
45 **MIGUEL A. ROLÓN:** Okay. I would like to take this opportunity to
46 do something that I should have done a long time ago. Sometimes
47 it's emotional, but anyway, bear with me. Somebody asked me one
48 day whether I have a right hand at the office. Well, I feel like

1 an octopus because I have many right hands. Today I want to
2 recognize three of them.
3
4 Boy, they going to kill me for this, but anyway. The first one is
5 Iris Oliveras. Iris, will you please come over here? She didn't
6 know. I told her that she was going to be here to tell people to
7 use their face mask and just put a leg to them so they can fall if
8 they don't have it.
9
10 **IRIS N. OLIVERAS:** Oh my God.
11
12 **MIGUEL A. ROLÓN:** Well, Iris has been with us for a long time.
13
14 **IRIS N. OLIVERAS:** 25 years.
15
16 **MIGUEL A. ROLÓN:** 25 years.
17
18 **IRIS N. OLIVERAS:** This week.
19
20 **MIGUEL A. ROLÓN:** And the voice that most of you heard when we
21 were before the pandemic. "Hello. Good morning. This is the
22 Caribbean Council." It was Iris. For that we are really
23 appreciative of your effort. I appreciate all your work, your
24 friendship. This is a reef in a bottle that [inaudible] for us.
25 Today we want to honor you with the reef in the bottle.
26
27 **IRIS N. OLIVERAS:** Thank you. You got me surprised. You surprised
28 me.
29
30 **MIGUEL A. ROLÓN:** Well, that's the point.
31
32 **IRIS N. OLIVERAS:** This is beautiful. Even though it has been--
33 Thank you, Miguel and everybody that was involved with this. Very
34 pleased in remembering that this week it was my 25th work
35 anniversary. It was like "really, that long. Oh, 25 years?" And
36 then I started counting back my age when I came to the accounting,
37 I said, okay. Okay. No, don't say it. No. No, I won't say anything.
38 It has been beautiful days, rough days, and a lot of challenges.
39 Not for me only, but for the rest of the Council, but everything
40 became the way that it was supposed to be when we had some steps
41 that, or things that happened, not, not necessarily inside the
42 Councils, but everything was completed, accomplished and I'm very,
43 very proud of being part of the Council. It is in my memory, the-
44 - It was meant to be, even though a lot of things happened with
45 the pandemic and everything, whatever. I was supposed to be there,
46 and I'm glad I am still there, and I'll be there for anybody that
47 need anything, I'll be there. Just let me know. Just let Miguel
48 know and we'll do our best to help on anything that we can.

1
2 **MIGUEL A. ROLÓN:** Thank you very much.
3
4 **IRIS N. OLIVERAS:** Thank you. Thank you.
5
6 **MIGUEL A. ROLÓN:** The second one.
7
8 **IRIS N. OLIVERAS:** Sorry, sorry.
9
10 **MIGUEL A. ROLÓN:** The picture?
11
12 **IRIS N. OLIVERAS:** Yeah, the picture.
13
14 **MIGUEL A. ROLÓN:** Good. The second one has a face that whenever
15 I'm about to make a mistake with the bunny, she looks at me and
16 says, "don't say that; you cannot do it." It's, Angie, you are not
17 going to escape, so please come over here.
18
19 Angie has been with us for a long time. Actually, she had a time
20 for almost nine, ten years that she went to work for another
21 people, but then we convinced her to come back. When she came back,
22 we had a problem. Our fiscal officer had resigned at that time,
23 and we had to close three years at a time.
24
25 And for those you who know about numbers and grants, you know how
26 difficult it is. I called her, and I said, "Can you do this?" And
27 she said, "Are you crazy?" "No, I'm not. I'm desperate. Can you do
28 it?" And she said, "yes." And she has been with us since. How many
29 years since that time? More than 11. More than 20 years you have
30 been with us in and out. So, for that, we want to recognize you
31 today with another reef in a bottle.
32
33 So, the Council wants to recognize you for all your hard work for
34 all these years, and I hope that you stay with us some more time.
35 Unless, you get a lot of money, then you're excused. You want to
36 say something?
37
38 **MARÍA DE LOS A. IRIZARRY:** No.
39
40 **MIGUEL A. ROLÓN:** She doesn't want to say anything, so—
41
42 **MARÍA DE LOS A. IRIZARRY:** Just thank you.
43
44 **MIGUEL A. ROLÓN:** Okay. So, like in the Oscars, we are set.
45 [applause]
46
47 Yeah. Then, another person that keeps me out of trouble because
48 she always kicks me in under the table. You don't see it, but she

1 does it. Every time that I feel telling somebody what I think,
2 they say, "Don't do that. You're the Executive Director. He's a
3 sob, but you have to keep your cool." So, I have been receiving a
4 lot in this right leg here.

5
6 We all know her because she's always working with the reservations,
7 with the hotels. When something goes wrong, we call her. Diana
8 Martino, we all know her. So, she's another one that's going to
9 say, "You don't do that" pero-- Anyway, we want to recognize you
10 too, for all these years working alongside with me and the rest of
11 the gang, the staff, Council members. I used to go to fisher's
12 meetings with Diana. I remember, I went to a meeting in Saint
13 Thomas, and they said, "Is Diana coming." "No." "okay." So, they
14 left.

15
16 So, I want Diana to come over here. These are made by a biologist
17 who happens to also be an artisan in Puerto Rico, Mario Tacher. He
18 and his wife are also professional, but they do this for us. At
19 this time-- where are you? --We want to recognize all your years
20 We have been together for 30 something.

21
22 **DIANA T. MARTINO:** 36.

23
24 **MIGUEL A. ROLÓN:** 36 years. Well, myself, the Council, the staff,
25 we want to recognize you at this time. I know that you hate this
26 stuff.

27
28 **DIANA T. MARTINO:** Yeah, thank.

29
30 **MIGUEL A. ROLÓN:** But here it is. Don't drop it and say something.
31 You can say something.

32
33 **DIANA T. MARTINO:** You fooled me. [laughter] Because I'm the one
34 who always gets this and then you put it all in one box.

35
36 **MIGUEL A. ROLÓN:** Yep.

37
38 **DIANA T. MARTINO:** And he gave me the box. And I was like, "Wow.
39 What a big one." Anyway, thank you, Miguel.

40
41 **MIGUEL A. ROLÓN:** You're welcome. You deserve it. [applause]

42
43 Yeah. We need pictures for Alida's report.

44
45 Okay. And it's a cliché, but I say, last but not least. But at
46 this time, we want to recognize one person that I met a long time
47 ago, and that person is always the same, you know, in front of
48 you, in the back of you, is always the same. He knows the fishery

1 back and forth. I mean, like the back of his hand. He has been one
2 of the best Council members we have ever had here. This is his
3 last official meeting of the Council, unless we have one between
4 here and August 10th. His last Chair and executive director meeting
5 will be in May and it's Tony Blanchard.

6
7 Tony has been, as I said, you know, one of the best Council members
8 we have ever had. He always defended the fishery or defended the
9 fishers. Even though they might be from Puerto Rico, he always
10 sticks his neck out for them. He's the only one who has sat next
11 to the RA, one time that Roy Crabtree challenged him to sit next
12 to him because he was talking about things that Roy should have.
13 [crosstalk] he put it there. Then after that, Roy told me, don't
14 ever let me do that again.

15
16 In a personal capacity. I'm a dog lover. He's a dog lover. More
17 than me. We have kind of a special bond there. Today you are not
18 going to escape without a reef in the bottle that we have for you
19 today. These are fish in Saint Thomas.

20
21 **LOUIS ANTHONY BLANCHARD:** It is? I don't remember us having
22 manatees though. [laughter]

23
24 **MIGUEL A. ROLÓN:** Marcos wanted to say something at this time.
25 Please. Marcos,

26
27 **MARCOS HANKE:** Good morning, everyone. I want to say and address
28 Tony, but I want to take an opportunity also to recognize everybody
29 else that was here, Angie, Iris and Diana. With the guidance of
30 Miguel as a team, they have a good atmosphere and a productive
31 environment at the Council. As a Chairman and Council member for
32 many years thank you to all of them for all their support.

33
34 Now, Tony. Tony and I have a very productive relationship because
35 I really appreciate, once we can agree and disagree, keep the
36 communication and this is what the Council is about. The
37 relationship that Tony and I have is of mutual respect. We have
38 been very sincere to each other, and he teaches me a lot of things.
39 I thank you for that and I thank you for your honesty and for
40 pulling my ear sometimes and making me think a little deeper about
41 things.

42
43 This is what a good Council member does. It is not just the
44 knowledge that you bring to the table; it is the other personal
45 aspects that you bring to the table that are unique and special.
46 Thank you very much, Tony.

47
48 **LOUIS ANTHONY BLANCHARD:** Appreciate it. [applause]

1
2 Okay. Well touching on this with Roy. Me and Roy bumped heads a
3 lot of times back and forth, back and forth. He'll tell you. But
4 I think Roy respects me because I was a man at held my ground and
5 I can tell him I don't back off for anything unless I believe I'm
6 wrong or you could prove me wrong. Like I said, I don't follow a
7 weaker man than me down the road. I would follow somebody strangle,
8 which I don't find too much of them, but if we go along the same
9 road, you have to have me buy into it and believe that we are doing
10 the right thing.

11
12 When I came on the Council years ago, I came out with the intention
13 of looking out for the fishery, the best I could manage it. Looking
14 out for the fishers, the communities, because to me it is all about
15 the fishery. And the fishery cannot be excluding the fishermen and
16 the other user groups. You're tourists, so on and so forth.

17
18 This all a big-- it's like a puzzle that you're trying to manage.
19 I believe when I walked in the door, I walked in not compromising
20 myself, and I believe I could walk out without doing so. I believe
21 I was straightforward. We didn't always agree. But then, at the
22 end of the day, you didn't bring me here to agree to anything. You
23 bring me here to manage. And me and Rich bumped heads a few times,
24 but I respect him coming from a different angle. It was a learning
25 experience for me. I learned a lot of things. I learned about the
26 ins and outs of how fisheries are managed.

27
28 I wasn't always right, but I will be the first one, when I realize
29 I'm not right to tell you, "Listen, I was wrong." So, at the end
30 of the day, I believe I came in with a plan. I succeeded the best
31 I could with what I had in front of me, and I will leave and leave
32 the torch for somebody else to carry. I'm just hoping that they do
33 as good a job, that they take the fishers, the communities, the
34 fishery into consideration like I did.

35
36 I can say at the end of the day, the way I walked in the door is
37 the way we leave. Head high, walking in and out. When I am in a
38 place, nobody has to doubt that. I am there. They know I'm there.
39 Just by my presence they know I'm there. So, like I said, I wasn't
40 always right, but I'm willing to concede to be wrong, but show me
41 that I am wrong first.

42
43 And like I say, it was a good experience. I mean, for me, for the
44 most part, it was a good experience. Some of it was a little back
45 and forth. Like I said, I didn't agree with some things, but we
46 didn't always agree. But show me where I am wrong first and then
47 I'll agree with you.

48

1 So, at the end of the day, I appreciate the time I was here. I
2 actually lasted longer than I thought, because, in my opinion,
3 sitting in this position, you have to have political ties and I
4 don't have that. I don't fall to anybody. You understand? I believe
5 you're going to put me here to do a job. That's why you signed on
6 for. Whether I agree with you or I don't agree with you, I agree
7 to do that job and that's what I think I have done.

8
9 So, like I said, I will leave carrying my shield, like I walked in
10 carrying it.

11
12 **MARCOS HANKE:** Thank you.

13
14 **LOUIS ANTHONY BLANCHARD:** And I appreciate the time. [applause]

15
16 Come on Marcos. We can't do this without the Chair.

17
18 **MARCOS HANKE:** Thank you everyone for being part of this special
19 moment. Miguel, go ahead.

20
21 **ANDREW STRELCHECK:** Yeah, I just wanted to thank Tony as well. I
22 know the commitment it takes to serve on the Fishery Management
23 Councils and the time it takes away from your business, from
24 fishing, from other activities, your family. So, I know it's not
25 an easy commitment and at the fishery service, we certainly
26 appreciate everyone's time that is spent, obviously, in these
27 meetings and helping us to manage the nation's fisheries. I laughed
28 obviously when you talked about Roy, but Roy does send his regards
29 and appreciates your time and work on the Council. And you're
30 exactly right, you didn't always agree with him, but we always
31 respected you for your input and your views, and it helped us be
32 a better agency and a better Council for that. So, thank you, Tony.

33
34 **MIGUEL A. ROLÓN:** Okay. Thank you, Mr. Chairman. That's about it.
35 We are also-- I'm sending an email to everybody. We are having
36 problems with reservations and presentations. I know that people
37 are always challenged for time, but the presentation should be in
38 the hands of Cristina at least five days before the meeting.
39 Otherwise, we run the risk of not being able to have the
40 presentation on time for the meeting. So, we will send emails to
41 everybody to remind them of that.

42
43 And the other thing is the reservation. The hotels are a little
44 bit edgy nowadays, because people make reservation the wrong days
45 or the wrong times, and then they try to-- well, sometimes they
46 don't show up. So, we are going to remedy that. From now on we are
47 going to have a block of rooms. Everybody will have the memo from
48 Diana, and you'll be responsible for making your reservation, and

1 calling the hotel. Outside that day, we are not responsible for
2 any reservation, because any reservation that is made, that is no
3 show, the Council has to pay for it. And they are really getting
4 very strict at the hotel.

5
6 We were able to work here because Diana knows the people. She put
7 her magic to work, and we were able to cancel some of those
8 reservations. Of course, if somebody have, like Alida today, an
9 emergency with the family or whatever, we take all actions to
10 alleviate the problem. But I don't want to say anything else.

11
12 The reason we had this letter read today is because the Council
13 from the get-go and been working with international fisheries.
14 Because as you'll know, we are responsible for fishery that is
15 shared upstream and downstream with other countries. 38 countries,
16 including countries and territories like us for the United States.
17 So, this is important to be recognized because we would like to
18 continue working with the NOAA fisheries. Now the contact person
19 in the region is María Del Mar. She participates at the discretion
20 of the RA at these meetings with the Western Central Atlantic
21 Fisher Commission, OSPESCA is another international group, and the
22 CRFM, which is the Caribbean Regional Fisheries Mechanism that
23 encompasses nine countries that are members and up to seventeen
24 with observers and members. So, it is important component of our
25 fisheries.

26
27 Marcos, Carlos have participated as Chairs at the meetings with
28 the working groups. And today we are going to hear from one of
29 them. A report by Rachel on the meeting that was held recently.
30 So, with that, Mr. Chairman, we thank you for the opportunity for
31 this report and we would like to continue the agenda.

32
33 **MARCOS HANKE:** Thank you, Miguel. The next item on the agenda is
34 the presentation that will be made by Rachel O'Malley. Rachel.

35

36 **Outcomes of the Moored FADs Working Group Meeting—Rachel**
37 **O'Malley**

38

39 **RACHEL O'MALLEY:** Good morning, everyone. I'm Rachel O'Malley. I'm
40 a foreign affairs specialist with NOAA Fisheries in the Office of
41 International Affairs Trade and Commerce. It's nice to see you all
42 today. We've already heard this morning in the Western Central
43 Atlantic Fisheries Commission, or WECAFC, is a regional fisheries
44 body with a geographic area extending from the South Atlantic coast
45 of the United States to the waters of Brazil. There are 34 member
46 countries.

47
48 I'm here to give you a brief report out from the recent meeting of

1 WECAFC's working group on fisheries using moored fish aggregating
2 devices or FAD. The meeting was held virtually on February 14th
3 through 16th, and we were fortunate to have a very robust U.S.
4 delegation participating.

5
6 I'd like to extend a big thank you to Miguel and Marcos for their
7 active engagement and input both before and during the meeting.
8 We're also fortunate to have Dr. Wess Merten participating on the
9 U.S. delegation, as well as a strong showing of fishery staff from
10 Southeast Region, Southeast Fisheries Science Center, and the
11 Atlantic Highly Migratory Species Management Division and
12 Headquarters.

13
14 Our overarching objective for this international meeting was to
15 build increased regional collaboration that can help support long-
16 term sustainability of living marine resources. While we are always
17 striving to manage fisheries responsibly in the United States,
18 cooperation with foreign partners is of critical importance when
19 it comes to shared stocks. Based on the tone of the meeting, I
20 think we have a good foundation to continue advancing that.

21
22 The meeting began with a series of presentations by WECAFC member
23 countries that offered descriptions of their moored FAD fisheries.
24 A presentation was also given on behalf of the Caribbean Regional
25 Fisheries Mechanism Members collectively Antigua and Barbuda,
26 Dominica, Haiti, Saint Kitts, and Nevis, Saint Lucia, Saint Vincent
27 and the Grenadines, Trinidad and Tobago and Grenada. These
28 countries have in place a sub-regional management plan for FAD
29 fisheries approved in 2018, which is focused on small scale
30 artisanal fishers whose livelihoods are significantly supported by
31 FADs.

32
33 The Subregional Management plan is designed to help these small-
34 scale fishers address food security issues by more efficiently
35 fishing offshore pelagic resources while following safe,
36 responsible, and sustainable fishing practices. So, this formed
37 the starting point for the working groups consideration of a draft
38 regional management plan that expands the geographic scope to the
39 wider Caribbean and provides us with a framework to guide the
40 implementation of best practices.

41
42 Flexible approach allows for some countries to manage moored FADs
43 directly. While here in the United States, we manage the various
44 fisheries that are using FADs. In addition to the regional
45 management plan, the working group reviewed and discussed several
46 other documents, including a guide for improved monitoring of
47 moored FAD catches, and improved assessment of the impact of moored
48 FAD fishing on fish stocks.

1
2 The main conclusions of the working group, which centered on the
3 importance of data collection and reporting throughout the region
4 were incorporated in a draft recommendation that will be reviewed
5 by WECAFC's Scientific Advisory Committee next week, and then
6 forwarded for consideration and adoption by the commission at its
7 meeting in July of this year.

8
9 Also, just to reiterate, WECAFC has a newly mandated working group
10 on dolphinfish and flying fish would meet in January 2023. The
11 mandate of that group is to address coastal pelagics that are not
12 managed by ICCAT. And the creation of this group happened thanks
13 to efforts by the Caribbean Council. So again, thank you to
14 everyone who contributed to that effort, and we'd like to continue
15 a dialogue with the Council in preparation for the meeting of that
16 group perhaps at a Council meeting later this year. And I hope to
17 meet many of you in person then.

18
19 So, I'll stop here and offer either Marcos or Miguel or any of my
20 NOAA colleagues an opportunity to highlight anything I missed
21 there. And also, happy to take questions. Thank you.

22 23 **Questions/Comments**

24
25 **MARCOS HANKE:** Thank you, Rachel. Tony Blanchard.

26
27 **LOUIS ANTHONY BLANCHARD:** Morning, Rachel. Good presentation. I
28 got a question for you. I noticed that when you mentioned the
29 countries that was involved, that Saint Barts, and I don't believe
30 Saint Martin was included, and I don't believe Guadalupe was
31 included unless I missed it. Is that the case?

32
33 **RACHEL O'MALLEY:** I can't recall if they were present at the
34 meeting. I don't have a list of participants in front of me, but
35 I can confirm that for you and get back to you.

36
37 **LOUIS ANTHONY BLANCHARD:** Right, because it looks like the French
38 countries were not involved in the process. Whether it is by choice
39 or I'm not sure, but it just sticks out to me if that's the case.

40
41 **RACHEL O'MALLEY:** There were definitely some French speaking
42 countries involved, and I know Guadalupe has been active in many
43 of the working groups. I just can't remember about this particular
44 one, but I can find out for sure.

45
46 **LOUIS ANTHONY BLANCHARD:** Okay.

47
48 **RACHEL O'MALLEY:** Yeah, I'll put that information in the chat,

1 maybe.

2

3 **MARCOS HANKE:** Miguel.

4

5 **MIGUEL A. ROLÓN:** Yeah, Tony. Some of those members are represented
6 with their organization. The CRFM for example, represents these
7 countries. For this particular working group, not all the countries
8 have these devices working for the moored fishery aggregated
9 devices, and that's the reason why they don't show up at the
10 meetings, but they are all represented. The CFMC is just an
11 observer, and we are part of the U.S. delegation, but the other
12 countries, when they are not present, they are represented by this
13 group.

14

15 OSPESCA, for example, is the Central American countries. So, you
16 may not see them at the meetings, but they are represented, and we
17 have exchange with them. Then WECAFC, the big umbrella, represents
18 everybody. All the members there. So, the reason why some members
19 decide not to show up at these meetings is because they have
20 several working groups during the year, so they allocate the
21 resources to those who are closest to their interests in the
22 fisheries.

23

24 **MARCOS HANKE:** Thank you, Miguel. Anybody else from the Council?
25 No? I just want to mention that I'm very glad to participate on
26 those working group and especially give us a perspective of how
27 well the US is doing in deploying and managing and approaching FAD
28 fishery or moored FAD. That also is a tool that as a Council member
29 and part as a participant of this fishery, we need to be aware,
30 and have the need to inform our public of the implications about
31 FAD fishery and so. On those lines, thank you very much, Rachel,
32 for the opportunity.

33

34 **CARLOS FARCHETTE:** Marcos.

35

36 **MARCOS HANKE:** Carlos.

37

38 **CARLOS FARCHETTE:** So, is there going to be a plan for FADs in the
39 WECAFC region or just mentioning that there's a committee working
40 on FADs for the whole international arena?

41

42 **RACHEL O'MALLEY:** Yes. So, the next step is that the regional
43 management plan that was approved by this working group will be
44 reviewed by the Scientific Advisory Committee of WECAFC. Then, it
45 goes to the WECAFC Commission, which is meeting in July and it
46 will be up to the commission to approve the plan.

47

48 **CARLOS FARCHETTE:** Is a draft that we can see?

1
2 **MIGUEL A. ROLÓN:** We can locate the document and send it to anybody.
3 If you look at the webpage of the WECAFC, there are documents there
4 that we can share with you. But I will make a note of getting
5 copies of those documents that addressed the issue of mooring
6 Fishery Aggressive Device.

7
8 Remember there are two Fishery Aggregating Devices, the one that
9 you anchor, that we call them mooring, and the one that you do not
10 anchor. We will send copies of that to you. Somebody asked me what
11 the Caribbean Council involvement will be. Well, we have to follow
12 Magnuson-Stevens Act, as you know. So, at the time that, that we
13 have a need for managing those Fishery Aggregating Devices we will
14 do so.

15
16 So, I will send you copies of all the documents, Carlos, and
17 anybody who wants it.

18
19 **CARLOS FARCHETTE:** Yeah, I know that their rules are a little
20 different to ours, being U.S., but we do require-- in working with
21 our sanctuary committee, we're required to have Army Corps permits
22 to deploy these things. So, I'm not sure exactly what-- when I see
23 the plan, I'll have a little more knowledge on it.

24
25 **MIGUEL A. ROLÓN:** That's a good point. Each country has a different
26 way, different governance to approach this. When I was working
27 with the FADs in Puerto Rico, we needed to touch base with five
28 different agencies. The Corp of Engineer is the lead one, the Coast
29 Guard, National Marine Fishery Service, and, of course, the local
30 government. So, it is a complex problem, but there is a challenge
31 and I believe that the group is going to present to the full WECAFC
32 in July, their recommendations. Either we will have a plan at that
33 time or the draft of a plan.

34
35 And the way it works, remember the working group prepares a plan
36 or any document, it goes to the equivalent of the SSC, which is
37 the SAC, the scientific group and then the document is submitted
38 in full. Every two years the commission meets. It's submitted in
39 full and if it's approved, then it became a management plan.
40 Different from our management plan that you have to implement it
41 via regulations. Those management plans, once they are approved,
42 each country will implement the prepared regulations for the
43 adoption of the plan.

44
45 **MARCOS HANKE:** Thank you, Miguel. Tony.

46
47 **LOUIS ANTHONY BLANCHARD:** I just got a question because I'm here
48 listening to the back and forth, back and forth. Anybody ever think

1 that maybe by deploying all of these FADs, that is going to affect
2 the way of how the fish migrate at certain times of the year?
3 Because you are actually attracting them to something that they're
4 going to hang around once they have the fish. But we all know that
5 fish move from one place the next during the year and during the
6 season, whether it be by barometric pressure, by sargassum,
7 whatever. So, you are actually putting up like, in a way, like a
8 fence, an invisible fence, that it could go through it if it so
9 chooses.

10
11 My thing is this, we might see this as a positive, but we don't
12 really know how this is going to affect the movement of the fish
13 during the year because we have installed all of these FADs. That's
14 what I am looking at. I am not saying it's a good thing. I am not
15 saying it's a bad thing. I am saying, this is something we need to
16 think about. You know, because sometimes what we think is a good
17 thing, is actually not a good thing.

18
19 **MARCOS HANKE:** To your point, Tony, all of those considerations
20 and others are explored in those meetings. In general lines,
21 Rachel, I would like to say to the group that the way we do moored
22 FAD fishing in the U.S. Caribbean is with the highest standards
23 that are in terms of data collection, in terms of the deployment,
24 in terms of how responsible we are with these operations.

25
26 Those groups really facilitate that conversation on a broader scale
27 of the Caribbean. But all those considerations that you are, from
28 a fisherman standpoint, are considering and are included in those
29 discussion. I invite everybody to read what Miguel is going to
30 send to you about WECAFC and be aware. Because, now more than ever,
31 since we are going to manage wahoo, blackfin tuna and dolphin,
32 this discussion is going to be relevant to this Council into the
33 future. Thank you.

34
35 Rachel, do you want to say anything else to end the presentation?
36 Richard. One second. Richard, question for Rachel?

37
38 **RICHARD APPELDOORN:** Oh, no, it's just a comment following Tony's
39 question. Toward the end of today, we're going to be hearing a
40 presentation from Wess Merten about the FAD program here in Puerto
41 Rico and he's been looking at the question of fish movement. So,
42 he might be the person you want to direct that question to. But I
43 think what you'll find is that, yes, the fish will come in, hang
44 around a FAD for a while and then move. So, instead of having,
45 maybe, a smooth migration trajectory they're doing, maybe, kind of
46 a connect the dots type of trajectory. But he'd be the one to ask
47 that question.

48

1 **MARCOS HANKE:** Thank you, Richard. Rachel, you have one more
2 question from Carlos.

3
4 **CARLOS FARCHETTE:** Yeah. Well, I think this comment is really
5 involving in the U.S. Caribbean. One of the biggest complaints of
6 the Saint Croix Fishery Advisory Committee has had with FADs is
7 that when we deploy FADs with an Army Corps permit in place, if
8 the FAD breaks away and it's not replaced immediately, or, you
9 know, a couple years down the road, we have to reapply again for
10 an Army Corps permit for a FAD that's already been approved at the
11 same location. The committee wants to know if there's any way that
12 they can have a blanket permit, that once the FAD is in place, it
13 can be replaced every time it breaks away without having to go
14 through this long process of Army Corps permits again.

15
16 **MARCOS HANKE:** Thank you for your comments. This is also part of
17 the discussion of those committee in some sense. Rachel, do you
18 want to say something in response to Carlos. Then we have Julian
19 Magras to make a question.

20
21 **RACHEL O'MALLEY:** I'm sorry. It was difficult to hear that last
22 question. I think it was a question about the permitting process.

23
24 **MARCOS HANKE:** The question was, once we have a FAD in Saint Croix
25 installed, let's say that FAD move away, if there was a blank form
26 or a process in which the whole process of going to Cuerpo de
27 Ingenieros and the other agencies can be expedited. Can be quicker
28 for the replacement of the FAD.

29
30 **RACHEL O'MALLEY:** Okay. I'm sorry. I think I'm probably not the
31 best person to answer that question. That was the question, and
32 this is something that we can follow up. The question Miguel was,
33 once they lose the FAD, the FAD breaks out, if there was something,
34 a process that can make it quicker to reinstall the FAD instead of
35 passing through the whole process again of-- yeah.

36
37 Okay. We're going to address it. We are going to look for a better
38 an answer for you, Carlos, later on. We don't have the way to fully
39 answer to you. María.

40
41 **MARÍA LÓPEZ-MERCER:** Yeah. I will find that out for you. We have
42 in our office, through NOAA Fisheries, sometimes, with protected
43 resources division, worked on consulting from some of these FADs.
44 So maybe I can ask some of our colleagues about the process and I
45 will get back to you. I wrote it down.

46
47 **MARCOS HANKE:** Thank you María. Julian.

48

1 **JULIAN MAGRAS:** Just a quick question. Have you guys been looking
2 at revisiting the size limits for the wahoo and the dolphins, since
3 we're going to be adding all of these FADs, to ensure that we are
4 also protecting the species with the size limits.

5

6 **MARCOS HANKE:** Is the question directed to Rachel?

7

8 **JULIAN MAGRAS:** Yes.

9

10 **MARCOS HANKE:** Okay. At WECAFC level, is there any discussion about
11 size limits related to the FAD fishery, Rachel?

12

13 **RACHEL O'MALLEY:** Not at this time, but that's an issue that could
14 be discussed within this new working group that's going to meet
15 next year. So, we should continue our dialogue about that.

16

17 **MARCOS HANKE:** Thank you. Miguel. And that's the last question, or
18 participation.

19

20 **MIGUEL A. ROLÓN:** Yeah. This working group was addressing mostly
21 the mooring FADs, not the species itself. Going to Tony's comment,
22 we have a situation in the Caribbean, it's called gauntlet fishery.
23 Gauntlet fisheries is where every country catches whatever they
24 can of a population that migrate from one point to another. In the
25 case of the dolphinfish, they migrate from the Southern Caribbean
26 all the way to Cuba. And for another part of the-- actually from
27 North Carolina down. We have two species that, as you know, do
28 that.

29

30 So, the reason to bring this to your attention is to let you know
31 what is happening, what these other countries are thinking under
32 the umbrella of WECAFC. And then, as a Council member, to think
33 for the future when we have the island-based implemented, whether
34 you are going to consider anything related to mooring FADs.

35

36 We also can send a letter to Muñiz. He is the director of the Corp
37 of Engineers in Puerto Rico. The Corp of Engineers has the last
38 word on many of these things. So, we certainly, for the August
39 meeting, will try to get you the best information available so you
40 can take it from there.

41

42 And remember, the FADs are two types, the floating ones and the
43 anchor ones. We are talking about the anchoring ones. You may want
44 to prohibit the floating ones and that's some consideration by
45 countries. But this tool has been used since the times of Christ,
46 before that, and it had been documented. So, it is not something
47 that you can pull away from the fishery as easy as you can think,
48 in many countries. So, that's why we are concentrating with the

1 WECAFC region, at this time, on the mooring FADs and that's for
2 you to consider.

3
4 Probably for the next meeting, Mr. Chairman, we can put that in
5 the agenda if you wish, so we can bring more information to you.

6
7 **MARCOS HANKE:** Yes. Thank you very much, Rachel. Do you want to
8 make a question? Go ahead, Andy.

9
10 **ANDREW STRELCHECK:** Well, I just wanted to respond specifically to
11 Julian. So, we will be receiving a presentation from María and
12 Sarah Stephenson this morning about size limits for pelagic species
13 and certainly we'll talk about in the context of whether the
14 Caribbean Council wants to move forward with an options paper. But
15 certainly, given the migratory nature of the species that we're
16 managing here, makes sense obviously, if we are going to move
17 forward with size limits or bag and trip limits that we also
18 consider this in the broader Caribbean region and encourage,
19 obviously management more holistically than just the territories
20 in Puerto Rico.

21
22 **MARCOS HANKE:** Good point. Thank you very much. Rachel, last word?
23

24 **RACHEL O'MALLEY:** Sure. thanks for the opportunity to be here today
25 and if anyone has further questions or maybe you'll have questions
26 after you have a look at the regional management plan, feel free
27 to email me. My address is at the end of the short paper that was
28 included in the briefing book. Thank you.

29
30 **MARCOS HANKE:** Thank you very much. Excellent presentation again.
31 Thank you so much. Next item on the agenda, Island-Based Fishery
32 Management presentation by María López-Mercer, and Sarah.

33
34 **IBFMP and Amendments Update**

35
36 **MARÍA LÓPEZ-MERCER:** Good morning. This is María López from NOAA
37 Fisheries. So, for this part, there's no presentations. We have
38 some slides for the next items. We just want to give a brief update
39 on where we are with Island-Based Fishery Management Plans proposed
40 rule.

41
42 At this time, we are very happy that NOAA Fisheries Southeast
43 Regional Office has concluded their review of the proposed rule
44 and the proposed rule has been sent to NOAA Fisheries headquarters
45 for review. That means that after the NOAA Fisheries Headquarters
46 conductor thorough review, again, this is a very vague proposed
47 rule, then what proceeds is the publication of the proposed rule,
48 and then the opening of the public comment period of 30 days. So,

1 I don't have a date for that, but hopefully by the next meeting in
2 August we will have news about whether it's going to be published,
3 that proposed rule, and opening the comment period.

4
5 So, unless anybody else have other questions about the Island-
6 Based FMPs please stand by for other updates, hopefully soon.

7
8 **MARCOS HANKE:** Thank you, María. Do you have Sarah too? Any other
9 part?

10
11 **Spiny Lobster OFL/ABC Update and Council's Request to NOAA**
12 **Fisheries**
13

14 **MARÍA LÓPEZ-MERCER:** Yes. So, Cristina, can you present the slide
15 that says FMP amendments? So, what we want to do right now is just
16 go real quick through some of the amendments that-- not that one,
17 the other one. --some of the amendments that the Council has
18 discussed during the past year that will be amendments to the
19 island-based FMPs, once those are implemented.

20
21 Just to give you a brief summary of the decisions the Council made
22 and where we are on this stage, so that when the Island-Based FMPs
23 are in place, you know that these are other actions that are going
24 to be coming. So, Sarah, if you want to take it from here.

25
26 **SARAH STEPHENSON:** Hi, good morning. I'm going to give you a little
27 refresher on the first amendment to the Island-Based FMPs that we
28 worked on, which was the modification of spiny lobster management
29 reference points based on the SEDAR 57 stock assessments for spiny
30 lobster. It's a generic framework amendment to the FMPs, so it
31 applies to each management platform.

32
33 The issues that were addressed in the amendment were to update the
34 management reference points for spiny lobster to account for the
35 SEDAR 57 stock assessments and application of the Council's
36 acceptable biological catch control rule. That control rule was
37 included in each of the FMPs, and it specified what to do based on
38 tiers. So now that we have an accepted stock assessment, the spiny
39 lobster stock is now in tier three. So, that got updated with this
40 amendment as well. The amendment also revises the AM trigger, the
41 accountability measure trigger, for the final lobster stocks.

42
43 The status of it. The Council did take final action in August of
44 2021. So, it may be a while and hence the refresher. And then,
45 NMFS is preparing the proposed rule and associated documents for
46 that. And as soon as we know the final effective date for the FMPs,
47 we'll start moving forward with the proposed rule package. So, we
48 anticipate that it will be almost immediately after the FMPs.

1
2 Next slide please.

3
4 So, there's two actions in the amendment. Action 1 modifies the
5 spiny lobster overfishing limits, acceptable biological catch and
6 annual catch limits for spiny lobster for each island. Alternative
7 1 was the no action, so it just left things as they were specified
8 in each of the FMPs and that would be under tier four of the
9 control rule, which was data limited with no accepted assessment.

10
11 Alternative 2, looked at, the Council could have selected a
12 variable catch approach for specifying the OFLs and ABCs, and
13 essentially the ACLs in which the values would change from year to
14 year, but the preferred alternative, Alternative 3, the Council
15 selected the constant catch approach for specifying the OFL and
16 ABCs, and then deriving the ACLs from that. So, the values for the
17 three years were set at a constant value.

18
19 And then, you can see the sub-alternatives there. Which management
20 uncertainty buffer the Council selected was 3B, which sets the ACL
21 at 95 percent of the ABC.

22
23 Next slide

24
25 Action 2 modified the trigger for the accountability measure. The
26 trigger is the years of landings that are used to compare to the
27 ACL. So, Alternative 1 was the no action. It would use the trigger
28 that's described in each of the FMPs, which did a ramp up of
29 landings. So, it would use a single year of landings, followed by
30 the next subsequent year of landings, followed by a two-year
31 average of landings, then a three-year average of landings, and
32 then thereafter a progressive running three-year average.

33
34 And then, there was also the clause that the NMFS Southeast
35 Regional Administrator, in consultation with the Council, may
36 deviate from the specific time sequences used, to determine if the
37 ACL was exceeded. So, for instance, these years that are specified
38 in the slide were written a couple years ago, they could be
39 refreshed to use the most recent years of landings available. So
40 instead of 2018, we could use 2020. And so, all of the dates would
41 be updated. So, that's the no action. That's going to be your
42 accountability measure for the majority of stocks, the other stocks
43 included in the Island-Based FMPs.

44
45 Next slide please.

46
47 Alternative 2 was the preferred alternative selective, and it's
48 going to use the most recent three years of landings to evaluate

1 whether an AM is triggered. And then the AM would be triggered if
2 those average landings exceed the average ACLs in place during
3 those years. And that language just is in the interest or in the
4 eventuality that there may be ACLs in one year of landings data
5 that are different because they were under a different management
6 regime or from a different time period. But so, we're going to
7 compare average landings to average ACLs. Under this amendment,
8 the ACLs would be constant. So, averaging the same number three
9 time just results in that same ACL number.

10
11 The years of landings can be adjusted to account for the best
12 scientific information available. That's just in the eventuality
13 that maybe landings aren't available for some reason or another.
14 There was a third alternative to just use a single year of landings
15 to evaluate if the AM was triggered but that was not selected.

16
17 And next slide, I believe takes you to the gear amendment. So,
18 María, do we want to do questions at the end or-

19
20 **MARÍA LÓPEZ-MERCER:** I think you can do questions on the spiny
21 lobster now if that's okay. So, we don't change the subject.

22
23 **SARAH STEPHENSON:** So, yes. Are there any questions on the
24 amendment, the spiny lobster amendment?

25
26 **Questions/Comments**

27
28 **MARCOS HANKE:** Any question on the spiny lobster amendment? This
29 is basically a status report of what is going on up to now. Hearing
30 none. María, do you want to say something?

31
32 **MARÍA LÓPEZ-MERCER:** No, I just want to say that I believe that in
33 the Science Center presentation, they're going to talk a little
34 bit more, Kevin, is my understanding, of other plans for the spiny
35 lobster in terms of updates to the values and SEDAR, etcetera. So,
36 more information will be provided from that part, when Kevin gives
37 his presentation. And then we can obviously return, like if there's
38 anything that you guys have any additional questions regarding the
39 amendment, then Sarah's going to be available too.

40
41 **MARCOS HANKE:** Kevin.

42
43 **KEVIN MCCARTHY:** I mean, the short answer to that is that there's
44 an update assessment that's happening this year and the results of
45 that should be made available for the fall meetings of the SSC and
46 the Council.

47
48 **MARCOS HANKE:** Okay. Looks like the things related to the lobster

1 are getting better, improving the data and making better decisions
2 on it following the guidance of the Council. Sarah can you keep
3 going.

4
5 **Gear Amendment: Modification to Buoy Gear Status Update**
6

7 **MARÍA LÓPEZ-MERCER:** Okay. I believe it's me now. Okay. So, this
8 is the other action that the Council discussed last year. This is
9 the modification to the definition and use. This is going to be an
10 amendment also to the FMPs for each one of the islands, Puerto
11 Rico, Saint Thomas and Saint John and Saint Croix.
12

13 The issues that were addressed in the amendment was modifying the
14 definition of buoy gear in federal regulations to allow for the
15 use of up to 25 hooks to fish commercially. That was the issue
16 that was addressed. The other issue was the interest on the Council
17 of limiting the use of buoy gear to those fishing commercially
18 only. The Council took final action for this amendment in December
19 2021. At this time NMFS is working with associated documents and
20 will have a proposed rule ready for when the island-based FMPs are
21 in place.
22

23 Next slide, please.
24

25 This has taken a little bit longer to show in here, so. All right.
26 So, there were two actions. The first action is the buoy gear
27 prohibition for recreational fishing. There was a no action. The
28 it is set in our regulations, is that buoy gear is an authorized
29 gear type for recreational harvest in the Caribbean, as found in
30 50 CFR 600.725, which are the regulations that list the authorized
31 gear. This will make no changes. That doesn't mean that the gear
32 is used, it just means that for some fisheries in the Caribbean,
33 it was not listed as a prohibited gear. It's an authorized gear.
34

35 So, Alternative 2, which was the alternative that was preferred by
36 the Council, which just is a broad prohibition on the use of the
37 buoy gear for those fishing recreationally in federal waters off
38 the three islands.
39

40 Next slide.
41

42 Okay. So then, Action 2 was the modification of the buoy gear
43 definition. The way that our regulations read is that the number
44 of hooks-- one of the items in the description of the buoy gear is
45 that the number of hooks that could be used with that gear was 10.
46

47 So then, we have two alternatives. One alternative would modify
48 the definition as it applies to the commercial sector fishing only

1 for managed reef fish in the EEZ of each one of the islands to
2 allow the use of up to 25 hooks connected between the buoy and the
3 terminal end. And then, we added a third alternative, as required
4 by the Council, so that allowing the use of up to 25 hooks would
5 be allowed for all authorized commercial fisheries, not just for
6 the managed reef fish. So, this is the alternative that was
7 prepared.

8
9 So, this was just a refresher. So, you know, the decisions that
10 you previously made and once the Council takes final action, then
11 NOAA Fisheries steps in and starts preparing the documents and the
12 proposed rule.

13
14 Now after the break we are going to be talking about. Two new
15 actions that the Council requested for staff to prepare and to
16 present. One of them is regulations regarding the use of trawl
17 gear and other nets in the Caribbean EEZ. That's an option paper.
18 And the second action that we are going to be discussing is related
19 to pelagic species managements.

20
21 Pelagic species are new to management under the FMPs, and there
22 was interest in the Council in exploring different management
23 regimes, for example, size limits, trip limits, etcetera. So, we
24 are going to be providing some background information of the
25 different things that the Council can do to manage this new
26 species. Any questions?

27 28 **Questions/Comments**

29
30 **MARCOS HANKE:** Miguel.

31
32 **MIGUEL A. ROLÓN:** María, do you need any motion from the Council
33 at this time?

34
35 **MARÍA LÓPEZ-MERCER:** I do not; not at this time. This is just a
36 summary of what do you guys have already done? Mm-hmm.

37
38 **MARCOS HANKE:** Thank you, María. Great job. Great presentation.
39 Anybody else from the Council? We all in agreement that it reflects
40 what we have been discussing and the document is really reflecting
41 the great job of the Council together with the job you guys did on
42 the office. Carlos.

43
44 **CARLOS FARCHETTE:** Yeah. I have another amendment. So, I'd like to
45 know, maybe, when's a good time to maybe present this after you go
46 through the break or whatever. I'm not sure when.

47
48 **MARCOS HANKE:** In terms of your logistics, what is the best time,

1 María?

2
3 **MARÍA LÓPEZ-MERCER:** Let's see, so the break is for 10:45. So, I
4 think we can discuss it right now if you want to do that. Okay.

5
6 **MARCOS HANKE:** I believe it's a good timing. Go ahead.

7
8 **CARLOS FARCHETTE:** Give me a second here. I got some notes. Okay.
9 The recreational, commercial and rec for hire fishers have
10 requested a review of the regulations that govern the seasonal
11 closed area for red hind and Lang Bank. There is a need to address
12 pelagic and HMS fishing at the top of Lang Bank, Saint Croix during
13 the seasonal closure for red hind at the spawning aggregation area.

14
15 50 CFR 622.435(a)(2)(ii)(A) states that from December 1st through
16 February 28th, no fishing in those parts of the area that are in
17 the EEZ.

18
19 Before I-- can I get a slide up there on the screen, the one that
20 I sent on Lang Bank to Cristina. Actually, the slide I have up
21 there is just for reference so that you all can see the water depth
22 that I'm talking about. But while they bring that up.

23
24 The deep-water area of 25 to 75 fathoms is heavily used for
25 trolling and fishing during the time of the closure for multiple
26 HMS and pelagic species by commercial charter for hire and rec
27 sectors. Fishers have said that species such as wahoo, yellowfin,
28 bigeye, skipjack, albacore, mahi, kingfish and swordfish, which
29 are top water species, are active during the December to February
30 closure time and these species should be allowed to be fish because
31 it would not have an impact to the species that are being protected
32 in the bottom.

33
34 Also, billfish such as white marlin, blue marlin, sailfish, and
35 longbill spearfish are also fished at the top of Lang Bank.
36 Although I got some new information that this occurs in a little
37 deeper water than what I'm going to show up there. What the fishers
38 are concerned is that while hooked up and working the fish, they
39 may inadvertently drift into the edge of the closed area. And also,
40 that while [inaudible] making a wide turn to come about, they have
41 found themselves partially in the closed area during the December
42 to February time period.

43
44 Fishers use the shelf edge as a natural FAD for while trolling and
45 fishing. There are approximately, between all sectors, 40 to 50
46 vessels that are impacted by the two-mile-long area that prohibits
47 fishing at the top of Lang Bank.

48

1 So, I have a motion, and that motion is similar to the language on
2 50 CFR 622.435(a)(2)(iii)(B), which states for the Grammatik Bank
3 that from February through April 30th, no person may fish for or
4 possess any species of fish except highly migratory species, in or
5 from the Grammanik Bank closed area. And then it went on to define
6 the fish.

7
8 **MARCOS HANKE:** Carlos, can you have the language of the motion on
9 the screen?

10
11 **CARLOS FARCHETTE:** I also sent that.

12
13 **MARCOS HANKE:** They had it a little while ago, but it's not there
14 now.

15
16 **CARLOS FARCHETTE:** But there's a slide there-- Okay. That's the
17 motion that I want.

18
19 So, it'd be, *request staff to develop an option paper to amend*
20 *Saint Croix's IBFMP namely 50 CFR 622.435(a)(2)(ii)(A) by*
21 *inserting the language that: no person may fish for or possess any*
22 *species of fish, except highly migratory and pelagic species, in*
23 *or from the red hind seasonal closed area of Lang Bank, Saint*
24 *Croix.*

25 But I have a slide up there with the water depths from a GPS, from
26 a fisherman.

27
28 **MIGUEL A. ROLÓN:** That's not necessary now what we need is a second
29 to continue the discussion.

30
31 **LOUIS ANTHONY BLANCHARD:** Second.

32
33 **MARCOS HANKE:** discussion about-- María.

34
35 **MARÍA LÓPEZ-MERCER:** Yeah, thank you. Thank you, Carlos, for
36 bringing that up. So, one of the things that I want to point out
37 is that now we are managing pelagic species, so I think maybe
38 saying, "Council-managed pelagic species," and then obviously this
39 will need, I would assume, the SSC to look into this. So, that
40 could be something perhaps that the Council can task. And then
41 obviously, you know, consultation with our HMS folks too.

42
43 So, I mean, there's a lot of things to do here, but I just wanted
44 to bring that up, at least apart from the pelagics, because my
45 understanding is that in the Grammanik Bank text, there's no
46 distinction for the pelagics. Right? Okay. Yeah. Because before we
47 didn't manage the pelagic species but now, we are managing those
48 pelagic species. So, the Council will need to evaluate also what

1 would be the effect, not only on the fish that this closure is
2 aiming to protect, which is the red hind and other species that
3 aggregate in the area, but also the effects on the species that
4 the Council is managing. Okay? So, noted. Thank you.

5
6 **MARCOS HANKE:** Thank you, María. Miguel.

7
8 **MIGUEL A. ROLÓN:** Also, for the record, we don't have authority to
9 manage highly migratory species, but we're talking about the cost
10 of pelagics you may want to modify your language here. What we do
11 need to, if the Council proceeds with this, is we need to
12 immediately connect with the highly migratory office and see if
13 they can join in in the discussion about that possibility. But
14 certainly, we are talking about the cost of pelagics species
15 dolphin, wahoo and others.

16
17 **MARCOS HANKE:** Thank you, Miguel. And adding to what Miguel brought
18 to the table is that we cannot forget-- I'm sorry --that in other
19 areas in Puerto Rico we have a similar discussions and lessons
20 learned of a similar discussion that we need to take in account to
21 do something probably much better on this case. We are in another
22 step or another level to address this and I already shared with
23 Carlos a few points with him, and this is for future discussion.
24 Graciela.

25
26 **GRACIELA GARCÍA-MOLINER:** So, just to remind everyone of the
27 conversations that the Council has had in previous years when we
28 deal with other pelagics at these areas. So, a couple of issues.

29
30 One, the vertical structure of the fish community at those places.
31 Two, the bycatches from the trolling activities-- (trolling as in
32 T-R-O) activities that actually the spoons can bring up reef fish
33 from the deep. I know that you're talking about, you know, fairly
34 deep waters. But thirdly, the rugosity of these areas, even at
35 depth, with the probability of planers, for example, or any kind
36 of weighted line that they might be using while trolling for
37 pelagics could impact the habitat.

38
39 So those issues are discussed when we started dealing with
40 seasonally closed areas. So, we would need the information on
41 bycatch, for example, what species have been harvested while
42 carrying out these activities. But we will be looking into that.
43 And also, additionally, any other activity that might be happening
44 from dropping the lines that you might be looking for other
45 species.

46
47 So, we know that these things happen. So, you know, just to let
48 you know of past history of the discussion of the Council.

1
2 **MARCOS HANKE:** That that was exactly the conversation I had with
3 Carlos. It's complicated, but it's not impossible to address.
4 Right? And anybody else?
5
6 **LOUIS ANTHONY BLANCHARD:** Let me see the depth of water.
7
8 **MARCOS HANKE:** Let me give a turn to Andy, in the meantime, while
9 they put the depth of water.
10
11 **ANDREW STRELCHECK:** Yeah. I'm certainly supportive of the motion
12 and exploring this through an options paper. We have looked at
13 this in other areas of the Gulf of Mexico, and I think we've
14 addressed it more through gear restrictions in addition to the
15 kind of prohibitions on species that could be maintained.
16
17 So, you would want to look at gear stowage requirements as well as
18 kind of the gear allowance requirements and specific to trolling
19 through an area that's typically closed to bottom fishing. Right?
20 So, we can look at those regulations and come back with more
21 information.
22
23 **MARCOS HANKE:** Thank you. Carlos.
24
25 **CARLOS FARCHETTE:** Yeah. So, María made a good point. Should, I
26 change my language to include that Council manage pelagics in
27 there? okay.
28
29 **MARCOS HANKE:** Graciela
30
31 **GRACIELA GARCÍA-MOLINER:** I mean, you could, but you could also
32 request the information from the Highly Migratory Species Group to
33 see if--
34
35 **MIGUEL A. ROLÓN:** Wait, wait. Point of order. Let the owner of the
36 motion-- put it on the screen, the motion, again, and then Carlos
37 can work it out.
38
39 In essence what they're writing here is that we want to concentrate
40 our efforts on those species that are managed by the Council and
41 then contact the highly migratory species office to get their input
42 into further discussion of the issue.
43
44 **CARLOS FARCHETTE:** On that note.
45
46 **MARCOS HANKE:** Go ahead.
47
48 **CARLOS FARCHETTE:** Since I read in the handbook that it is written

1 in there for Grammanik Bank, that they're allowed to fish for
2 highly migratory species. I don't know if, since we don't manage
3 it, I don't understand why that was in there, but I'll change the
4 wording for-

5

6 **MARCOS HANKE:** Graciela.

7

8 **CARLOS FARCHETTE:** Yeah. So, I'll go ahead and put "no person may
9 fish for or possess any species of fish except Council-managed
10 pelagics and other pelagic species" because there's some other
11 pelagics that the Council does not manage.

12

13 **MARCOS HANKE:** Tony, do you agree with the changing language?

14

15 **LOUIS ANTHONY BLANCHARD:** Let me see up on the screen.

16

17 **CARLOS FARCHETTE:** And while I'm-- should I go ahead and remove
18 this thing about the HMS until-- okay.

19

20 **MIGUEL A. ROLÓN:** Graciela, let Carlos dictate what he wants on
21 the screen.

22

23 **CARLOS FARCHETTE:** So, we can remove the reference to highly
24 migratory, HMS. Right? No?

25

26 **MARCOS HANKE:** Carlos. Jocelyn, can you support us on this motion?

27

28 **JOCELYN D'AMBROSIO:** Sure. So, some folks were asking about Council
29 authority here with HMS and certain highly migratory species that
30 are defined in the Magnuson Stevens Act, there's jurisdiction given
31 to the fishery service to manage those. So, you can't directly
32 manage those species, but when you're trying to protect your areas
33 that the Council manages from fishing impacts, you can prohibit
34 all fishing. We also have gear restrictions in these areas.

35

36 So, the current regulation that prohibits all fishing is okay, and
37 I understand that we're now trying to say, well, are there certain
38 exceptions, like certain types of fish that fishing that we want
39 to allow in this closed area? So, if you're asking for an option
40 paper, maybe you might want to not be super prescriptive, but you
41 could say, except for certain species where the possibility for
42 impacts with the fishery that you're protecting, I believe it's a
43 red hind spawning area, might not be as much of a need, perhaps
44 that's what you're sort of trying to explore.

45

46 So I wouldn't necessarily try to spell out the types of species
47 you're excluding, but you could be general, like sort of maybe
48 say, except for, if it's HMS species, if there's pelagic species,

1 whether or not you manage them, I don't know if there's certain
2 species that their folks are fishing for there that you want to
3 allow and to explore the potential for that. So maybe rather than
4 trying to note all of those species now, you could direct staff to
5 try to come back with recommendations for which fishing in that
6 area you might want to open it up to.

7
8 So, on that point, in terms of the language, maybe you could say
9 except for certain species of fish, including potentially HMS and
10 pelagics. And then, staff can come back with options and explain,
11 based on what you're going to say about depth or what the research
12 shows, potentially, species you might want to exempt from this
13 closed area.

14
15 So, just to state it again, maybe try to be less prescriptive with
16 the types of fish so you can really explore options.

17
18 **MARCOS HANKE:** One second, Miguel. Carlos, do you, do you want to
19 follow the guidance on the language of--

20
21 **CARLOS FARCHETTE:** Yes.

22
23 **MARCOS HANKE:** And change the language to-- and revise by Tony
24 later?

25
26 **CARLOS FARCHETTE:** Yes.

27
28 **MARCOS HANKE:** Jocelyn, can you help Carlos with the language
29 specifically on the board.

30
31 **MIGUEL A. ROLÓN:** While she's thinking about it. You know, make
32 it simple. What you want is an options paper to see where the
33 pelagics are, will be able to allow to be fish in the area or not.
34 Because in the motion you're trying to have the whole regulation
35 written. So, a simple option will be to instruct the staff to
36 prepare an options paper to give information whether we can allow
37 pelagic species to be fished in the water column on those areas.

38
39 **MARCOS HANKE:** Jocelyn.

40
41 **JOCELYN D'AMBROSIO:** I agree. That's a great idea, Miguel, just to
42 be a little more general so we can-- rather than trying to develop
43 exactly what we're going to do now, to develop the sort of ideas
44 for where we want to go. So, rather than saying-- right now you're
45 sort of proposing the exact amendment, but maybe you could be more--
46 - I can't amend your motion, but if you would want to and could
47 get a second to, as Miguel said, explore amending the island-based
48 FMP to allow fishing for certain species, including highly

1 migratory species and pelagics in that closed area.

2
3 And then just to note, it's very helpful to have the regulation
4 that you're looking at, but when we do implement the island-based
5 FMPs, that citation will change, but we would note that in any
6 document we prepare.

7
8 **MARCOS HANKE:** Miguel.

9
10 **MIGUEL A. ROLÓN:** I propose to table this and allow Carlos to write
11 something with Jocelyn and then come back after the break and you
12 can propose the language again and we can continue. It is a very
13 important point and we wanted to make it sure that—

14
15 **MARCOS HANKE:** I think it's a good strategy to be more productive
16 on the language and so on and to move along. Graciela, last word
17 and we'll go for a break.

18
19 **GRACIELA GARCÍA-MOLINER:** So, keep in mind also that the Council
20 is developing an ecosystem plan. So, ecosystem issues that are in
21 your strategic plan are also important. So that will come into the
22 picture. But as Miguel said, you know, keep it to see what species
23 you're really speaking of, what other species could be harvested
24 because the Council is also involved in sustainable fisheries and
25 other fisheries that can grow out of the changes that are taking
26 place in management.

27
28 **MARCOS HANKE:** Thank you, Graciela. Carlos, last word?

29
30 **CARLOS FARCHETTE:** Yeah. Real quick. I mean, if we can put up the
31 screen with my slide on the water depth that Tony wanted to see,
32 and I wanted to show something there also.

33
34 **MARCOS HANKE:** Yeah. In the meantime, while they look for the
35 image, we're going to make a break and we can address that after
36 the break.

37
38 **CARLOS FARCHETTE:** Sounds good.

39
40 **MARCOS HANKE:** Thank you.

41
42 (Whereupon, a brief recess was taken.)

43
44 **MARCOS HANKE:** For the people online, we are going to restart in
45 a few minutes. We're just setting up some details. Just wait a one
46 or two minutes. We'll be back.

47
48 Let restart the meeting. We are waiting for two things pending

1 from before the break. One was the image requested by Carlos and
2 by Tony Blanchard. Carlos wanted to make a point about that. And
3 also, the motion. Carlos, which one are we going to address first?
4 The motion? Go ahead.
5
6 Yes, the motion.
7
8 **CARLOS FARCHETTE:** Okay.
9
10 **MIGUEL A. ROLÓN:** Carlos es más fácil olvidarte de ese language y
11 escribir una línea para preparar el scoping document for allowing
12 pelagics.
13
14 **CARLOS FARCHETTE:** I didn't understand that.
15
16 **MIGUEL A. ROLÓN:** Que es más fácil, en vez de bregar con esa, poner
17 alternative language de lo que tú quieres, completa de lo que tú
18 quieres. Y entonces, si eso es preparar un scoping meeting, well
19 then, the motion will be to prepare a scoping document to address
20 the possible fishing of coastal and highly migratory species in
21 the area of Lang Bank or whatever.
22
23 **CARLOS FARCHETTE:** Okay.
24
25 **MARCOS HANKE:** Carlos, question. Just for the group to understand,
26 that motion that is in there is the one that you guys worked on
27 with the support of the legal counselor. Do you want to keep that
28 motion?
29
30 **CARLOS FARCHETTE:** Yeah. Yes. Yes.
31
32 **MARCOS HANKE:** That's your motion. Tony, do you agree with the
33 motion?
34
35 **LOUIS ANTHONY BLANCHARD:** I think you should include a-
36
37 **MIGUEL A. ROLÓN:** Point of order again. Yes, this is not-- what
38 the group would like to do is to have a scoping document to prepare
39 and then just have the motion rewritten the way you want it, and
40 then-
41
42 **MARCOS HANKE:** Which is there.
43
44 **MIGUEL A. ROLÓN:** Just so you can say, well, this is applicated.
45
46 **CARLOS FARCHETTE:** I'll read that, what's there now, right? Since
47 that's a new motion. So, I'll just read that.
48

1 **MIGUEL A. ROLÓN:** No. You can get rid-- according to Robert, you
2 are the owner of the motion and the seconder. Okay? If you want to
3 substitute the language for what you want to do, this is the time
4 to do it. So, you can substitute a new language and usually "my
5 motion will read that."

6

7 **CARLOS FARCHETTE:** Okay.

8

9 **MIGUEL A. ROLÓN:** I believe that what Jocelyn and María are talking
10 about is that to use the system that we have we can ask the staff
11 to prepare scoping document. Remember, when we have the scoping
12 document, you consult with the SSC, whomever you want to consult
13 with and yours will go to public hearing.

14

15 **MARCOS HANKE:** Yes. Carlos, to follow the process-- Carlos, is
16 that the motion that you work on the break that you want to read
17 for the record to see if Tony accepts? Go ahead.

18

19 **CARLOS FARCHETTE:** Right. So, I'm going to redo the language on my
20 motion to read, "Request staff to develop a scoping white paper to
21 amend the Saint Croix Fishery Management Plan to allow persons to
22 fish for and possess certain highly migratory and pelagic species
23 from the red hind spawning aggregation seasonally closed area of
24 Saint Croix. The closed area is defined in the current regulation
25 at 50 CFR 622.435(a)(2)(ii)(A). This area includes portions of
26 Lang Bank."

27

28 **MIGUEL A. ROLÓN:** Instead of "to allow the person" "if feasible,
29 to allow" because the scoping means that's what it's going to
30 present to you. Now you're telling them, "Prepare a scoping meeting
31 because we want to include this fishery there." So, I suggest that
32 we put "if feasible, to allow."

33

34 **CARLOS FARCHETTE:** Okay. Yeah. Just add that, right, "if feasible,
35 to allow." Right.

36

37 **MARCOS HANKE:** Okay, Tony?

38

39 **LOUIS ANTHONY BLANCHARD:** Okay. Well, I would say that you should
40 include the highly migratory species that we manage and the ones
41 that we don't manage. You understand? In case at some point in
42 time those species that we are not managing becomes under us to
43 manage.

44

45 **MARCOS HANKE:** To Tony's point. Jocelyn, can you clarify the
46 language and the implication of the previous language read by
47 Carlos?

48

1 **JOCELYN D'AMBROSIO:** Sure. So, this language really allows the
2 Council to identify which species you would want to create an
3 exception for. So, you could look at species that you don't manage
4 right now to say it would allow fishing for them. So, it would
5 allow that. We were trying to make it broader, so that-- we don't
6 really know which species it would be appropriate to allow fishing
7 for possession in this area. So, this broader language allows
8 exploring the types of managed and unmanaged species you might
9 want to allow fishing for.

10
11 **MARCOS HANKE:** Do you agree with the language presented by Carlos?
12 Amended.

13
14 **LOUIS ANTHONY BLANCHARD:** Yes.

15
16 **MARCOS HANKE:** Okay.

17
18 **CARLOS FARCHETTE:** Okay. So, I would like to go back to Tony's
19 question on water depth so I can put up my--

20
21 **MARCOS HANKE:** But we have a motion there that we have to discuss
22 and finish the discussion. Graciela, you want to--

23
24 Okay. the motion that was presented to us is "Request the staff to
25 develop a scoping white paper to amend the Saint Croix Fishery
26 Management Plan to determine if it's feasible to allow persons to
27 fish for and possess certain highly migratory and pelagic species
28 from the red hind spawning aggregation seasonally closed area of
29 Saint Croix. The closed area is defined in the current regulation
30 at 50 CFR 622.435(a)(2)(ii)(A). This area includes portions of
31 Lang Bank." That's the motion. We have a motion made by Carlos
32 Farchette and second by Tony Blanchard. It's open for discussion,
33 for formal discussion. Andy?

34
35 **ANDREW STRELCHECK:** Yeah, I mean, as I mentioned earlier, I'm
36 supportive of the motion. The way I would see this as an options
37 paper is that staff could bring back species that could be accepted
38 or allowed for harvest, as well as look at gears or methods that
39 may or may not be prohibited within that closed area. And then
40 also potentially looking at the spatial extent of the area that
41 would be authorized as well. So, kind of three prongs there that
42 should be evaluated and then as the paper develops, could take
43 that to the SSC and others for review.

44
45 **MARCOS HANKE:** Thank you. Anybody else? Any opposition? Hearing
46 none. All in favor say aye.

47
48 **GROUP:** Aye.

1
2 **MARCOS HANKE:** *Motion carries*. And now, Carlos, the image.
3
4 **CARLOS FARCHETTE:** Okay. So, Blanchard wanted to see what depths
5 to see what we're talking about. So, if I can get that slide up
6 there. Okay. I don't have a laser pointer, so I'm going to just
7 walk up there because even if I had a laser pointer, I shake so
8 much that you'd all get seasick. So, let me.
9
10 Okay. I know you can hardly see it, but this is a little red dash
11 line, inside of that is the seasonally closed area of Lang Bank.
12 So, and what I asked the fisher to do was to bring this from
13 fathoms to feet. So, we're dealing with feet here. So, you can see
14 right on the edges, 472 feet, 459, on the inside it's 315. So,
15 when they're passing by, if they hook up, this is what I was
16 talking about, when they're fighting the fish or drifting, they
17 might end up inside there. Not that they're fishing inside, because
18 they don't come all the way in here to look for those species.
19 They're always on the edge. On the edge using the edge of the
20 natural FAD. So, that's what I'm talking about.
21
22 **MARCOS HANKE:** Thank you, Carlos. Graciela.
23
24 **GRACIELA GARCÍA-MOLINER:** So, Carlos. So, I don't see any rugosity
25 on the bathymetry that you're showing. Do you know if we have a
26 better map of the area to account for the sea mounts?
27
28 **MARCOS HANKE:** They are working on the edge of the drop off,
29 Graciela.
30
31 **MIGUEL A. ROLÓN:** And in the options paper you have a very
32 beautiful, clear picture of where we are. The whole thing.
33
34 **MARCOS HANKE:** Okay.
35
36 **CARLOS FARCHETTE:** I have some other—
37
38 **MARCOS HANKE:** Tony? Tony requested the image. He wants to ask a
39 question.
40
41 **LOUIS ANTHONY BLANCHARD:** No, I was just curious to look at the
42 image to see how shallow the water comes, because from the depth
43 of water I see there, I can't see them hooking any hind or any
44 bottom dwellers at that depth of water. I mean, unless you are
45 right down and you talking four hundred something feet of water.
46
47 So even if they come up another hundred feet at the bottom to span
48 you talking about over 300 feet of water. So, I really don't think

1 trolling in that depth of water is going to be a problem for the
2 reef species that we are managing.

3
4 **MARCOS HANKE:** I think we are getting into the discussions that
5 are going to be the result of the options paper. We need to keep
6 moving forward. We have the motion. I think we are pretty much
7 done with this. Tony has the image and has something else on his
8 mind to be supportive or not from this discussion in the future.
9 I think we can keep going up with the agenda. Do you have anything
10 else that you need to say, Carlos? Very brief.

11
12 **CARLOS FARCHETTE:** No. Yeah, I'm good. Mr. Strelcheck had mentioned
13 about the gear types that would be-- that'll be worked out.

14
15 **MARCOS HANKE:** Yes. The processes will start. Let's keep going.
16 Next item on the agen-- yes, we are already voted.

17
18 **MARÍA LÓPEZ-MERCER:** I wanted to add something for this action.
19 So, all that information that you provided, Tony and Carlos, we
20 noted it and we're going to be contacting, as we usually do for
21 preparation of the backgrounds, contacting the fishers and trying
22 to get as much information of what's going on in this area in
23 preparation for this background white paper. So, we can be very
24 informed and be able to bring that information to the Council so
25 they can make an informed decision. But thank you for contributing
26 all of that.

27
28 **MARCOS HANKE:** Thank you. Thank you very much, María. Next
29 presentation, potential actions or IBFM amendments. María.

30
31 **MARÍA LÓPEZ-MERCER:** While Cristina puts the presentation. So,
32 this is one of the actions that the Council requested during the
33 last Council meeting.

34
35 **MARCOS HANKE:** María, one second, please.

36
37 **MARÍA LÓPEZ-MERCER:** Yes.

38
39 **MIGUEL A. ROLÓN:** Very quick. We just received a note that one of
40 our past Chairs of the Council really passed away, Jose L. Campos.
41 We would like to start the meeting with a minute of silence to
42 recognize Jose Campos. Mr. Campos was an active Council member for
43 many years, sports fisherman, controversial at times as he called
44 himself, but he was always ready to contribute to the discussion
45 of the Council that he participated in local international
46 meetings. We would like to ask the Council to have a minute of
47 silence on his behalf, and Diana will note the family that we took
48 this action today.

1
2 **MARCOS HANKE:** Minute of silence. María, please proceed.
3

4 **Potential Actions for IBFMP Amendments—Trawling and Other Net**
5 **Gear and Options Paper**
6

7 **MARÍA LÓPEZ-MERCER:** Thank you. And we're really sorry for his
8 loss. So, what we are going to be discussing right now and in the
9 next presentation are two actions that the Council requested staff
10 to work on. The first one is going to be related to trawl gear and
11 other net gear in federal waters of Puerto Rico, Saint Thomas and
12 Saint John. And this is a presentation on a draft options paper,
13 or decisions paper as we call it as well, that you have in your
14 briefing book documents. I tried to do this presentation as closed
15 as possible as the options paper, but feel free to refer to the
16 options paper for any additional information.
17

18 Next slide.
19

20 Okay, so the issues that are addressed are considering a potential
21 prohibition on the use of bottom trawl gear and certain net gear
22 in the U.S. Caribbean federal waters as a precautionary approach
23 to prevent negative impacts on the seabed. For example, and this
24 is information that was discussed during the past Council meeting,
25 destruction of coral habitat and sponge habitat in the Caribbean
26 and on target and non-target species through bycatch.
27

28 We all know that the use of certain bottom tending gear such as
29 pots, traps, bottom longlined, gillnets or trammel nets is
30 currently prohibited year-round in the seven Council-managed
31 seasonally closed areas that, for purposes of this document, we
32 are defining as marine managed areas. These are Bajo De Sico, Abrir
33 la Sierra, Tourmaline in Puerto Rico, and then in the U.S. Virgin
34 Islands Grammanik Bank, the Mutton Snapper spawning aggregation
35 area, the Hind Bank, and that Red Hind Spawning Aggregation Area
36 East of Saint Croix, which includes a portion of Lang Bank.
37 However, there are no specific provisions on the use of trawl gear
38 in these or other areas in the U.S. Caribbean EEZ, with the
39 exception of the Hind Bank MCD, because the Hind Bank MCD has a
40 year-round prohibition on all fishing.
41

42 So, there's also gillnets and trammel nets, that was another of
43 the types that were discussed, and they have been prohibited for
44 the harvest of reef fish and spiny lobsters since 2005. However,
45 gillnets are allowed for the harvest of other species, for example,
46 baitfish, in federal waters, but they must be tended at all times.
47

48 There are no federal regulations regarding the use of gillnets or

1 trammel nets for the harvest of Council-managed pelagic species,
2 which are new to management under the Island-Based FMPs and the
3 Council has discussed in the past developing an action to restrict
4 harvest of pelagic species with these two gear types. Now also
5 note that there are certain nets that are also regulated by NMFS
6 in the highly migratory species fisheries that we are not dealing
7 with in here.

8
9 Next slide.

10
11 So, these were the two Council motions that were passed at the
12 December meeting. The first motion said, "Prohibit the use of
13 trawling gear from within the marine protected areas or the Council
14 Marine Managed Areas, how we call it in this document, of the U.S.
15 Caribbean exclusive economic zone. And the second motion was to
16 request staff to develop an options paper to prohibit the use of
17 gillnets, trammel nets, trawl nets, drift nets, and purse seines
18 for harvesting fish in U.S. Caribbean EEZ.

19
20 Next slide.

21
22 So, the next slides are going to give a brief overview of what
23 we're talking about. With respect to trawl regulations, federal
24 regulations at 600.10 defines trawl as a cone or funnel-shaped net
25 that is towed through the waters and can include a pair trawl that
26 is towed simultaneously by two boats. NOAA Fisheries also defines
27 bottom trolling as a fishing practice that herds and captures the
28 target species by towing a net along the ocean floor. And there
29 are some examples of these types of bottom trawling, like otter
30 trawls, beam trawls, and towed dredges that many of these are used
31 and managed in other U.S. regions to capture groundfish, shrimp,
32 and other bottom associated species.

33
34 Other types of trolls are called mid-water trawling, which are
35 also called pelagic trawls. These consist of a large net towed
36 through the water column. So, trawls, for purposes of federal
37 fisheries, are an authorized gear type for use in the non-fishery
38 management plan commercial fisheries under each of the Saint Croix,
39 Saint Thomas and Saint John and Puerto Rico fishery management
40 plans. There is no evidence that trawl gear is or has been used
41 for fishing in federal waters of the U.S. Caribbean except for
42 exploratory fishing or research that was conducted many, many years
43 ago. And again, we added this information in the sources. If you
44 want to read a little bit more about it, all of the sources are
45 included in the options paper.

46
47 Puerto Rico territorial fishing regulations prohibit the use of
48 trawl gear and drift nets in their jurisdictional waters. But to

1 our knowledge, the U.S. Virgin Islands do not have specific
2 regulations prohibiting the use of trawl gear in their waters.

3
4 Next slide.

5
6 So, the discussion about trawl gears is really not new. In the
7 2004 essential fish habitat generic amendment to the fishery
8 management plans of the U.S. Caribbean in its associated final
9 environmental impact statement, the Council made a recommendation
10 to take action to ban the use of trawls in the exclusive economic
11 zone. At that time, the Council noted that this gear type was not
12 used by commercial fishermen, but it recognized a potential for
13 future use. And as the rationale for the recommendation, the
14 Council indicated that the complex mosaic of coral on the insular
15 shelf left little space available for trawling that would not have
16 direct impacts on coral. Thus, a prohibition on trawling will
17 prevent use of a gear with high risk of adverse fishing impacts on
18 sensitive and important habitats of the U.S. Caribbean.

19
20 These recommendations have not been included in an amendment to
21 date. So, there was no action taken at the time. However, in that
22 recommendation, the Council also recommended that the governments
23 of Puerto Rico and the U.S. Virgin Islands prohibit all trawling
24 in state waters, in the territorial waters. Now the Council is
25 interested in a potential provision on the use of trawls in the
26 Council marine-managed areas or seasonally close areas, and or in
27 the exclusive economic zone of Puerto Rico, Saint Thomas and Saint
28 John and Saint Croix, for several reasons, and these reasons were
29 brought to the Council's attention during the past presentation at
30 the December meeting by Council staff.

31
32 Number one, it was noted that trawls have the potential to damage
33 coral habitat, including deep-water corals, also sponge habitat
34 and deep-water sponges that are present in the U.S. Caribbean;
35 that they could entangle protected species in our waters; that
36 they could damage Caribbean habitats designated as essential fish
37 habitat in habitat areas of particular concern for managed species
38 under the Magnuson-Stevens Act.

39
40 And there were also noted some economic considerations related to
41 the use of trawling gears, for example the potential for damaging
42 or losing gear and the economic considerations for that, as well
43 as also implications for the bycatch of managed and unmanaged
44 species that are not protected species.

45
46 Next slide.

47
48 The Council also mentioned in the presentation that there was

1 interest in potential implications, if any, that continuing to
2 allow trawling for non-FMP species-- When I say non-FMP species is
3 because this is the only groups of species that this gear is listed
4 as an authorized type in federal regulations --as an authorized
5 type in the EEZ, including Council Marine-Managed Areas may have
6 on whether the existing Council Marine-Managed Areas qualify
7 conservation areas under Executive Order 14008. This order
8 establishes the goal of conserving at least 30 percent of the lands
9 and waters in the United States by 2030. And we have heard during
10 previous Council meetings details about what this entails.

11
12 So, efforts are underway to determine how much of the lands and
13 waters already qualify as conserved. For example, the Council
14 Coordination Committee has established a subcommittee on area-
15 based management to review these marine-managed areas to assess
16 the level of protection they provide. The Council has been
17 interested in whether areas it has protected will or could meet
18 any conservation standards developed to implement the E.O.

19
20 Next slide.

21
22 Now let's briefly talk about gillnets and trammel nets, which are
23 types of drift nets. So, these are nets that hang vertically in
24 the water column without being anchored to the bottom. They're an
25 authorized gear type for the commercial harvest of managed and
26 non-managed pelagic species and the commercial harvest of non-FMP
27 species in each of the island management areas.

28
29 Trammel nets-- and I'm talk, sorry, I was talking in there about
30 gillnets. And then trammel nets are not an authorized gear type
31 for any U.S. Caribbean fisheries. And please note that when I refer
32 to authorize, I'm talking about the list of authorized fisheries
33 under federal regulations that if you recall we have seen this
34 before for the buoy gear amendment and this is included also in
35 the regulations that are going to be part of our changes to this,
36 in terms of how the authorized fisheries are organized, in terms
37 of, before it was all U.S. Caribbean and by reef fish, spiny
38 lobster, queen conch or coral FMP. Now they're going to be
39 fisheries by each one of the islands.

40
41 So, for purse seines. Purse seines is a large rule of netting
42 deployed around entire area or school. It's not an authorized gear
43 type for any U.S. Caribbean fisheries.

44
45 So now, why are we worrying about these two, purse seines and
46 trammel nets, if they're not authorized? This is because, the same
47 as in buoy gear before, a person could petition the Council to use
48 these gear types. And when that happens, the Councils and NMFS

1 could take action whether to allow or prohibit the use of that
2 gear. So, the Council-- and I added in here the regulation, and
3 I'm going to read it. It's on 50 CFR 600.725(v). A person or vessel
4 is prohibited from engaging in fishing or employing fishing gear
5 when such fishing gear is prohibited or restricted by regulation
6 under an FMP or other applicable law. However, after December 1,
7 1999, an individual fisherman may notify the appropriate Council,
8 or the Director, in the case of Atlantic highly migratory species,
9 of the intent to use a gear or participate in a fishery not already
10 on the list. Ninety days after such notification, the individual
11 may use the gear or participate in that fishery unless regulatory
12 action is taken to prohibit the use of the gear or participate in
13 the fishery. For example, through an emergency or interim
14 regulations.

15
16 We're bringing this up because it may be of the Council's interest
17 if they really want to prohibit, prevent, that a person requests
18 the use of this gear types that are already prohibited, and maybe
19 in the interest of the Council, if they desire to then address a
20 broad prohibition.

21
22 Okay, next slide.

23
24 Okay, well we were preparing this options paper. There's some
25 characteristics of the net fishery or issues that the Council may
26 want to consider when they're discussing this. First is the use of
27 certain nets to catch baitfish. For example, regulations show the
28 use of cast nets and surface gillnets, which are single wall, that
29 they have to be tended all times. It was also brought to the
30 Council's attention that the use of surface gillnets to harvest
31 flying fish from federal waters, particularly in Saint Croix.

32
33 There will also be some specification of reporting and monitoring
34 needs. There's also compatibility or lack of compatibility of
35 regulation with territorial waters. For example, gillnet use is
36 allowed in Puerto Rico waters. What if there is any need for--
37 Would there be any need for any HMS exception that we will have to
38 consult with our HMS partners? And we also, like we discussed this
39 morning, the management of pelagic migratory species in other
40 regions. For example, management of dolphinfish in the South
41 Atlantic. Because, as you know, these pelagic migratory species
42 are transboundary, and they are a shared resource. So, what happens
43 in one area will have repercussions in other areas. So, it's
44 important to keep into consideration other management regimes that
45 are occurring in the area.

46
47 For the pelagic species in particular, in the next presentation,
48 the next action, we are going to be discussing specific management

1 measures for those pelagic species. And then other things that we
2 may want to be looking at is regulations that already protect EFH
3 in the U.S. Caribbean.

4
5 Next slide.

6
7 Okay, so the way that we set it up is as one action right now.
8 These are just options. This doesn't mean that this is what's going
9 to end up in the amendment. This is just so the Council can provide
10 input as to where they want to go. This gives an idea of how the
11 action can be developed.

12
13 For this action in particular, we have not created an
14 interdisciplinary plan team yet. That will be something that will
15 come up if the Council decides to move forward with this. So,
16 there's one action and that one action, at this time, will prohibit
17 the use of trawl gear, gillnets, trammel nets and purse seines in
18 the U.S. Caribbean EEZ, just like the motion that was set on
19 December 21st, requested.

20
21 The Option 1 would basically not do anything, right? Typically, we
22 add an option one and we evaluate what happens if we don't do
23 anything. So, under this action, we retain the authorized gear
24 types for the commercial recreational harvest in federal waters of
25 Saint Croix, Saint Thomas, and Saint John and Puerto Rico.

26
27 I want to note something in here. The way that we said this, is in
28 general for the three Islands, because that's how the Council was
29 trying to do this during the last time because there was an
30 interest from the three islands to do something like this. However,
31 if any of the islands will want to take a different approach, we
32 can certainly address that. We can divide it into different
33 islands. So, every island, you know, as part of the island-based
34 management plans, they can make their own decisions. So, by no
35 means this means that everybody has to be gripped together. I just
36 wanted to make that clear.

37
38 Okay. And then, for Option 2, would prohibit the use of trawling
39 gear in federal water of Saint Croix and Saint Thomas and Saint
40 John. And we added two sub-options in here. One sub-option will be
41 prohibiting the use of trawling only in the seasonally closed areas
42 or marine-managed areas in federal waters of Saint Croix, Saint
43 Thomas and Puerto Rico. And the other options would allow for
44 prohibiting the use of trawling gear for all fishing. So, this is
45 more like a broad prohibition of the gear. So, that's something
46 that the Council can consider if they want to do per all the waters
47 or do you want to just do it just for the marine-managed areas? We
48 have set up some slides that explain what each one of the options

1 would do.

2

3 Next slide please.

4

5 So, Option 3. The Option 3 deals with gillnets. So, prohibit the
6 use of gillnets in federal water of Saint Croix, Saint Thomas and
7 Saint John and Puerto Rico. Now, in this one, we didn't do the
8 same as in the trawl gear because, as you know, gillnets are
9 already prohibited for use in the Council's seasonally managed
10 areas, right? So, there's no need to include that in here. However,
11 we have two options, one that would prohibit the use of gillnets
12 for all fishing and then we added another sub-option that will be
13 for all fishing except for baitfish, right? So, this option would
14 allow for fishers to use a certain type of gillnet to fish for
15 baitfish.

16

17 Now, I want to bring up in here that the Council will need to
18 define what baitfish is and will have to define also what are the
19 characteristics of this gear that differentiate it from the gillnet
20 that will be excluded from being used in this area. So, that's
21 something that the Council will have to make decisions on.

22

23 Option 4 deals with the prohibition of trammel nets for all fishing
24 in federal waters. And Option 5 prohibits the use of purse seines.
25 So, those two are the ones that I mentioned before that are not
26 really authorized for any of the fisheries right now, but it could
27 be in the Council's interest if they want to just do a broad
28 prohibition for all use to prevent that there's some petitions to
29 use the gear in the future.

30

31 Okay, so let's go to the next slide please.

32

33 All right, so this is just what it would do. Option 1, if you don't
34 do anything, this is what happens. So, right now trawl gear is an
35 authorized gear for the commercial non-FMP species. So, these are
36 other species that the Council doesn't manage that could be
37 harvested, that the fishermen will normally harvest. We understand
38 that these are not used, and it's banned in Puerto Rico waters.
39 So, these are just notes.

40

41 For gillnets. Gillnet is an authorized gear in the commercial
42 pelagic species, commercial non-FMP species and commercial non-
43 FMP pelagic species. They're not allowed for reef fish, spiny
44 lobster or in marine-managed areas by the Council. They are allowed
45 in Puerto Rico waters, and they're not allowed in U.S.V.I. waters.
46 However, there are specific gillnets that are allowed in U.S.V.I.
47 for baitfish.

48

1 And then, trammel nets. Not authorized, however they're also not
2 allowed for reef fish, for spiny lobster or to use in the MMA. And
3 then purse seines are not authorized and our understanding is that
4 they are not used.

5
6 So, I'm not mentioning here cast nets. I don't think cast nets was
7 something that the Council mentioned during the last time. I don't
8 know if there is a need to include anything for cast nets. I
9 believe these are more coastal.

10
11 Mm-hmm. okay So, next slide please.

12
13 So, this is what option two would entail. If you prohibit the
14 trawling gear, this will be a broad prohibition on the use of all
15 trawl gear for harvest of all commercial and recreational species,
16 managed and non-managed, which would be either applicable only to
17 Council manage-marine areas or throughout the EEZs of Puerto Rico,
18 Saint Croix, and Saint Thomas. So, that was the two sub-options.

19
20 By taking this action, the Council would prevent negative potential
21 ecological and biological and physical effects from the use of
22 trawl in the future. For example, we mentioned habitat destruction
23 and bycatch, either in Council MMAs only or throughout the whole
24 EEZ.

25
26 Next.

27
28 Okay. And then with respect to the use of gillnets, a broad
29 prohibition on the use of gillnets for fishing for all commercial
30 and recreational species managed and non-managed, that will be
31 sub-option A, or for all fishing, with the exception for the use
32 of gillnets for the harvest of baitfish. And as I mentioned
33 earlier, would require the Council to clearly define what is a
34 baitfish and specify the type of gillnet use, as well as, if the
35 exception would apply to both sectors, commercial or recreational,
36 or if it would be different.

37
38 Our understanding is that in federal waters there's minimal use of
39 gillnets for pelagics and for non-FMP species. Some of the reasons
40 cited was the depth, the distance from the coast, and the
41 preference for using other gear. By taking this action, the Council
42 also prevents negative ecological and biological effects from the
43 use of gillnets, for example, preventing the bycatch of undersized
44 individuals, protected species and other target and non-target
45 species. And although the use of certain types of gillnets used
46 for catching baitfish commercially and recreational would allow
47 fishermen to continue using this specific bait nets in federal
48 water. So, that will be what sub-option 3b would provide.

1
2 Okay. And then the next slide.
3
4 Now the last ones are Option 4 and Option 5. Option 4 prohibits
5 the use of trammel nets for all fishing in the EEZs of the three
6 islands. They're already prohibited for fishing for Council-
7 managed reef fish and spiny lobster and are they are also banned
8 in Council MMAs. And option five would prohibit the use of purse
9 seines. Purse seines are really not used in federal and territorial
10 waters, and they are not listed as an authorized gear types under
11 any U.S. Caribbean fish.

12
13 So, as I mentioned earlier, Option 4 and Option 5 would
14 specifically prohibit the use of this gear. Therefore, it would
15 not be possible for a fisherman to request the use of this gear as
16 would otherwise be allowed under federal regulations for gears
17 that are not included in the NMFS authorized gear list.

18
19 Okay, I'm almost close to the end, the next slide.
20

21 So, these are the next steps. Council to decide if they want to
22 move forward with the action. If yes, indicate if any changes are
23 needed to the scope of the actions and/or the alternative, so staff
24 can go and prepare a document. Identify any information,
25 requirements and sources. And task staff with the creation of an
26 IPT for development of an amendment. So, we could move forward
27 with this action right away, if that's what the Council desires.

28
29 Now, before we do that, let's go to the next couple of slides. The
30 next one, please.

31
32 Because we want to start the conversation about the bait nets. So,
33 that's important. Sorry for the amount of text that's included in
34 here, but I'll try to summarize it.

35
36 So, in the U.S. Virgin Islands, the only type of gillnet allowed
37 are single-wall surface gillnets that are targeting baitfish. And
38 this is from the regulations. The nets may not be more than 1,800
39 feet in length as measured by the float line and may not be used
40 within 20 feet of the bottom. The mesh size may not be smaller
41 than 0.75-inch square, or 1.5-inch stretch. Only one bait net is
42 permitted per boat and all other prohibited nets may not be
43 possessed onboard vessels in territorial waters. There's a
44 specific species that can be caught with the baitfish, Ballyhoo,
45 gar, flying fish, round jack and bigeye scad. And based in
46 conversations, the approximate number of fishers that use these
47 nets could be very minimal.

48

1 So, in Puerto Rico, this fishery, the bait net fishery uses bottom
2 and surface gillnets, or 'trasmallo' or 'filete' and trammel nets,
3 'mallorquín' consisting of a trammel with three net cloths tied to
4 a line of buoys. The gillnet or trammel nets cannot have mesh size
5 greater than six inches as measured from knot to knot of extension.
6 For trammel nets, the outer cloths may not have a mesh larger than
7 six inches from knot to knot. Additionally, trammel nets used for
8 bait fishing may not be more than a quarter inch from knot-to-knot
9 opening.

10
11 Now the regulations in Puerto Rico-- and I know this is only a
12 summary of the territorial waters and this is just for context, so
13 we know what's going on in the territories. The regulations permit
14 the use of gillnets and trammel nets, except in inner water and
15 river mouths. Additionally, it prohibits the use of gillnet and
16 trammel nets in conjunction with diving equipment, except by
17 written authorization from the Secretary for the capture of
18 lionfish.

19
20 So, let's go to the next slide. This is a picture that Carlos
21 provided showing-- do you have a-- can you put in-- Okay. Thank
22 you.

23
24 So, this is a bait net that is used in the U.S. Virgin Islands. I
25 apologize, but for some reason, our fisher was cut out, not on
26 purpose. Carlos, what is the name of the fisher that provided--

27
28 **CARLOS FARCHETTE:** Yes. José Alberto Sánchez.

29
30 **MARÍA LÓPEZ-MERCER:** Thank you, Carlos. Thank you to José Alberto
31 Sánchez for showing us the type of bait net that they use.

32
33 Okay. So, with that said, I think if you guys have any questions
34 or discussion, I'll be happy to assist.

35
36 **Questions/Comments**

37
38 **MARCOS HANKE:** Miguel.

39
40 **MIGUEL A. ROLÓN:** Probably not the time, María, but Nelson Crespo
41 brought to our attention, and I know this is the time the-- Nelson
42 Crespo brought to our attention that there is a new way of
43 capturing deep-water snappers and groupers. Some people are using
44 deep-water fish trap. So, I don't know if the Council want to
45 discuss this at the time or at least mention it, but I would like
46 the Chair to allow Nelson Crespo to briefly tell us what's going
47 on and what is the worry that the fishers have with this new gear.

48

1 **NELSON CRESPO:** Thank you, Miguel. That was about two months ago
2 that a group of fishermen from the Northeast side of Puerto Rico
3 brought the concern about fishing for queen snapper with traps was
4 being developed. Also, the plan of those fishermen is to cover
5 around the whole island. I think this is an issue that has to be
6 addressed and studied because it'll cause damage not only to the
7 fishery, but also to the habitat because they have to use huge
8 traps that if you compare it with a piece of weight that we use
9 for the vertical longlines for the deep-water snapper, when that
10 hits the bottom, it's going to kill everything, corals, habitats,
11 whatever, and can also kill the fishery [snaps fingers] like this.

12
13 Right now, we have a healthy fishery, a queen snapper fishery,
14 very healthy. I'm pretty sure that we caught double or triple that
15 was reported right now. But if these actions continue and we don't
16 take attention and try to regulate or do something about it, this
17 fishery is going to-- the days are counted for this fishery. It is
18 going to end in a few years.

19
20 **MARCOS HANKE:** Just a follow up. Nelson, just to put in context
21 for the whole Council to understand. On the past, we did have some
22 capture of silk snapper, blackfin and other snappers with traps.
23 That has happened before. But what you are reporting is the use of
24 the trap to fish for queen snapper. Queens, correct?

25
26 **NELSON CRESPO:** Yeah.

27
28 **MARCOS HANKE:** Okay. I just want to make sure for everybody to be
29 on the same page.

30
31 **NELSON CRESPO:** Yeah, yeah. In the past, and I see is still
32 happening, but in little stage the use of traps for snapper unit
33 one, that I don't agree at all, but, you know, we can handle that.
34 But for the queens, due to the hard currents we have, a loss of
35 one trap of queens [snaps fingers] can be like this because you
36 are not going to find them because of the hard currents we have in
37 the bottom.

38
39 So, if we lose one trap, how many pounds of queen snapper are we
40 going to lose? And how many fishes are going to be killed until
41 this trap is destroyed? Thousands of pounds. That is, for me, it's
42 something that we have to put real attention. At least investigate
43 or try to make some study about it.

44
45 **MARCOS HANKE:** I'm going to rely on you to give, if you can have
46 pictures for us in the future, or more information for us to know
47 a little more about it. Miguel?

48

1 **MIGUEL A. ROLÓN:** No, it's just a matter of procedure to ask María
2 Del Mar. For the Council to take this question, what would be the
3 best, appropriate way to do it? At this time with the document
4 prepared, or will it require a different document?
5

6 **MARÍA LÓPEZ-MERCER:** Well, that depends. This is María, NOAA
7 Fisheries. That depends on if you would like us to explore
8 something like this within this action per se, or do you want to
9 do it through another, through a different action?
10

11 **MIGUEL A. ROLÓN:** That's my point. Because from-- by the way, thank
12 you very much for an excellent work. You people are [inaudible].
13 I believe that these actions that you presented today are ahead of
14 whatever possible action we would do with traps. And at this time,
15 probably we need to gather more information before we proceed.
16

17 So, my suggestion to the Council is to be mindful that this is
18 happening and after this meeting, I will talk to Crespo and see
19 what other information we can get for the meeting in August. But
20 the Council should take action on this part because we have been
21 discussing about the trammel nets and everything. Can you put back
22 a slide where you have the next steps?
23

24 **MARÍA LÓPEZ-MERCER:** And, Miguel, if I may add to that. So, this
25 is obviously a developing situation that Nelson is bringing up to
26 the Council's attention. So, I would think that the next step would
27 be to investigate more and bring more background information. I
28 mean, traps are obviously not allowed in the marine-managed areas.
29 So, if they are being used for whatever in marine-managed areas,
30 then that is unlawful.
31

32 The other thing is that we do not have a distinction within reef
33 fish as to what constitutes deep-water reef fish at this point.
34 We're calling them reef fish, so I would think that one of the
35 things that we would have to do, not just for this, in the near
36 future, if the Council wants, is to make distinctions between
37 different groups and see if we can-- that's also part of the right
38 for the gear amendment that we want to do, is to see what types of
39 gears are used for what and then start, kind of like, tackling
40 that in that way.
41

42 So, again, it's a developing action. My suggestion would be, if
43 you want to include it in here, then that's fine. We'll go back
44 and we'll start looking into this. That doesn't mean that that
45 will constitute like an option for this, because obviously it's a
46 developing situation. We can always move forward with this if
47 that's what the Council desires, and then the Council can task
48 staff to look into this situation because obviously there's many

1 angles that have to be looked at, because traps aren't an allowed
2 gear to be used in federal waters. However, if there are if there
3 are concerns about the impact to the habitat and the impact to the
4 fishery, then that's something that we would need to, of course,
5 evaluate.

6
7 **MARCOS HANKE:** Thank you, María. Tony.

8
9 **LOUIS ANTHONY BLANCHARD:** I agree with Miguel. I think we need to
10 move forward on these trawls and the seins nets. Put a ban to it.

11
12 The only thing I see here that I would say that we probably should
13 not put a ban on, is the nets that are used for baitfish, like the
14 flying fish and so on in federal waters. But as for the trawls, in
15 my opinion, it is more of a destructive thing than anything else.
16 And we are talking about allowing them in federal waters?

17
18 The Virgin Islands-- and speaking on Virgin Island's terms. We
19 only got three and a half miles over territorial waters. We already
20 have a very small area in which we are allowed to fish in. Why is
21 it that we would want to allow this gear inside there, is my
22 question. It's more of a destructive thing to me. It will destroy
23 more than benefit, in my opinion, because of the bycatch issues,
24 the damaging of the reef and so on and so forth.

25
26 And who is going to manage in the event that we say, "well, you
27 know what, we are going to allow it at certain depth of water,
28 half of the bottom." Who is going to manage that? How are you going
29 to know that that's actually what's happening?

30
31 So, I think at the end of the day, it's not used already, why would
32 we allow it to be used now, when we are coming on with more
33 management plans and strategies? I think we need to shut the door
34 now. I think the only thing that really, we should look at is the
35 seins that are used for catching baitfish. And that's just my take
36 on it. I don't see why we would allow a problem to arise when we
37 have it right now under control, to certain degree because nobody's
38 using again at this point in time.

39
40 So why open the door? Why bring attention to it? That's my
41 question. So, right now, I would move to ban the nets in federal
42 waters. Ban the use of the nets except for the nets for bait fish.

43
44 **MARCOS HANKE:** Yes. And just a follow up on you is, the need of
45 defining well what the net for baitfish is, to prevent fishing. If
46 we don't do a good definition, you can easily lay down those
47 gillnets alongside to the wheat patches and catch many species of
48 fish that are recruiting there, like amberjack, almaco jack, small

1 mahis, and so on, and others. We need to do it carefully.
2
3 I want to move forward because the lunch is coming, and this is a
4 very important thing. María, I have many comments here that are
5 aligned, again, with what you just stated. The work that you did
6 is perfect. I was just going to concentrate on comments that add
7 to your logic is that we have been observing the movement of some
8 species to the deeper water. One, the trawling situation impacting
9 deeper water areas, where the EEZ is mostly on, we are going to
10 have an extra effect by having species that were, on the past,
11 shallower, that now are moving deeper.
12
13 I'm going to give you an example. I just talked to Tommy Forte and
14 on the landings from the deeper water for silk, blackfin and so
15 on, they're having 50/50, almost, landings of red hind and other
16 shallow water species that otherwise were not there. This is
17 something that I observed on my charter too. I just want to add to
18 the logistics, right, on this rationale that we are developing,
19 that there is indication of feedback from the industry where we're
20 having more species going to the deeper water where we want to
21 prevent the trawling to happen, not to damage those habitats where
22 those fish are moving too, or expanding the range where they have
23 been if we compare to the past.
24
25 And about the cast net. The cast net is something that we shouldn't
26 include because the charters and the commercial fishermen and
27 everything, they have it on the boat. We're going to create more
28 problem than anything. And even if you want to really impact the
29 resource with the cast net, is going to be really hard to do it.
30 I don't see any problem of excluding the cast net from this
31 discussion.
32
33 Those are the two points I wanted to bring. Yes. Miguel and Tony.
34
35 **MIGUEL A. ROLÓN:** Yes. It's a matter of the process. The slide
36 that you have on the screen is asking for the Council's direction.
37 For example, I believe that we all agree to move forward. And if
38 yes, then we need to address a, b and c.
39
40 In this case, María, what do you really need here? A motion that
41 the Council accepts the process to move forward. And then, when do
42 you think that a, b and C should be addressed? At this time or
43 another meeting or in between?
44
45 **MARÍA LÓPEZ-MERCER:** Well, I think-- so based on what I heard, I
46 feel like you are comfortable with the options that we included in
47 the draft paper.
48

1 There's no interest on separating them by island. We can just keep
2 it simple. So, I would think that the identification of information
3 requirement sources, I think this is important in terms for the
4 bait net fisheries. So, we will have to do some background
5 information. We will take care of that and contact the fishers and
6 Carlos, Tony, if you are able to provide that information to us so
7 we can characterize the bait fishery as well as possible.

8
9 And then, for the next Council meeting, we can bring some specifics
10 about what those exceptions would be, because that's very, very
11 important, as Marcos said, so we don't end up messing it up. And
12 then, I would say that a motion perhaps to move forward with an
13 amendment. So, you can test that to prepare an amendment to the
14 island-based FMPs to each one of the FMPs, that would include the
15 options presented in the options paper, today.

16
17 **MARCOS HANKE:** Okay. Can you help with the language, suggest the
18 language on the screen for any of the Council member to analyze,
19 maybe to move the process quicker. Jean?

20
21 **JEAN-PIERRE L. ORIOL:** So, I just had a quick question. Do we have
22 to define bait fish if we focused on the size limitation of the
23 nets, like they do in the V.I.

24
25 **MARÍA LÓPEZ-MERCER:** Did you have bait fish defined in the
26 regulations too, or not?

27
28 **JEAN-PIERRE L. ORIOL:** So, I know that-- I don't know that we have,
29 because we have the different classes of bait fish, but I saw that
30 in the recommendations or in the different options we talked about
31 if you did this option, you'd have to define what bait fish is and
32 do, I believe you said, specific requirements.

33
34 And so, I was just curious as to whether or not if we limit the
35 actual size of the net and focus on the gear type, then-- Like,
36 let's say we said, maximum one-inch with like one-and-a-half-inch
37 stretch or something like that. --if you, then you would have to
38 define what bait fish. Because it just looks like if you have to
39 define bait fish, then you are going through a whole longer process
40 as well.

41
42 **MARCOS HANKE:** To your point. I think it is important, because to
43 prevent problems in the future, there are bait fish that are
44 valuable, recognized and valuable, for the industry that create a
45 socioeconomic positive or need for it and in order to explore and
46 do this now, will prevent a fishery for other things that we
47 unintentionally are not thinking about. Right? We just closed the
48 door on two ways, by the gear and by the list of species that are

1 allowed to be kept on the boat during the fishery. I think that's
2 responsible from our part, even though it's harder to do, to do it
3 at this point. That just a comment. Tony.

4
5 **LOUIS ANTHONY BLANCHARD:** I agree with Marcos. I think we do need
6 to specify what is bait fish. Because one may not be bait fish to
7 you, is bait fish to me. So, to the end of the day, I understand
8 trying the route of going with a mesh size, but that still does
9 not take care of the species that you're looking for as bait fish.

10
11 In other words, I could say, "Well, listen, bait fish to me is a
12 hard nose this big." To another guy, "No, I don't want that for
13 bait, I want a sprat." "I want ballyhoo." So, I think by specifying
14 exactly what you're looking for, you are going to have a better
15 grasp on what is considered bait fish.

16
17 And bait fish could even be a type of fish, a certain size. You
18 attack the guys that fish mahi, they may use a small mahi to catch
19 a big mahi or yellow tuna, that's bait fish. You ask them, that's
20 bait fish. To me, I'll take it home and eat it or I'll sell it.
21 So, it all depends on who you are asking and the questions that
22 you're asking, you're going to get an answer for.

23
24 So, I say by specifying what a bait fish is, whether it be a type
25 of fish or a type of fish at a certain size, I think that's the
26 route that we need to go, along with the type of nets that we use.

27
28 **MARCOS HANKE:** Andy?

29
30 **ANDREW STRELCHECK:** Yeah, I mean, good points being made here, and
31 I think this is where the interdisciplinary planning team can help
32 us in terms of clearly defining intent and ensuring obviously that
33 the regulations are consistent with what we're trying to prohibit,
34 or for that matter, authorize with regard to bait fishing.

35
36 I noted, for example, with the bait net regulations, it was a
37 minimum or mesh size that was being specified. Well, if there's no
38 maximum, that opens the door for a lot of different net gear
39 potentially to be considered for harvesting bait fish, which might
40 be problematic. Right? So how we define bait fish or how we define
41 the gear types is important.

42
43 A couple things of note. I know Miguel made the comments about
44 what, Nelson, had mentioned with trap gear. I certainly would
45 encourage the Council to include that as early in the process as
46 possible. We can always decide that that's not something we want
47 to move forward with. And so, if staff could consider that now and
48 bring back information in August as part of this action, I think

1 that's helpful. And if we decide not to proceed, then we decide
2 not to proceed at that stage based on the information. But the
3 rationale I'm hearing in terms of impacts to habitat ghost fishing
4 is very consistent with reasons why we would be considering
5 prohibitions on other gear in this action. So, the purpose and
6 need seem to be very consistent with why we'd want to consider
7 limitations on trap gear.

8
9 The other comment I'll make, which relates to kind of additional
10 information. I think it would be helpful when we meet again in
11 August to talk about the socioeconomic consequences of allowing or
12 prohibiting these gear types, right? So right now, we're being
13 precautionary, we're wanting to avoid habitat destruction, we're
14 wanting to avoid bycatch. Some of those gears don't impact
15 necessarily habitat, don't necessarily have a lot of bycatches,
16 but there's potential socioeconomic consequences if it allows for
17 fisheries to catch a lot of fish at once and create market gluts
18 or run into closures of annual catch limits because harvest is
19 ramped up because those gears are now being more prominently used.
20 So, I think more discussion of that would be helpful as well in
21 terms of our rationale.

22
23 **MARCOS HANKE:** Yes. On the same lines about the socioeconomic
24 impact. Once we analyze or we really express our concerns about
25 habitat destruction and the things that María put out there, for
26 sure on artisanal fisheries is more scaled. Once you allow gears
27 like a trawling, to be in place, that is very costly, it's more on
28 a bigger scale thing, for sure it's going to be a big disruption
29 on the whole socioeconomic dynamic of the Caribbean. That's from
30 my point and from what I heard from the Council. It is not
31 compatible to what we do over here.

32
33 And we want to prevent this style of fishery that has an impact on
34 reaching the ACL very, very quick or damaging the resource that
35 supports multiple species for multiple artisanal fishery sources.
36 And that's the reason, in terms of socioeconomic, we want to
37 prevent, be very precautionary to prevent the way we do fishery in
38 the Caribbean. It is compatible to the mosaic of habitat that we
39 fish, with multiple gears and so on that you guys already know.

40
41 Did I address well your points? Yes? Okay. And I made a list that
42 some of them will be repetitive, but in order to create the record
43 that you request, Andy.

44
45 On terms of trawling, precautionary approach to protect shallow
46 and deeper water reefs and sensitive benthic habitats that are
47 essential for many important species, and its different life
48 stages. Example, deep-waters snappers, groupers, lobster, and many

1 others that are essential in our fishery, the way it's conducted
2 nowadays. Also, in support to the EBFM approach that we've worked
3 so hard on. I think it's important to not allow for the trawl gear
4 to be used on our area. Note that this gear is not part of the
5 traditional fisher and have no socioeconomic impact importance for
6 us. If you pursue the prohibition of this, the trawl gear, it will
7 help to protect the habitat, prevent overfishing of bait fish and
8 other forage species that support our environment and the fishery.
9 We don't want a herring fishery or a sardine fishery here cutting
10 the legs of the fishermen, of going out and or having access to
11 the bait fisheries, the cast net that all it will do is increase
12 the price of the bait and create a big problem on the ecosystem.
13 In addition, it will change the traditional artisanal fishery
14 landscape that happened for many years in the Caribbean. And I
15 already brought the point that the species moving deeper is a big
16 concern either because they are spreading more around because we
17 are doing a great job on management or because of climate change,
18 they are moving down. We really don't know what is going on, but
19 it is going on. We don't want the trawling to be something, to
20 mess up those, those environments.

21
22 And that's it. The other comments I did before about the cast net
23 and so on. Miguel, and I would like to also after, Miguel, to see
24 the motion, the suggested motion language. Go Miguel.

25
26 **MIGUEL A. ROLÓN:** No, no, no. What we were thinking, we are close
27 to 12 o'clock. Actually, it's 12 o'clock. So, consulting with
28 María, probably, it's best to start at one o'clock with the motion,
29 so you will be able to have a clear picture of what the motion
30 should be. I suggestions to break for lunch now. So, allow María.

31
32 **MARCOS HANKE:** Agree, María? Yes?

33
34 **MARÍA LÓPEZ-MERCER:** I agree. One of the things that, that we can
35 consider, the Council can consider if they want to include an
36 action that will evaluate the traps at this time. So that's
37 something that we can definitely talk about when we come back from
38 lunch.

39
40 **MARCOS HANKE:** okay. What I hear is that we want this to move
41 forward and do another process for the trap-- Maybe can include,
42 but what I hear from other Council members is that we want to make
43 sure that we don't get stuck restarting with the trap but we going
44 to discuss that after lunch. Thank you.

45
46 **MARÍA LÓPEZ-MERCER:** Okay. That's correct.

47
48 **MARCOS HANKE:** We are back sharp at one o'clock here. Thank you

1 for the virtual attendees and for everybody. I'll see you guys
2 back here at one o'clock. Thank you.

3
4 (Whereupon, the meeting recessed for lunch on April 19, 2022.)

5
6 - - -

7
8 APRIL 19, 2022

9
10 TUESDAY AFTERNOON SESSION

11 - - -
12

13 **MARCOS HANKE:** Let's restart the meeting. It's 01:11, and we are
14 all back in the room here ready to go. The motion will be presented
15 by María Del Mar, a suggested language, to see if Carlos takes
16 over from there to expedite the process. Go ahead, María.

17
18 **CARLOS FARCHETTE:** Okay. So, the motion would be to *request staff*
19 *to move forward with the preparation of an amendment to each of*
20 *the island-based FMPs to address trawl and net gear as discussed*
21 *in the options paper presented at the April 2022 CFMC meeting.*

22
23 **MARCOS HANKE:** Any second?

24
25 **LOUIS ANTHONY BLANCHARD:** Second.

26
27 **MARCOS HANKE:** Discussion? I hear no discussion. Any opposition?
28 All in favor say, aye.

29
30 **LOUIS ANTHONY BLANCHARD:** Aye.

31
32 **MARCOS HANKE:** Motion carries. One absent member, which is the
33 Puerto Rico representative from the DNR. And Jean-Pierre Oriol who
34 is also absent. We have quorum. He is probably on the meeting
35 outside. Vanessa's connected virtual; I believe.

36
37 **MIGUEL A. ROLÓN:** Was she able to vote? No, no está. No está.
38 ¿Cristina, Vanessa votó? Que si votó.

39
40 **MARCOS HANKE:** *Motion carries.* What is the next step now, María?

41
42 **MARÍA LÓPEZ-MERCER:** I cannot vote yet. It says in there. I don't
43 know. Maybe open the forum for Vanessa?

44
45 **MIGUEL A. ROLÓN:** No. You don't need to, the motion already carried
46 so we can go to the next thing.

47
48 **MARCOS HANKE:** The record is clear. Thank you. Go ahead, María.

1
2 **MARÍA LÓPEZ-MERCER:** Yes. The next presentation would be by Sarah
3 Stephenson from the Caribbean branch and SERO. She's going to be
4 talking about pelagic species.
5
6 **MARCOS HANKE:** Andy.
7
8 **ANDREW STRELCHECK:** Before Sarah presents. So, I did want to go
9 back to the discussion we were having about the trap fishery and
10 find out Council intent. Sounds like obviously more information is
11 needed. Do we want to at least give staff direction to not
12 necessarily develop a white paper, maybe bring a presentation,
13 more information back to it as at a future Council meeting with
14 regard to the trap fishery.
15
16 **MARCOS HANKE:** I think it's a good idea. Go ahead, Tony.
17
18 **LOUIS ANTHONY BLANCHARD:** I think the first step we need to take
19 is to find out how much guys are actually doing this, an idea of
20 how much traps are involved in it. That way, I think it's a
21 beginning point to figuring out how it's going to get dealt with.
22
23 **MARCOS HANKE:** Yes. And also, to find out-- this is an assignment
24 for Nelson and for the rest of the Council member. The description
25 of the trap, how deep they fish, if it's state of federal waters,
26 and maybe you guys can help me out information that is pertinent
27 for us to discuss this in the future, but this is what I can come
28 up with right now. This is what we would like to see as a
29 presentation from your office, María, trying to find out to
30 copulate all these information to present on the next Council
31 meeting.
32
33 **MARÍA LÓPEZ-MERCER:** That's correct. We can work with Council staff
34 to put together a presentation, collecting information from
35 various sources, including the fishers and Council members that
36 brought this to the Council's attention. And then what we have
37 available for August, that will definitely help start a
38 conversation on this. We don't need a-- I don't think we need a
39 motion for that, it's just to task staff to do that. okay? Noted.
40
41 **MARCOS HANKE:** Thank you. Carlos.
42
43 **CARLOS FARCHETTE:** So that would be only for the deep-water trap
44 fishery. Right? okay.
45
46 **MARCOS HANKE:** Yes, Carlos. Thank you for the clarification.
47
48 Anything else María, on the same lines or we can keep going? Next

1 item on the agenda. It's ecosystem-based fishery. Let me see here.
2 The pelagic species management white paper. That's Sarah.

3
4 **Pelagic Species Management Measures—White Paper**
5

6 **SARAH STEPHENSON:** Hi. Yes. Good afternoon. Thank you. I'll be
7 walking through the white paper that was developed for this
8 meeting, which outlines management measures the Council could
9 consider developing for pelagic species that are new to federal
10 management.

11
12 Next, please.

13
14 The Island-based FMPs were approved by the secretary of commerce
15 in September 2020. As we heard earlier, the proposal to implement
16 the FMPs, which contains all the regulations now organized by
17 platform.

18
19 Oh, did it? Did it go away? So, slide two, please. Okay. Thank
20 you.

21
22 So, yes, the island-based FMPs were approved and set to-- no. It's
23 scrolling again.

24
25 **LIAJAY RIVERA GARCÍA:** Sarah, give us a moment. We're trying to
26 figure out what's going on with the slides. Thanks.

27
28 **GRACIELA GARCÍA-MOLINER:** Apologies for the technical
29 difficulties, but it's moving by itself, so we're trying to get
30 it.

31
32 **MARCOS HANKE:** Graciela, is it Sarah's side or is here? It's here?
33 Okay. For the virtual attendees, just please be patients, we are
34 fixing the problem, some technical problem here with the virtual
35 presentation. Thank you.

36
37 **GRACIELA GARCÍA-MOLINER:** We're going to try a new technique. So,
38 we'll go ahead. Slide number two, please. Sarah, are you there?

39
40 **SARAH STEPHENSON:** Yes. Do you do you still want me to send you
41 the PowerPoint?

42
43 **GRACIELA GARCÍA-MOLINER:** Well, let's try slide number two, and
44 we're going to do a play and pause, play and pause. Okay. So, that
45 one or the next one?

46
47 **SARAH STEPHENSON:** Hold on. So, yes, this slide, slide number two.
48 Thank you.

1
2 The National Marine Fisheries Service has prepared a proposed rule
3 to implement, as we heard earlier, and that contains all the
4 regulations now organized by island platform. And that has cleared
5 the Southeast regional office and is in the review process at
6 headquarters.

7
8 The island-based FMPs include pelagic species that are new to
9 federal fisheries management. Each FMP established annual catch
10 limits and established accountability measures for the pelagic
11 stocks. As part of the accountability measures an annual catch
12 target was set at 90 percent of the annual catch limit. And that
13 annual catch target serves as the accountability measure trigger.
14 In other words, the value that the annual landings will be compared
15 to.

16
17 Next slide, please.

18
19 Here's a list of the pelagic species managed under each FMP. For
20 Puerto Rico, and Pompano, dolphin, are managed in a stock complex
21 together. Little tunny, and Blackfin tuna, are together in a
22 complex; and king mackerel and cero mackerel are together in a
23 complex. All the other species listed here are managed as
24 individual stocks.

25
26 Next, please.

27
28 At the December 2021 Council meeting, some pelagic species that
29 are new to management under the FMPs were discussed by constituents
30 and Council members. The Puerto Rico District Advisory Panel Chair
31 presented a summary from their October 2021 meeting in which they
32 discussed compatible state and federal regulations. The Puerto
33 Rico DAP recommended that the Council consider establishing size
34 limits and bag limits for recreational fishing in federal water
35 similar to the regulations in place in Puerto Rico state waters.
36 Which are seen summarized here in this table.

37
38 Following a presentation from the Beyond Our Shores Foundation
39 Director on the dolphinfish research program, Council members
40 discussed concerns about the potential for overharvesting juvenile
41 dolphinfish in the region due to fishing that occurs during the
42 influx of sargassum mats.

43
44 Next slide, please.

45
46 The Chair of the Saint Thomas and Saint John DAP commented that
47 the Saint Thomas and Saint John Fishery Advisory Committee, which
48 is a U.S.V.I. territorial committee, previously recommended size

1 limits and bag limits dolphin and wahoo for recreational fishing,
2 and that the fishery advisory committee plans to propose those
3 limits for consideration from both state and federal managers.
4

5 It was also noted during the December meeting that the Saint Croix
6 FAC had similar discussions at their previous meetings for
7 recommending dolphins in wahoo from size one. Currently, there are
8 no commercial or recreational size limits, commercial trip limits,
9 or recreational bag limits set for dolphin or wahoo in U.S.V.I.,
10 state, or federal waters.

11
12 Next slide.

13
14 Following these discussions, at the December meeting, the Council
15 directed staff to develop a white paper for size limits for
16 dolphin, wahoo, and mackerels and recreational bag limits for
17 dolphin in Wahoo. And just to note, king and cero mackerel are
18 only managed in U.S. Caribbean federal waters under the Puerto
19 Rico Fishery Management Plan.

20
21 Staff developed a white paper, which is included in the Council's
22 briefing book for this meeting. Along with this background
23 information, the white paper includes a brief history of management
24 for dolphin, wahoo, and king mackerel in the Southeast region. The
25 paper summarizes the management measures established and the
26 rationale for those measures for the species as managed by the
27 South Atlantic Fishery Management Council and the Gulf of Mexico
28 Fishery Management Council.

29
30 Next, please.

31
32 The white paper also includes a high-level description of the U.S.
33 Caribbean fisheries for the pelagic species managed under each
34 FMP, including a snapshot of landing information. These plots show
35 the annual recreational landings and commercial landings for the
36 Puerto Rico pelagic species for years 2000 through 2017. The
37 recreational landings are represented by the black bars and the
38 commercial landings are the gray bars.

39
40 You can see that for dolphin, wahoo, great barracuda, and
41 tripletail, which are the four plots on the left side of the slide.
42 The majority of the pounds landed during the time period are from
43 the recreational fishing sector.

44
45 Next slide, please.

46
47 Recreational landing's data were not collected for the U.S.V.I.,
48 so the landings presented in the document for dolphin and wahoo

1 for Saint Thomas/Saint John and for Saint Croix are only
2 commercially reported landings. Even though recreational landings
3 have not been available in Puerto Rico since 2017, or at all, for
4 the U.S.V.I., the white paper includes information on commercial,
5 recreational and tournament fishing for the pelagic species.

6

7 Next slide, please.

8

9 At this meeting, the Council could determine which management
10 measures to develop, such as commercial or recreational size
11 limits, commercial trip limits, or recreational bag limits, and
12 for which species. Additionally, the Council could revise the
13 accountability measure provision included in each FMP for the
14 pelagic stocks and stock complexes to include size limits, bag
15 limits, or trip limits as the responsive action that the Council
16 and NMFS could take when the accountability measure has been
17 triggered.

18

19 In other words, when landings exceed the annual catch target. For
20 example, if the landings for dolphin exceed the annual catch
21 target, the Council and NMFS could implement a commercial trip
22 limit instead of a management action, like shortening the fishing
23 season for dolphin. Following this meeting, staff could begin work
24 on an option paper for the desired management options.

25

26 Next, please.

27

28 Establishing minimum size limits for the pelagic species would
29 allow the Council to restrict the harvest of fish below a certain
30 size, reducing the amount of fish that could be harvested before
31 they've had a chance to reproduce. The size limit options could be
32 recommended based on an available life history information, such
33 as size at first maturity and landings and length data where those
34 are available.

35

36 For this management measure, the Council could consider
37 establishing a minimum size limit for the commercial sector,
38 establishing a minimum size limit for the recreational sector and
39 whether or not to specify the same recreational size limit in
40 federal waters of Puerto Rico that apply in state waters for king
41 mackerel, which was 20-inches fork length or for cero Mackerel,
42 which is 16-inches fork length.

43

44 Next, please.

45

46 Establish same recreational bag limits or commercial trip limits
47 for the pelagic species would allow the Council to limit the amount
48 of fish removed from the fishery and reduce the harvest of smaller

1 fish, especially for species that occur in large schools.
2 Commercial trip limits could limit catch if highly efficient gear
3 is employed in the fishery, and both commercial trip limits and
4 recreational bag it could assist in preventing localized
5 depletion.

6
7 For this management measure, the Council could consider
8 establishing a trip limit for the commercial sector, establishing
9 a bag limit for the recreational sector and whether or not to
10 specify the same recreational bag limit in federal waters off
11 Puerto Rico that apply in state waters, which for dolphins, is 10
12 per person per day or 30 per vessel per day. And for wahoo, king
13 mackerel and cero mackerel, five of each species per fisher per
14 day or 10 animals per vessel per day.

15
16 Next.

17
18 To try to assist the Council in this selection process, the white
19 paper includes a selection matrix for both the size limit and the
20 quota limit management measures. This is the selection matrix for
21 considering minimum size limit for the pelagic species under each
22 FMP. The asterisk on the species name represents the species that
23 have regulations specified in Puerto Rico state waters. So, for
24 each FMP, the Council would select either 'yes or no' for each
25 species, whether they wanted to develop a minimum size limit and
26 for which fishing sector, and then provide just a brief rationale
27 where a size limit was desired.

28
29 Next.

30
31 And this is the selection matrix for considering commercial trip
32 limits and recreational bag limits for the pelagic species. Again,
33 the asterisk are the species that have regulations specified in
34 Puerto Rico state waters.

35
36 And next is, before we start the discussion on which management
37 measures you might like to discuss. Are there any questions?

38
39 **Questions/Comments**

40
41 **MARCOS HANKE:** I don't see any-- yes. Jean-Pierre.

42
43 **JEAN-PIERRE L. ORIOL:** Thank you for that. So, Stephanie, I just
44 was curious, for the U.S.V.I., if you are aware. So, shortly after
45 the December meeting, we actually put out our draft recreational
46 limits for a 60-day public notice. I didn't see them sort of
47 referenced in the presentation. So, I was just curious as to
48 whether or not you were aware of them.

1
2 **SARAH STEPHENSON:** No. I wasn't. And so, I can include that. If we
3 move forward, I can update that information and include that.
4
5 **JEAN-PIERRE L. ORIOL:** Okay. Because I do have what the V.I.-- so,
6 we closed our public notice period in February, I think it was
7 February 21st or 22nd. So, I do have the regulations that are now
8 in the process of being signed and I have what those specific
9 numbers are. They're actually similar to the numbers that we were
10 talking about here in terms of 10 individuals per person or not to
11 exceed this amount for vessel. So, I'll share that to be posted as
12 well.
13
14 **MARCOS HANKE:** Just for the for the record and for us to be
15 informed, can you state it--
16
17 **JEAN-PIERRE L. ORIOL:** Sure.
18
19 **MARCOS HANKE:** --what those are? Because in a way that if it's
20 similar to Puerto Rico and we can start to look for some logic or
21 something that is compatible--
22
23 **JEAN-PIERRE L. ORIOL:** Correct.
24
25 **MARCOS HANKE:** --ecological, biological justifiable.
26
27 **JEAN-PIERRE L. ORIOL:** And I know that our goal was to actually
28 have these numbers to be on the compatibility side of things.
29
30 So, the new proposed regulation states that there is a combined
31 recreational bag limit of no more than 10 dolphinfish or wahoo per
32 person per day, not to exceed 32 per vessel per day. And not to
33 exceed four wahoo per person per day or 20 wahoo per vessel per
34 day.
35
36 **MARCOS HANKE:** Thank you. Tony? Have some technical difficulties
37 again. Bear with us. We'll let you know soon as soon as we fix it.
38
39 For the people online, can you hear us?
40
41 **SARAH STEPHENSON:** Hi. This is Sarah. I can hear you again.
42
43 **MARCOS HANKE:** Thank you very much, Sarah.
44
45 **ALIDA ORTIZ SOTOMAYOR:** And I can hear also.
46
47 **MARCOS HANKE:** Thank you, Alida. We have Tony.
48

1 **LOUIS ANTHONY BLANCHARD:** Okay. Where to start? Well, I have to
2 start at the beginning. We are right now in the process of coming
3 up with some numbers in order to manage the dolphin and the wahoo.
4 Now, like Miguel stated this morning, we're working with WECAFC to
5 come across the Caribbean with one management plan, by the sound
6 of it, that we all could buy into. So, we start there. I think
7 that's the first step we need to start when we start talking about
8 size limits and bag limits.

9
10 The other thing is which this is something we also need to look
11 at. The Saint Thomas, Saint John and Saint Croix, the regulations
12 that are running the dolphin of wahoo are all off of commercial
13 landing. Now, I'm willing to bet you that the recreational guys,
14 probably outnumber the commercial guys in this fishery, maybe 10
15 to one if not more. Yet we don't have those numbers on the books.
16 So, really the only one we are regulating here is the commercial
17 guy, which I don't think this is the way we need to manage.

18
19 You know, before this all-started years ago, this discussion first
20 started with Roy, sitting in the same chair, and me and Roy butted
21 heads because I told Roy, I understand how the ACL process works.
22 Once you catch and it's a species that is being managed, you also
23 have to come with an accountability and numbers to back it up.

24
25 I said, Roy, we only got the commercial landings and the only thing
26 you would really be managing off of is commercial landings. Is
27 that fair to the fishery? Basically, is what I tell him, which I
28 don't think so. When the former director was there, we started on
29 a program of collecting data for the recreational. We had asked
30 the Council, or the Council was asked basically to give us a time
31 period for Virgin Islands. A time period to come up with some
32 numbers that would reflect the fishery.

33
34 For whatever reason, the information stopped coming in. So, right
35 now we're back to square one. Where we are trying to manage a
36 fishery off of commercial landings alone, which I think you're
37 shooting yourself in the foot. And we are forced to because we are
38 mandated by law to come up with something that will not work, in
39 my opinion.

40
41 So, to the end of the day, the question is this, are we really
42 managing this fishery correctly? And in my opinion, no. So, I go
43 do, since I'm good at what I do. I go ask for exactly what I want.

44
45 I would like to see that we give the Virgin Islands, especially,
46 five years to come up with that recreational data and commercial
47 data and the wahoo and dolphin, specifically, because of the
48 numbers that we have that would not really reflect the fishery

1 that we are dealing with. So that when we come up with an ACL--
2 and when I say "we" I mean the Council, because I will not be here,
3 --that it would give a good reflection of what we are managing,
4 instead of just managing or saying that we're managing something
5 which we really need to be managing.

6
7 The other thing we need to look at is, if we are coming on a pan-
8 Caribbean level to manage these fish, maybe we need to see what
9 the other countries have out there that is working for them so
10 far, or that they are looking at before we come to the table with
11 something completely off chart to try and make it work and have
12 everybody else try bend to us.

13
14 The other thing is, I was listening at the recreational numbers,
15 because I didn't have a chance to look at that information, what
16 the commissioner put on to look at for the bag limits and the size
17 limits for the dolphin and wahoo. When he mentioned 32 wahoo per
18 boat, okay? That's what he had said, right? For recreational.

19
20 Now, I don't know if people's idea of recreation or my idea of
21 recreation is two different things. But in my opinion on
22 recreation. Recreation is you're going all day because it's like
23 a hobby to you. You enjoy the sport or the game. If you catch, you
24 catch. If you don't catch, you don't catch. I think for a boat to
25 bring in 32 wahoos because they have the ability to, because the
26 fish bite in. I don't think that's recreational. Because if you
27 look at the recreational vessels, you got guys that are running
28 aboard a property that cost two or 300,000 dollars and they got,
29 probably, four big engines on the back of it and their sole thing
30 to do is basically have fun. So, do you need to have fun with 32
31 dolphin and wahoo or 32 wahoos? Whatever it is.

32
33 So, we need to force a value, in my opinion. We need to figure out
34 what the recreational is. Because if we're managing a fishery and
35 we want such strict restrictions and the commercial guy that this
36 is all he does to make money, and this is what his sole livelihood
37 is. And then, you're having a guy that he got any kind of money
38 that he could blow, because this is just what he does. I mean, is
39 that really fair across the board?

40
41 And if you look at it, the recreational guys outnumber the
42 commercial guys, especially in Florida, you will probably have an
43 idea of what I'm saying. How much does the rec compare with the
44 commercial guys?

45
46 So, to the end of the day, who's really impacting this fishery? Is
47 it the commercial guys or is it recreational guys? If you have to
48 put the numbers together. Who are the guys that dipping into this

1 deepest? And what I'm saying is not that they shouldn't be able to
2 take home fish to eat. I'm not saying that. What I'm saying is
3 just like you have a day season in the states, because you have
4 the ability to shoot fight there for a day. Is that being that
5 allowed? No, it's not. They give you a tag and they tell you,
6 "Well, listen, you got this among for the season. You shoot them,
7 or you don't shoot them, that ain't on us, that's on you."
8

9 I think we need to have the same mindset to some degree. When we
10 manage fisheries, and we need to realize that certain guys just do
11 this because this is their job. And other guys do this because
12 this is how we have fun. And as for the head boats, they take all
13 guys and charter. Right? Before they leave the dock, they are paid.
14 Before I leave the dock, I have to make a certain amount of money
15 to cover my expenses before I come back to the end of the day.
16 These guys don't have it covered and then someone then brings the
17 same fish back to the dock and floored it and sold it for a cheaper
18 price and a black market.
19

20 So, the point I'm trying to make here is, I want to ask for at
21 least five years to give the Virgin Islands an opportunity to come
22 to the table. Yes, I asked for this before, it was three years and
23 that program stopped for whatever reason. The data stopped coming
24 in. To get an opportunity to step up now and say, "Well, listen,
25 we will get serious; we will get this data together." To actually
26 get some numbers that reflect what we do in it. Instead of you
27 saying, "We will come up with some numbers, because we got to come
28 up with some numbers" and try to work with WECAFC. And so, what
29 they are looking at the regulations, and I'm saying that we agree
30 with exactly what they say.
31

32 But I think if we come in on a pan-Caribbean level, we need to all
33 be able to work with each other and come to some kind of middle
34 ground where we could all work. So, that's basically what I'm
35 trying to bring across the table here. And I think, to me, that
36 that's a sensible thing to do but, you know, I'm probably not the
37 most sensible guy on a table.
38

39 **MARCOS HANKE:** Tony, I will take this-- I recognize your position
40 because we have a very long history in Puerto Rico. I want to look
41 to Nelson about this discussion. We traveled through those weeds
42 a long time ago. I recognize that it's different for Puerto Rico
43 and the U.S.V.I. in some senses. But on this issue, it's not too
44 different.
45

46 This is a complicated thing to address. I'm just going to give you
47 some examples. For the recreational industry, when you make
48 tournaments, there is an implication about the amount of fish that

1 you allow them to keep. In terms of the rules and the functionality
2 and how attractive the tournaments will be. That's number one.
3
4 Number two, if we don't have size limit-- this is what I think
5 there is potential to create here. If we don't have size limit,
6 four small mahi per person, if you have 6 people on the boat, or
7 five people on the boat is basically the numbers close to the 30
8 that we are talking about. And that's four little mahis that are
9 adults already, it's not a lot of meat. Right?
10
11 There is that scenario too. Puerto Rico tried to address that by
12 making a provision of no sale for the charters and for the recs.
13 There are ways to do this. I think we can put on the table the
14 discussion and learn from the mistakes that Puerto Rico made on
15 the past. I have a lot of things to say. I don't want to take the
16 time to do this now, but I recognize your point. I don't think
17 it's that simple of saying this study is too much, which I believe
18 is not because there is a deep implication for the charter and the
19 and the recreational fishermen for many other reasons.
20
21 We need to keep talking about this. Anybody else? Julian and
22 Nelson.
23
24 **JULIAN MAGRAS:** I just wanted to-- I went searching for the
25 information that was submitted before. Back on August 26, 2019, we
26 submitted a letter to the commissioner at that time, the Saint
27 John/Saint Thomas FAC submitted this letter under the Chairman,
28 Mr. Claude Berry.
29
30 I'm not going to read the entire letter, but what was recommended
31 for the commercial side because we didn't have any information on
32 the recreational side was, the fork length for the dolphin to be
33 24-inches fork length minimum size, 10 fish per angler, no more
34 than 60 fish per boat. This is commercial. For the Wahoo was 36-
35 inches fork length minimum size, with two per angler, no more than
36 six wahoos per boat.
37
38 We came up with these numbers. We held a Fishery Advisory Committee
39 Meeting down at the French Town Community Center and we invited
40 all the commercial guys who was fishing in for these species. And
41 we gathered their input, and these were the numbers that they would
42 like to see. So, I'm just supporting them. It goes back a couple
43 of years, but this is what was presented from the FAC and the
44 commercial side.
45
46 And then just a chime into what Tony was saying. We did ask for
47 that three years reprieve under the ex-director, Ruth Gomez, and
48 it was granted. We haven't revisited those numbers, the program

1 stops. I don't know where we are today. But to go along with what
2 Tony is saying, if I don't know what the process is and given us
3 an opportunity to try to regather this information both commercial
4 and recreational it would be greatly appreciated. I don't know how
5 else to put it. And we definitely need to look at the recreational
6 size and bag limits.

7
8 I guess the size limits would be across the board the same. But
9 the numbers of fish per angler per boat per day, should be way
10 down than 32. They're not selling and what happens is, if you allow
11 these boats to catch this quantity of fish, they're going to be
12 illegally selling the fish in our restaurants and hotels competing
13 with the commercial guys who have to put the money out before they
14 even go fishing. Thank you.

15
16 **MARCOS HANKE:** Thank you very much. I recognize all those
17 complications, and we need to keep discussing. I want to follow-
18 up with a question to María. this is a decision per island, right?
19 We still can divide these decisions per island based on the
20 graphics that you present.

21
22 **MARÍA LÓPEZ-MERCER:** Yeah. At this point, I mean, the islands can
23 choose different management regimes, you know, as long there is
24 enough background. I think at this point, we're gathering
25 information as to what the Council would like to do. But yes.

26
27 **MARCOS HANKE:** Okay. Thank you. Nelson.

28
29 **NELSON CRESPO:** If we start talking about this term, maybe we're
30 going to need one week. I agree with Tony. I also agree with
31 Julian. And I also agree in part with you Marcos regarding the 30
32 pieces of fish. If they don't impact the black market, that's the
33 problem.

34
35 In my opinion-- and I said this before, 10 fish for a recreational
36 vessel is more than enough. Because like Tony says, you are going-
37 - because this is a hobby, you are going recreationally. If you
38 catch, you catch, if you don't, you don't. If you got a piece of
39 fish and you can split it with the people that are in the boat,
40 it's okay. But more than 10 fish is definitely going to impact the
41 market and it's going against the commercial fishers.

42
43 **MARCOS HANKE:** Thank you, Nelson. Miguel.

44
45 **MIGUEL A. ROLÓN:** Okay, Mr. Chairman. No, I was talking about a
46 matter of procedure. The dolphin wahoo has been included in the
47 WECAFC new-- well, not new, but the Flyingfish Working Group is
48 now called the Flyingfish-Dolphin Wahoo Working Group. Because we

1 recognize, at the international level, that we have issues in every
2 country and throughout the region with these species.

3
4 In the case of the mahi-mahi, the dolphinfish, we have two species
5 at least, one in the Northern part of the Caribbean, one in the
6 Southern part of the Caribbean.

7
8 I'm sorry. In the in the case of the dolphinfish, we have two
9 populations. We have, in the past, after we tried to get the three
10 Councils of the Southeast, Gulf, South Atlantic, and the Caribbean
11 working on these two species. But we stop it because we had some
12 issues and problems and then priorities on the other two Councils.
13 Now we are dealing with the question of what to do with the dolphin
14 and the wahoo.

15
16 We included-- we, the Caribbean Council and the U.S. Delegation
17 and the WECAFC, included the dolphin and the wahoo in the working
18 group because we believe it is to the interest of the whole
19 Caribbean to address these species. There are two issues with the
20 dolphin. One is a biological issue, and the other one is the
21 socioeconomic. It's an economic issue. One is dealing with
22 allocation, but this is what you're talking about now. You're not
23 talking about the biology of the darn thing. You're talking about
24 allocation.

25
26 In the case of allocation, you have to be mindful that we cannot
27 tell Puerto Rico or the Virgin Islands and what to do in terms of
28 allocation. Unless there's a, you know, a federal issue with it.
29 So, this talk about quotas and things like that, has to be done at
30 the local level. Puerto Rico has been dealing with this for a long
31 time. Some people want five fish only and others, of course, if
32 you are recreational, you want 30 or 40 or whatever. They do not
33 eat that. They sell it for shack money or gas money. That's
34 something that has been opposed by commercial fishers everywhere
35 you have this issue discussed.

36
37 So, what we need to hear from the Council is number one, what are
38 the next steps that you would like to instruct the staff regarding
39 these two species? You have heard the presentation today. So,
40 definitely, you need information on the biology, so far what we
41 have, socioeconomy of the two species and probably you will need
42 to address the commercial and the recreational separately, if you
43 have that that information. So, you will be able to then decide
44 what to do.

45
46 In the case of the dolphin, it lasts around three years on average.
47 So, if you, let's say that you have a strict regulation in the
48 U.S. Caribbean that is not compatible with the rest of the

1 upstream, you aren't doing nothing for the biology. You may be
2 able to do something that's related to allocation.

3
4 I bring this to the discussion because, before you continue with
5 all the discussion, you need to have all the information possible.
6 That's what María is saying and Graciela. We need to get that
7 information for you in the format that you will be able to discuss
8 it. But I believe that we have allocation. We have size limit. We
9 have quotas. Those are the issues that you would like to address
10 at the appropriate time.

11
12 The dolphin-wahoo working group will meet probably this year, if
13 COVID allows. These same issues that you're discussing here, will
14 be included in the agenda. If not, we are going to meet on the
15 first part of 2023. And certainly, we would like to bring to the
16 discussion, whatever the Council decides to push for the management
17 and strategy of these two species. Thank you, Mr. Chairman.

18
19 **MARCOS HANKE:** Thank you. Graciela.

20
21 **GRACIELA GARCÍA-MOLINER:** So, María was just finding out and I
22 think Sarah is the one that knows who sent those the information.

23
24 So, we have a couple of issues. One, the definition of a
25 recreational fisher under the MSA. Second, we do have a
26 recreational fishing license that is supposed to be required by
27 anyone who is fishing recreationally in the EEZ. So, it's available
28 to Count My Fish or something like that. MRIP has not been working
29 in the U.S. Caribbean for a while now, but we'll hear from Kevin
30 about that. But there is also the local recreational license and
31 the data that are being collected by the U.S.V.I. and Puerto Rico.

32
33 So, we've been talking to the locals about what information its
34 available. What issues are they facing. And the sale of fish during
35 tournament times, etcetera, it is a big issue. It is floating the
36 market. We need to bring in the socioeconomies to deal with that
37 aspect of the regulations. But as Miguel was saying, you know,
38 there is some basic information on the biology of the species that
39 it's worthwhile also, putting on the table.

40
41 But the MSA-- can we read the definition of the MSA, which is
42 really?

43
44 **MARÍA LÓPEZ-MERCER:** Recreational fishing means fishing for sport
45 or pleasure.

46
47 **GRACIELA GARCÍA-MOLINER:** So, it's de facto then, if you harvest
48 fish from the EEZ, prohibited to be sold on land. I mean, that's

1 for example, one big issue that we have.
2
3 Can we, the federal government, do something regarding stricter
4 definition of what the recreational fishers can do, if you have a
5 permit from the EEZ, then you cannot sell it on land. So, there
6 are a lot of discrepancies in terms of what we can and cannot do,
7 or at least that's the way we feel. So, you know, in that sense,
8 we really need a little bit more direction in order for us to
9 develop something that would be hardcore.
10
11 **MARCOS HANKE:** Andy.
12
13 **ANDREW STRELCHECK:** Well, first a comment to what you just said,
14 Graciela. Typically, with prohibition of sale, it's tied to a
15 permit. Right? And so, that's the challenge here is not having
16 that federal permit nexus. But I think, certainly, we are open to
17 exploring options that could bring back to the Council with regard
18 to how we might be able to prohibit sale or what that could look
19 like.
20
21 We've kind of jumped into the debate and discussion about the
22 validity of size limits and bag limits and trip limits and I wanted
23 to take a step back. I appreciate Tony's comments coming right out
24 of the gate.
25
26 Recreational fishing has a substantial impact on fisheries
27 management, right? In the Caribbean, we don't have a fundamental
28 understanding of how much is being landed because we aren't
29 collecting that data through surveys at this point. It is
30 represented as of 2017. We've had some discussions about how to
31 stand it back up, but it hasn't been stood back up. The U.S.V.I.
32 has not collected long term recreational landings data. So, we are
33 flying blindly, a little bit, with regard to what we know or what
34 we don't know with regard to recreational fisheries.
35
36 It seems like we can all agree that if we're going to consider
37 size limits, there's some value with regard to size limits both
38 from a market, a socioeconomic standpoint, as well as biologically,
39 right. A size of maturity to prevent growth over fishing. And so,
40 what I would be interested in, if the Council's willing to pursue
41 an options paper is, determining what species we think might be in
42 most need of a size limit, and options that would look at what
43 those size limits might be and obviously consideration for
44 commercial, recreational or both fisheries.
45
46 For the bag and trip limits, you know, the trip limits on the
47 commercial side, to me really would need to be tied into, are we
48 having issues with the catch limit being met or exceeded.

1 Typically, we put in trip limits to make the fishery less
2 efficient, to control effort. In this instance, we're not regularly
3 bumping up against catch limits, so trip limits may not be needed
4 at this time on the commercial side.

5
6 For bag limits, because of my comments earlier, I mean, we may
7 want to consider exploring recreational bag limits, just as a way
8 of kind of managing effort and overall harvest, and we could have
9 staff bring back a range of options with regard to bag limits for
10 certain species where there might be a need for those bag limits.

11
12 So, I make those suggestions because I am supportive of an options
13 paper. It doesn't bind us to anything. But if we'd want to narrow
14 the focus of what the staff brings back to us, I think this is the
15 time to be able to discuss that.

16
17 **MARCOS HANKE:** Tony?

18
19 **LOUIS ANTHONY BLANCHARD:** I was glad when you guys said the
20 information. So, I will ask the same question I just asked about
21 10 minutes ago. Can the Council give the Virgin Islands five years
22 to get its information together?

23
24 **MARCOS HANKE:** Kevin.

25
26 **KEVIN MCCARTHY:** Thanks. So, just to remind everybody. The Science
27 Center, right now, is working in collaboration with the FW and the
28 Virgin Islands to develop a survey design for the entire fishery.
29 So that's rec, commercial, for hire. And in Puerto Rico, as we've
30 seen last week at the SSC meeting and at other meetings, here is
31 a similar effort going on in Puerto Rico. That's a little bit
32 farther ahead in terms of the commercial side. So, there have been
33 a number of years getting a survey designed developed for the
34 commercial sector and now DNER is working with a little bit of
35 help, very little bit of help. It's their project for sure, but a
36 little bit of help from the Science Center looking at the
37 recreational side.

38
39 So those surveys and the design of those surveys have begun. You
40 know, it's going to take a few years to get to get rolling on it.
41 So that five-year window of getting a survey design and getting
42 some pilot stuff will probably do that within five years. Then
43 there's always the question of funding to keep it long term.

44
45 So that's something we're working on at the Science Center, the
46 funding side, as well as the design side. So, there are people in
47 the field right now working on that project.

48

1 **MARCOS HANKE:** Thank you. Tony.

2
3 **LOUIS ANTHONY BLANCHARD:** Well, I don't, to be honest with you, I
4 don't see it as complicated as that. I am going to explain to you
5 why. I'm not a guy that's running any show. The only show I run is
6 my own.

7
8 But seeing that we have registration every year-- and I could make
9 this very simple. The guys are coming to register the boats. They
10 will tell you whether they rec, fishermen or they are commercial
11 fishermen by the license as a whole. Meaning, the commercial guys
12 are the only guys with license. The questionnaire could go, "do
13 you fish for such and such?" on a recreational basis.

14
15 You get the number of participants that say "yes," you tell them
16 "Okay. Well, listen, we need this information in this fishery.
17 Just like the commercial guy has to turn in a catch report every
18 time he goes out; well, you're responsible for your fishery, my
19 friend and this is what we need."

20
21 Have them be responsible for their fishery. Because remember, this
22 is their fishery too. You want you want to make people responsible
23 for something, you need to give them the responsibility, and see
24 where they go from there, and I'll tell you, whether they really
25 care about it, or they don't care about it.

26
27 So, what I'm saying is you get them the paperwork, "listen, this
28 is the papers you need to fill out every time you go out, and you
29 do recreational fishing." Have them hand it in and that's where
30 you get your foot in the door to start the gathering of information
31 for the fishery.

32
33 And like I said, I ain't the guy behind the scenes running
34 anything. But to me that would be a starting point where I think
35 is a very good starting point because you have the players whether
36 they have to come and register the boat because they have it for
37 pleasure or they have it for to make money.

38
39 **MARCOS HANKE:** Yes, Kevin.

40
41 **KEVIN MCCARTHY:** So, the purpose of this port sampling survey is
42 not to come up with a list of fishers who may be rec or who may be
43 commercial. It's to get at the landings by those different sectors
44 and the size composition of the landings by those different
45 sectors. So, it designed or will be designing a survey to get at
46 what's actually coming to the dock. So how many fish are being
47 landed and how big are they? And what species? So obviously, it's
48 not going to be limited to dolphin and wahoo.

1
2 But the idea is not so much to survey, are the Fishers saying
3 they're commercial or are they saying they're recreational or are
4 they saying they're for hire? It is to get at what are the landings
5 from those different sectors? So that's so that's the purpose of
6 that of that work. If I'm understanding your comments correctly.

7
8 **MARCOS HANKE:** I need to make a comment because before this
9 discussion, we had this discussion and actually we made some
10 recommendations to Clay Porch a long time ago about the same
11 approach that Tony was doing to Puerto Rico. Because in order to
12 design what you want to design right now, it will be very important
13 to know the universe and the style of fishing that the recreational
14 fishermen do. If they go diving for lobster, or if they go pelagic,
15 if they will go reef fishing.

16
17 That first layer of information, we are losing the opportunity. I
18 think what Tony just said is complimentary and an important first
19 layer that we don't have on hand because we don't have a license
20 first. But as an alternative to know the universe, that's a low
21 hanging fruit. I'm sticking with that saying, right?

22
23 I understand what you said. I'm really connecting the two ideas
24 with this participation. We have Jean-Pierre. Good.

25
26 **JEAN-PIERRE L. ORIOL:** So, I just wanted to make two comments. I
27 think the first is that I do not think, particularly on the
28 U.S.V.I. side, that we're going into anything blindly. I believe
29 the Southeast Fisheries Science Center, over the years, again,
30 this is my second stint on this board. Right? So, from my previous
31 stint in '13 and '14 and my previous involvements in '08, I can
32 remember a number of times where there were recreational fishing
33 surveys taking place in the territory.

34
35 I know specifically that a contractor named Peter Freeman, who's
36 a socioeconomic person, who was working with the division of
37 Coastal Zone Management at the time, was also working as a
38 subcontractor doing surveys in the territory on the recreational
39 sector back in '14 and '15 and '16 prior to his relocation to the
40 States in 2018.

41
42 Second, to your point, Tony, about the last one in terms of thing.
43 We don't want to mix the boarding registration with the fishing.
44 But exactly what you're stating, in terms of licensing, filling
45 out those reports, everything. That's exactly what we're doing in
46 the regulations. We're making sure that people apply for, receive
47 tags, have to get a permit and have to be subject to the reporting
48 requirements set out by the department. Because, again, we're not

1 trying to say that the only pressure that's out there is the
2 commercial sector. We're trying to put some of the owners as well
3 on the recreational sector, which is having an impact. And so,
4 making them subject to the same types of rules and regulations of
5 the commercial, that's the goal of the department. That's what
6 we're pushing forward.

7
8 **MARCOS HANKE:** I think this discussion is getting very deep into
9 the into the weeds, but Jean-Pierre, one comment is that we don't
10 need to know the universe of how many recreational fishermen are
11 every year, this effort that Tony just mentioned, and I totally
12 understand the value of it, can be done sporadically just for us
13 to have some information of how many people intend to go fishing.
14 And I can go back, if Kevin wants, I can share with him the
15 questions; actually, I think I did the questions with Nelson at
16 that meeting that we presented to Clay for this effort. I think,
17 please don't put that on the empty basket there. There is a
18 possibility, right? It's an opportunity.

19
20 Anyway, I need to move the meeting forward. Miguel.

21
22 **MIGUEL A. ROLÓN:** You know, to decide what you want to do. And
23 also, you don't you need to trust the scientists. You know, they
24 are not going to say something or do something without really
25 knowing what they're going to do. They have a plan to design the
26 surveys, and they are best available information that they were
27 going to collect.

28
29 But at this time, María, do you need a motion from the Council
30 whatsoever, or do you have enough instruction to follow, to
31 continue?

32
33 **MARÍA LÓPEZ-MERCER:** I don't know if Sarah has something, but I
34 think we need guidance from the Council to what they want to do.
35 I mean, if the Council is not ready to move forward with something
36 at this point, then we can certainly discuss it during the next
37 Council meeting. I mean, as Andy mentioned, bringing an options
38 paper doesn't bound us to anything. Like, we can bring an options
39 paper, you know, with some alternatives and options of different
40 management regimes that we can do and if when you discuss it, you
41 decide that this is not the route that you want to take, then
42 that's what we ought to do.

43
44 **MARCOS HANKE:** Miguel?

45
46 **MIGUEL A. ROLÓN:** Because, in that case, because you have a lot of
47 other stuff to discuss here in the agenda.

48

1 I suggest that the Council instruct the staff to prepare an option
2 paper, as suggest by Andy and mentioned by María. You will have
3 the element of judgment in the future to discuss and then you would
4 be able to know what are the gaps that you need to fill, what are
5 the information that you have in place, what are the biological
6 parameters that you need to address? And what are the socioeconomic
7 parameters that you need to address?

8
9 By the way, you need to do this for the U.S. Caribbean, I mentioned
10 that we are having this effort internationally, but our task is to
11 address this under the Magnuson-Stevens Act. And of course, we
12 need to be mindful of the international concept and so forth. When
13 they do this, they also do a review of the literature. So, all
14 this information that we are talking about would be presented to
15 you by the group that is going to prepare the option paper.

16
17 The staff has a lot to do between here and August. I would say
18 that the option paper will be ready when they have it ready this
19 year. So, if we don't do it at the August meeting, by the December
20 meeting we will be able to have that information. And remember, we
21 have good news at this meeting, which is that probably the island-
22 based FMPs will be adopted this year.

23
24 And with that, Mr. Chairman, if you all agree, I believe that the
25 staff have enough guidance to follow-up and prepare that options
26 paper. María?

27
28 **MARÍA LÓPEZ-MERCER:** Yeah. Let me bring Sarah, because this is the
29 option that she's working on. She may have additional information.

30
31 **SARAH STEPHENSON:** Thank you, María. I just wanted to see if the
32 developing the options paper, would you like that for all the
33 pelagic species that are going to be managed, which just has a few
34 extra ones for Puerto Rico, the king and cero mackerel, the two
35 tunas, great barracuda, and tripletail. Or are we only interested
36 in helping these kinds of measures for dolphin and wahoo?

37
38 **MIGUEL A. ROLÓN:** The original idea is that the wahoo and the
39 dolphin will be the poster boys for what we want to do, but
40 certainly we would like to have as much as possible information on
41 the other species considered. And that's what I was saying that we
42 cannot pretend to have everything for the August meeting. There's
43 a lot of work here aside from the other words that the team is
44 working on. So, if we can collect information on the dolphin and
45 wahoo and the species that you're saying here, then the Council
46 will be in a better position to make a decision.

47
48 We have one fellow there, the tripletail. The tripletail is one of

1 those pieces that people don't know much about but is included in
2 our recipe book. So, we probably will be trying to develop the
3 strategy for the use of the tripletail.

4
5 So, for the record, if that's what you want, then the answer to
6 Sarah will be that we would like to have the options paper with as
7 many species as possible with the workload that they have. Because
8 we don't have to do it all in one shot, they can identify those
9 species that you are in need on more information, but at least you
10 will be able to have, on the mayor ones, you will have some
11 information that you and look at where you are and where you want
12 to be.

13
14 **MARCOS HANKE:** Yes. I think all the list of species that are on
15 the board right now have to be addressed. Part of the rationale,
16 Sarah, if I go dolphinfish, as part of that catch composition,
17 there is wahoo, mackerel, blackfin and tripletail, and barracudas,
18 they're going to be there using the same base, same rod, same
19 everything. Right? And I think we need to address all of them at
20 the same time since the beginning. Just like Miguel said. Get
21 information and start this scoping action.

22
23 Go ahead, Graciela. Last one is Graciela unless Andy wants to say
24 something for us to move along.

25
26 **GRACIELA GARCÍA-MOLINER:** Yes. I was saying, we really need
27 direction on what you want to do. Do you want us to go ahead and
28 prepare an options paper for all of the manage pelagic species
29 that are in the island-based FMP. Okay.

30
31 **MARCOS HANKE:** Be mindful too that in terms of the Council process,
32 because some of them are new species, most of them, it's important
33 to start to develop the record and the management and the whole
34 information publicly. It basically is a scientific outreach for
35 the fishermen and people that participate on this meeting.

36
37 **GRACIELA GARCÍA-MOLINER:** We do, then, need to make a requirement
38 of data sharing from the local governments because they're really
39 collecting a lot of the information that might not necessarily
40 come to the Science Center, and any efforts that they are carrying
41 on so that they keep us in the loop so that we know where everyone's
42 heading, especially, you know, Puerto Rico probably is a little
43 bit ahead of the game because of the tournaments, etcetera, that
44 they do monitor.

45
46 So that's the data request that we need. I think we share that
47 with the Science Center and the regional office. So, we'll, you
48 know, following your advice, we'll get in touch with the local

1 governments and-

2
3 **MARCOS HANKE:** Yes. Please get in touch with them and follow-up on
4 your request. Next item on-- María, you have the-- María, do you
5 have the instructions and a clear record on the next steps on this
6 presentation that Sarah did?

7
8 **MARÍA LÓPEZ-MERCER:** Yes. I believe-- this is María from NOAA
9 Fisheries. Yes. We have the information that we need. Thank you.

10
11 **MARCOS HANKE:** Okay. Thank you. Miguel?

12
13 **MIGUEL A. ROLÓN:** Before we continue, just for the record. I just
14 received the letter from Damaris Delgado. In order for her to be
15 able to vote and everything, you have to have this letter. I would
16 like to read it for the record.

17
18 The letter is addressed to Dr. Andy Strelcheck, Regional
19 Administrator from the acting Secretary of the Department of
20 Natural Resources, Anaís Rodríguez, and the letter states that
21 Damaris Delgado will be the delegate representing the Department
22 of Natural Resources and as alternate will be Dr. Ricardo López
23 from DNR Fisher Research Laboratory.

24
25 So, the letter is on the record and is going to be sent to your
26 office, that way she is able to participate and vote. She's now on
27 the internet and with this, I believe that Mr. Chairman, you will
28 need to ask whenever we have a vote, what is the pleasure of
29 Damaris and Vanessa who are in the Zoom.

30
31 **MARCOS HANKE:** Noted. Thank you, Miguel. Next presentation. Let's
32 try to catch up here. It's the Ecosystem-Based Fishery Management
33 Technical Advisory from Sennai Habtes. Sennai.

34
35 **EBFM TAP Report-Sennai Habtes, Chair**

36
37 **GRACIELA GARCÍA-MOLINER:** So, Mr. Chair, Sennai is not able to
38 join us because he's attending another meeting, but Kevin will be
39 presenting for him.

40
41 **MARCOS HANKE:** Kevin. Go ahead.

42
43 **KEVIN MCCARTHY:** Thank you. So, I'm going to rely on other TAP
44 members who may be on the call or who are in the room and in fact,
45 I'm going to put over to Orian a couple of the slides because he's
46 more in tune with some of those issues than I am. So, I'm going to
47 walk you through this presentation.

48

1 I'm seeing it for the first time today. Not right this minute, but
2 today, because I think Sennai thought he might have a moment to
3 join us, but I think he's slammed in another meeting. So, I'll
4 walk you through this.

5
6 Are we advancing again without trying to? I think, yep, we are.
7 It's trying to move us along. So, I think we've got one more before
8 that. It's just an introductory slide.

9
10 This I think much of this presentation was made last week at the
11 at the SSC meeting. So, for those of you who saw that presentation,
12 this will be very familiar.

13
14 Next slide.

15
16 So, just some background. You've seen a lot of this information
17 before having to do with the EBFM policy coming out of NOAA and
18 the fisheries service. Mainly, it's just to show support for the
19 implementation of EBFM as a management tool to better inform and
20 enable decisions regarding tradeoffs among and between fisheries,
21 aquaculture, protected species, biodiversity and habitats, and
22 recognizing the interconnectedness of these ecosystem components.

23
24 There's some background there. I won't read through this whole
25 slide for you. You've seen much of this before.

26
27 Next slide.

28
29 And so, to get back to the EBFM TAP Charter, why does that group
30 exist? Why did you all, as a Council, form this group. It's to
31 provide the Council ongoing scientific advice on ecosystem-based
32 fishery management for fishery management decisions, including
33 recommendations for habitat status, social and economic impacts of
34 management measures, and ecosystem-based impacts, or stressors, on
35 sustainability of fishing practices. So, that's basically the
36 reason for being for this committee. So, that was just basically
37 a reminder to all of us and it doesn't hurt to be reminded of why
38 the committee exists.

39
40 Next slide?

41
42 So, we've seen this diagram on the left, the process of fishery
43 ecosystem plans. We began at the top, where are we now. We've, I
44 think, as a committee resolved many of those steps in that first
45 section and we've now moved on to this step two, where are we
46 going? And the step on the right is just-- the bullet points
47 underneath number two on the left are just blown up on the right.
48 And we're working through those.

1
2 So, articulate a vision; develop strategic objectives, and how to
3 develop those; assessment of risk; prioritize those strategic
4 objectives, develop a strategy; and develop some operational
5 objectives, and develop a plan to present options to the Council.
6 So that's the process of the step two. That's where we are now and
7 as a committee, and that's what we're working through.

8
9 Next slide.

10
11 So, is this where I'm turning it over to you or is it the next
12 one? I got one more. okay.

13
14 So, the goal of-- and again, this is mostly background material
15 you've seen before. The overarching goal of the Fishery Ecosystem
16 Plans is to promote ecosystem-base approaches to ensure healthy,
17 resilient and productive marine ecosystems and the fisheries
18 resources dependent upon those ecosystems.

19
20 And then there are a number of things to consider within that
21 mission. I'll just pick out a few, increases human community
22 resilience within the context of changing ecosystems. That's
23 certainly something that's receiving a lot attention at the
24 national level. Define present ecosystem status and functionality;
25 identify additional ecosystem essential species in need of
26 conservation and management. There's a whole list of issues that
27 fall within this ecosystem-based approach.

28
29 Next slide.

30
31 **ORIAN TZADIK:** Okay. I'm going to take over from here. This is
32 Orian Tzadik, EBFM TAP member, for the record.

33
34 So, the list here that you're looking at is based on a meeting we
35 had in March. These were the presentations that were given and
36 some of the list of potential collaborators. So, on the right-hand
37 side, you can see kind of the topics of a lot of those
38 presentations. They had to do with ecosystem components and a lot
39 of this kind of step one of the processes, where are we now?

40
41 So, the Smithsonian, for example, did some really innovative
42 mangrove mapping project that was really exciting and got better
43 mangrove maps for Puerto Rico and the Virgin Islands than we've
44 ever seen before. You know, likewise, we kind of worked through
45 some of this stuff and we heard from the Science Center, about the
46 strategic plan, and then obviously outreach and education. Some of
47 the CARICOOS stuff had to do with the sargassum as well. All these
48 are kind of components of the ecosystem, trying to get a better

1 handle of where we are, what's going on in the ecosystem.
2
3 What I want to point out are the two presentations that are kind
4 of highlighted on the left there and give them a little bit more
5 detail. And so, The Lenfest project headed by that's supposed to
6 be J.J. Cruz Motta and Stacey Williams and Tarsila Seara are
7 working as one of the groups creating some of these conceptual
8 models. They gave us a really cool presentation about how their
9 conceptual models are working and how they going to, from those
10 conceptual models, derive indicators. And then using those
11 indicators combined with indicators from actual data sets, they're
12 going to compare the two and see where we are and see what kind of
13 data gaps we have. I'll go into that more on the next slide.
14
15 And then also we had a presentation from Kelly Montenero, who,
16 with Mandy Karnauskas, did the-- what's it called? --Ecosystem
17 Status Report and they themselves developed indicators based on
18 the available data sets. So, it's actually really exciting because
19 we have all these different groups creating indicators that we can
20 then compare against each other.
21
22 Next slide, please.
23
24 So, I kind of ran through that really quick and we're going to
25 rewind right now and talk about the conceptual models. So, I
26 believe everybody in this room at some point has taken part in of
27 these conceptual model workshops. There are three different groups
28 kind of completing these workshops. One was the Council, one was
29 Mellivora Consulting. And then one is listed here as ISER Caribe,
30 but it's this larger Lenfest group. There were seven different
31 stakeholder groups that were represented among 32 conceptual
32 models. So, that's a huge lift, compared to many other regions,
33 that's way more stakeholder involvement than a lot of other
34 regions.
35
36 We really tried to get good representation across the board of
37 different stakeholder groups and then even within those
38 stakeholder groups tried to make sure, you know, for example, the
39 ones that we're still missing actually are some of the fisher
40 groups, the social scientists that were working on this insisted
41 that we have 13 unique conceptual models from fisher groups in
42 Puerto Rico alone. So, we're really trying to make Sure we get
43 everybody's input at a at a lot of different scales.
44
45 And then we're in the process of trying to merge these things
46 together at overall conceptual models for each island. And so that
47 starts with creating like terminology among the models. And then,
48 what they are going to do with this is, kind of, once they've

1 created the like terminology, the idea is to see how similar
2 different groups are to each other and then the same group is to
3 other groups within that group. Right? So, how does fisher group
4 on the West Coast of Puerto Rico compared to fisher groups on the
5 East Coast of Puerto Rico? And then how do those groups compare to
6 those in the Virgin Islands, etcetera. And then also, really
7 interestingly, how do the fishers compare to, let's say, the
8 managers or the academics or the DAPs. That's also all within that.

9
10 Then the idea is to kind of create this tiered approach where you
11 would be looking at these similarities among and within groups to
12 eventually get to a single conceptual model per island. Those
13 conceptual models will be based on, the components of those will
14 be based on the amount, the times, the frequency of occurrence
15 from the smaller models. Right? So, if we heard in every single
16 model that something simple, like maybe you know, pollution
17 affects coral reefs. If we heard that in every single model,
18 that'll make it to the top model. If we only heard that in one of
19 the 32 models, it likely wouldn't get to that top model.

20
21 We're going to include all of the conceptual models in the final
22 report, but this melded one will be where we then get indicators
23 from. And then I'm not going to run through this whole process,
24 but the indicators will then be used to inform the indicators that
25 are derived from the data and see how well those matches up. So,
26 what do the stakeholders think? What does the data tell us? How do
27 they overlap? And where are the data gaps?

28
29 Next slide, please.

30
31 And so, that's what this data procurement and assimilation is.
32 Again, this was presentation I think developed for the SSC. So,
33 I'm not going to go through all of these steps. Happy to talk to
34 anybody at the break about it though. The important thing here is
35 that last bullet there that is to identify data gaps between
36 stakeholders and the data derived view of the system. So how does
37 the data collect from things like SEAMAP, NCCOS, the NCRMP
38 programs. How do those data differ from that that the stakeholders
39 are telling us? Or do they? And if so, where are the different and
40 what are the gaps that we should explore further.

41
42 And then the idea behind creating these indicators is then
43 assessing risk to do with the indicators. And like I was saying
44 before, it's pretty exciting because we're going to have all these
45 different avenues of deriving these indicators, including the
46 ecosystem status report.

47
48 Next slide, please. Back over to Kevin.

1
2 **KEVIN MCCARTHY:** Okay. So, back to me. As a consequence of the
3 work that the TAP is doing, we've developed a number of working
4 groups, and you can see those on the left. I won't read through
5 all of the membership other than to say, we've reached out to other
6 groups, like the like the SSC and the Science Center and some
7 others, to help fill out these working groups.

8
9 So, we've got a conceptual model's melding working group that Orian
10 just talked about their work. Ecosystem indicators. Again, you'll
11 see Kelly Montenero there. She's been doing that work as well as
12 J.J. and others. A risk assessment group, data repository group.
13 And then finally, what we haven't filled out yet is drafting the
14 FEP because that's, you know, the ultimate result of all of this.
15 So that's going to rely on the work of all the other groups. So,
16 that's to be determined and coming in the future.

17
18 Next slide.

19
20 So, the next steps, these in red, are the completed or nearly
21 complete. Some of this conceptual model work is still ongoing. I
22 don't want to read each and every one of these, but we could
23 certainly discuss them as the Council sees fit. But progress is
24 being made. That's the main point of this first slide, then a
25 number of a number of tasks have been done or will soon be done.
26 But there are a number of things left to do.

27
28 So, next slide.

29
30 This is still on our to do list, and you can see this runs out
31 through December of 2023. So, there's a year -- a little over a
32 year and a half more of work to do in this timeline. But ultimately,
33 in December of 2023, the goal is to submit the FEP for Council
34 approval. I believe that is the last slide.

35
36 Yes. So, Happy to take any-- well, let me stop before I say, "take
37 any questions" and ask other TAP members who are in this meeting,
38 either here or online, if you've got any additional information to
39 add. I'm just going to open it up to the TAP Members. Happy to
40 hear your comments. If there are none, then I'll open it up to
41 questions.

42 **Questions/Comments**

43
44
45 **MARCOS HANKE:** It's open for question. Let's try to speed up the
46 process we are behind on the schedule. Any question?

47
48 I think the slides and the presentation was clear enough. The

1 Council is well aware of what is going on with the TAP. Thank you
2 very much for the presentation.

3

4 **GRACIELA GARCÍA-MOLINER:** You have Alida Ortiz online.

5

6 **MARCOS HANKE:** Alida Ortiz. Go ahead, Alida.

7

8 **ALIDA ORTIZ SOTOMAYOR:** The only thing is that I want to let you
9 know that in the Outreach and Education Advisory Panel, we will
10 have a meeting in July that will be dedicated to what are the
11 strategies, the outreach strategies that we can use or that the
12 group, the working group of the fisher ecosystem plan needs for
13 that plan. So, we'll have probably the same presentation that Kevin
14 is doing, and then we will discuss this with the entire panel.
15 Just to note.

16

17 **MARCOS HANKE:** Thank you, Alida. Next item on the agenda is the
18 Scientific and Statistical Committee Report. Richard?

19

20 **Scientific and Statistical Committee Report—Richard Appeldoorn**

21

22 **RICHARD APPELDOORN:** Thank you, Marcos. While we're waiting for
23 the presentation to come up, I'll just start by saying that the
24 SSC met two days last week. It's the first time we had met since
25 July, so there were lots of things to get through. Okay. The next
26 slide.

27

28 So, among the issues discussed, first was an integrative analysis
29 and visualization of the SEAMAP C data. It's a very interesting
30 presentation by J.J. Cruz Motta on the SEAMAP data and how they've
31 gone through this and basically created what they call the gold
32 standard as to say it's been proved and put into a good format
33 that now can be used to address a number of interesting questions
34 about how, in the example he gave, how communities might be
35 changing over the time, and what the drivers of those are, and
36 sometimes it might be something in the environment. Sometimes it's
37 how we've changed, how we've done the sampling. But they show up
38 nicely in the data.

39

40 We heard one from the Science Center on Caribbean branch, this is
41 something that the Council I think was briefed on, either the last
42 meeting or the meeting before that. We also had, from the Science
43 Center, an update on the research inventory, which is an inventory
44 of cataloging all the kinds of research that have been done in
45 fisheries in the U.S. Caribbean and trying to put that into a
46 database.

47

48 We also had an update on the SEDAR stock assessment matrix, which

1 is basically a look at what species are we interested versus what
2 do we actually have data that we can use to analyze and therefore
3 what species do we need to perhaps target for additional data
4 collection. So, it's kind of a data triage look at things and Kevin
5 gave us that presentation.

6
7 That's followed by an update on the spiny lobster, OFLs, ABC's. It
8 was pretty much what you guys heard this morning in very short
9 presentation. I gave a presentation on the National SSC that's
10 going to be meeting this August 15 through 17 in Alaska and the
11 subject is on EBFM and we'll be sending myself as the Chair and
12 also J.J. Cruz and Tarsila Seara as part of the ecosystem-based
13 group, representing the Caribbean Council for that.

14
15 We had presentation on the lobster selectivity study that's being
16 done. This is one of the big recommendations that came out of the
17 stock assessment for spiny lobsters. We weren't really clear on
18 the gear selectivity. So, that's underway. We got a presentation
19 of showing how they're approaching that with different traps of
20 different characteristics that made them selective for different
21 sizes and we can see how they operate with what's in the
22 environment. One clear thing that was not being incorporated in
23 that was the issue of depth and there might be larger lobsters at
24 depth. Anyway, it's an ongoing study and we have yet to see what
25 the results will look like.

26
27 Next.

28
29 We also had several kinds of presentations on the ecosystem-based
30 fishery management program. Essentially the same presentation you
31 just heard on the on the TAP. We also had a more detailed
32 presentation on the Lenfest program which was sort of what Orian
33 was talking about here and also one on how to meld the conceptual
34 model. So, they went into a little bit more detail on the
35 statistical way that they're going to approach bringing all these
36 models together.

37
38 Status of the island-based FMPs was also presented. I think you
39 have already heard that. Again, something the Council has been
40 dealt with in several meetings in the past that the SSC has not
41 been up on was the five-year strategic plan, and that has some
42 importance because it feeds into, you know, what data do we need,
43 and this is where we're working at.

44
45 So, the last 2 things there are the Puerto Rico Port Sampling and
46 Catch Validation Project, it's a summary of the MER Consultant's
47 program of port sampling around Puerto Rico and the Life History
48 Update by Virginia Shervette, I think the Council has also heard

1 that in the past.

2
3 Next? You can just hold it there.

4
5 The last 2 items there are really what I'm going to spend my time
6 talking about because what we wanted to get to, was the SSC
7 research plan recommendations and those two topics are what we
8 spend most of our time discussing and have the most relevance into
9 looking at what the research recommendations might be.

10
11 So next, back one. No. The one pack. There we go.

12
13 Okay. This is a program that was started some time ago, got
14 interrupted by María, then since, has gotten most of its stuff
15 done and report written and submitted into the Science Center.
16 They've done a lot of interesting things and one is the
17 incorporation of digital methods. So, they're at a stage now where
18 they have basically a camera system that looks down on a board,
19 that board will also function as a balance. So, very quickly, you
20 could slide a fish on the board, the video is running, so it
21 records the fish. It can measure the length automatically from the
22 grid on the board and the balance estimates the weight and you
23 move on to the next fish.

24
25 They have been teaching this system how to recognize species using
26 artificial intelligence, and I've been feeding it tens of thousands
27 of images of fishes to get it to identify those species and it's
28 gotten very good at it. And I'll talk more about that in a second.

29
30 So those incorporation additional methods have greatly increased
31 the amount of information that can be collected in any unit of
32 time with the goal, of course, of minimizing the disruption to the
33 fisher in having his catch or her catch looked at and also getting
34 more information during that time. Another thing that came out of
35 this is just the estimation of what the catch might be. One of the
36 interesting details was that 24 species accounted for 87 percent
37 of the catch. We pointed out that two species, spiny lobster and
38 conch accounted for over 50-- it was 51 or 53 percent of the catch.
39 So, you're getting a good view of what the species composition is.

40
41 We spent a lot of time talking about how this applies to expansion
42 factors. There were some really interesting things that came out
43 of this. So, some species tend to match the raw data that's
44 collected from the commercial fisheries reporting program. I
45 should point out something that Todd Gedamke and others emphasized,
46 is that none of the data sets we're looking at should be considered
47 perfect, not the MER Consultant data sets, not the commercial
48 landings data set, these are things that all have their biases,

1 and we're going to talk about those.

2
3 So, as I was saying, some species from the MER consultant data,
4 matched the raw data from the commercial reports in Puerto Rico.
5 One of the examples of that was spiny lobsters. Whereas other
6 species matched well with the expanded data, using the expansion
7 factors. As an example, that was conch. So, there's some
8 interesting dynamics going about different sectors and how much
9 they're reporting or not reporting.

10
11 There were unexpected landings that showed up. Not unexpected that
12 they showed up, but how much or how valuable they were. Two
13 examples were the common octopus. So, there's several octopus
14 species that occur in the fishery, but the common octopus was the
15 number nine species on that list. Another one was a single species
16 of slipper lobster. Again, there are several species that show up
17 in the fishery but a single species, and I forget the actual name
18 of it, showed up as number 27 on the list.

19
20 Some of the species were not targeted well. okay? This is based on
21 a pilot sampling program that ran for several months and then they
22 started running the full program and during that, they realized
23 they were not getting some things and they switched how they were
24 doing things that worked out fairly well, but they were still some
25 species that were not targeted well from the way the sampling
26 program was run.

27
28 Certainly, rare species always have a problem because you just
29 don't get enough data on those. But there are others where the
30 landings occur outside the normal sampling time or at normal
31 sampling sites. And one example was yellowtail snapper which
32 frequently the landings were made at night. Another one was the
33 multi-day trips coming back from Mona frequently, they're coming
34 in very early in the morning. And so, the port samplers were
35 missing those. So, at least they're able to identify places where
36 they think they're missing things and be able to adjust
37 accordingly.

38
39 Then there were some species that are just confusing. We don't
40 know why we weren't fitting either the expanded or not expanding,
41 so there's other dynamics that are going on with how those are
42 reporting or how they were being sampled in the MER program.

43
44 Next.

45
46 So, there are applications and next steps that can use this data.
47 So, the main point was that the full data set really needs to be
48 analyzed and you'll hear me emphasizing that again. The purpose of

1 this was to be able to better target the distribution effort of
2 port samplers so we get a better estimate of what the catch is,
3 and then subsequently what kinds of expansion factors and how those
4 expansion factors would be calculated. So, we could start getting
5 towards species specific expansion factors instead of coast wise
6 expansion factors.

7
8 One of the things we did find, however, is that the expansion
9 factors on the level of total catch do in fact work quite well
10 compared to the MER data. So, they were aligning well and that's
11 good news for how we were looking at those expansion factors. But
12 as I said before on a species-by-species basis, that's where we
13 start having problems because you're dealing with smaller data
14 sets if we were to calculate those expansion factors on a species-
15 specific basis, so. The MER data suggests that there will be
16 species that we can use expansion factors for in species that we
17 should not use expansion factors for, and there'll be other ones
18 where we need to have more information.

19
20 So, another recommendation coming out of this is that we need to
21 have continued targeted, prioritized sampling. So, this is not the
22 full-blown sampling that MER Consultants were doing, but including
23 in the normal port sampling, some more targeted sampling to address
24 certain things.

25
26 One of the things that has come out of this, using this digital
27 technology is that we can provide species composition of the catch
28 from using these digital tools. And this means that on landings
29 forms where we have aggregates like parrotfish, or something like
30 that, we can use the data coming from the port sampling to actually
31 split these into species-specific groups. And that's because we
32 have the technology now to recognize the species as a fish is
33 sliding across this digital board. And so that will give us a much
34 better view at what our composition is for species we're not
35 collecting that species-specific data on. And this relieves the
36 burden of doing that from the fishermen. So, we don't ask them to
37 start identifying everything they catch. We can do that using these
38 digital tools.

39
40 It also provides length-frequency data which is essential for
41 looking at mortality and changes in mortality over time, or say,
42 the relation of the catch in population to the size of maturity,
43 for example. So, if you're sliding these fish across the board,
44 you're getting length frequency information. When I say, targeted
45 prioritized sampling, if we're interested in looking what's
46 happening at specific species, say, our indicator species for the
47 various groups or something's coming up for SEDAR in a few years
48 and we want to make sure we have good length frequency data, we

1 can target our sampling for that.

2
3 Third thing that we're hoping to have this kind of program do is
4 verify expansion factors and as I said, get those down to species
5 specific, if we can get. And because this is targeted and
6 prioritized, this is all done at a much-reduced effort and cost
7 compared to what the MER program was doing. So, with a little bit
8 more effort and costs, we could get much more benefits out of the
9 port sampling that we're doing now. I don't think the effort is
10 the problem, as Kevin reminds us all, cost isn't an issue that
11 we've all had to deal with and, you know, everybody's looking at
12 ways about how we can do all those, because we recognize the
13 urgency of that.

14
15 And so again just to reiterate the last thing would be to
16 incorporate these new digital methods into the port sampling
17 program for Puerto Rico. And eventually, the Virgin Islands as
18 that comes to fruition.

19
20 Next.

21
22 So, the last thing was the Life History Update that was given by
23 Virginia Shervette. Life history information, we're talking about
24 is age, growth, longevity, maturation, age and size of maturation,
25 and spawning seasons. And she gave us-- I know that Council has
26 heard her give a presentation before. She went into a very long
27 and detailed species by species account. I don't think I have all
28 the species up here. These were just the ones in my notes. So, red
29 hind and coney for the groupers; mutton snapper, Blackfin, queen
30 snapper and silk sapper; hogfish; the parrotfishes are the
31 stoplight, queen, redband, and princess parrotfishes; and
32 also, white grunt.

33
34 So, in each one of those, she went through, you know, how much
35 data does she have? What islands are they coming from? What gears
36 are they coming from? What do we know so far in terms of, say,
37 oldest individuals to date, etcetera?

38
39 Next.

40
41 And kind of summarizing across those things, appears that the
42 otolith ageing techniques that are being used are well validated.
43 And I should point out that although, Virginia was giving
44 presentation, and she and her lab have done a lot of the work.
45 This is a collaborative effort across lots of people, agencies,
46 fishers, etcetera, who are feeding data into the system and trying
47 to process this.

48

1 Data collection and processing tend to be really good when there
2 is funding for that, but most species are being done on kind of an
3 ad hoc or opportunity basis. That is to say, programs are sending
4 samples to her lab and she's trying to process a number of these
5 with available funds. You are kind of just sticking them in the
6 pipelines as they go through. A lot of people have been helping in
7 that. The Puerto Rico fisheries lab sends a lot of stuff from
8 SEAMAP. I know Julian's been really helpful in getting things from
9 the Virgin Islands. But it is as an opportunity on an ad hoc basis.
10 There is potential gear select issues when trying to look at things
11 like growth and so, for some species, there needs to be more
12 targeted sampling to make sure that we get the samples to be able
13 to parse out that selectivity.

14
15 She gets a lot of gut samples that are stored when they're
16 available, and they could be used for diet composition, but they're
17 not being really processed now because of lack of funding.

18
19 The opportunist. She gets a lot of opportunistic gonads and gut
20 samplings, but frequently, as I say, more often than not, these
21 are suffering because they're not properly iced or otherwise
22 preserved before they hit the dock. And for the gonad samples, she
23 was commenting that that already degrades the viability of those
24 samples for that kind of work. So, although she's been pursuing
25 opportunistic things, when possible, even that effort suffers from
26 things beyond her control.

27
28 Next.

29
30 So, all this says, kind of, there needs to be more targeted work,
31 and that targeted work needs to be linked to priority species,
32 say, as we're coming up to SEDAR or, again, just targeting those
33 species who are the indicator species under the management plans,
34 and all those priorities need to be targeted with funding. So, if
35 you want to have you know, age, data or life history data for
36 species x, and we know this is coming up, there should be a funding
37 program that is allowing that to be done either, you know, her lab
38 or someplace else, but it's really difficult to do all this stuff
39 without that kind of coordination between getting the work done
40 and deciding what species you want to have done and having the
41 funding there to complete all that.

42
43 Next.

44
45 So, all of this then fed into research recommendations. This is
46 something we had hoped to spend more time on. Our last formal
47 attempt was back in 2014, so that was a while ago. We had only two
48 hours to make this discussion. Nevertheless, that 2014 study was

1 useful because a lot of the questions still remain. A lot of those
2 priorities still remain. Nevertheless, we did not go through all
3 that report in the two hours. So, what we were able to do is, first
4 of all, it was weighted by that plan. It was weighted by the
5 presentations on port sampling and life history that I've just
6 gone through. It was weighted, I think, mostly on things related
7 to stock assessments, at least initially, but we got other things
8 in there.

9
10 There are new developments, EBFM, what we call the (h)(2)
11 flexibilities and if you remember, those are flexibilities for
12 setting OFLs and ABCs when catch data are insufficient. So, we
13 could look at trends and say, catch per unit effort and set OFLs
14 and ABCs in terms of catch per unit effort rather than actual
15 biomass. E-reporting is coming online, both in Puerto Rico and
16 Virgin Islands. There are digital tools like what MER Consultants
17 was using, and so some of our recommendations dealt with those
18 kinds of things.

19
20 In the end, what we did was just kind of produce a bullet list of
21 research priorities as a starting point. So, we really didn't have
22 a discussion or formal ranking of these bullets. So, this is not
23 necessarily an inclusive list at all or exclusive list. There's a
24 lot more work to be done, but it's a starting point. And having
25 said that, I'll go through the bullets.

26
27 So next slide.

28
29 Grouped into a number of headings. So, first thing would be to
30 improve the landings data. At the top of our list, as I mentioned
31 before, was to analyze the MER report from the Puerto Rico
32 landings; to improve the port sampling; to improve expansion factor
33 estimation, and its application; and to increase the length
34 composition data.

35
36 It would also-- the next bullet is to improve landing's data
37 collection via digital tools. Again, kind of a message that came
38 out of the MER project. Evaluate digital formats for reporting and
39 validate versus paper reporting. So digital formats for catch
40 reports are being starting to be used in Puerto Rico on the Virgin
41 Islands. We think there's some space there for those to be
42 evaluated and then also compared to how they perform versus paper
43 reporting.

44
45 And lastly, initiate a MER-style study of landings in the U.S.
46 Virgin Islands. I understand that is in the works someplace. We
47 strongly recommend that that effort be given priority.

48

1 Next?

2
3 So, the next group is the collection of biological data for life
4 history and population parameters. So, we want to improve
5 biological data collection via digital tools. Again, we can,
6 particularly length information from those. And then, we'd like to
7 have timely prioritization of collection by species, as to say,
8 what species do we need? Again, what a seed are going to look at?
9 What do the island-based plans require for their indicator species?
10 Let's prioritize those and get data collection targeted for those.

11
12 There was also, as part of this recommendation, that we review and
13 formalize the stock prioritization process. We had one
14 recommendation for effort estimation. I was generally acknowledged
15 that estimating effort is difficult, even from the catch data. And
16 so, it was suggested that we develop alternate methods for
17 estimating effort. One of those that came out would say, the
18 [inaudible] of using drones to get an aerial picture of how many
19 boats are out and where they're located to get an idea of what the
20 fishing effort might be. This would obviously bring in any kind of
21 vessels that are out there, both commercial and recreational.

22
23 Next?

24
25 So, EBFM. I'll admit from right from the start that this is kind
26 of a catchall heading, for two reasons. One, there are things that
27 didn't fit nicely into other things, but they deal with EBF kinds
28 of issues like closed areas. And the other reason is that, as
29 you've already heard, the EBFM effort that's underway through the
30 TAP is going to be producing, at some point through their analysis,
31 a detailed, I think, analysis of where the gaps are in our data to
32 be able to implement EBFM and use those indicators that we would
33 like to have. So, those things are not in this list because they
34 haven't given those to us, but they're going to be coming in the
35 next year. So, keep that in mind.

36
37 But what we have here now is to evaluate the effectiveness and
38 impacts of closed areas, and there's some multiple themes on this
39 below. Develop habitat maps from existing national ocean surface
40 multibeam and lidar data. So, they have the capability of taking
41 that data and generating habitat maps which they demonstrated some
42 years ago with Abrir la Sierra. Habitat maps are really important,
43 not just for EBFM, but for a lot of the sampling programs,
44 especially something, the independent ones like SEAMAP really
45 would be much better if we had habitat maps.

46
47 Review the status of spawning aggregations within closed areas and
48 evaluate the closed seasons, the timing of closed seasons relative

1 to the timing of spawning seasons. Investigate the functional
2 ecology of our habitats, that is to say, has some of that function
3 been degraded because the habitats themselves have become degraded
4 either through climate change or coastal impacts or whatever?

5
6 And construct an electronic species habitat database. Much in line
7 of how the Center is working on their research inventory. You know,
8 could we have a database on species habitat use as well?

9
10 Next.

11
12 In preparation for the (h)(2) flexibilities, I think there should
13 be some simulations to test alternative ACLs or actually it's ABCs
14 and OFLs for using (h)(2) flexibilities. How to incorporate
15 uncertainty into defining ABCs from OSLs. And again, we need to
16 collect life history information to run simulations in the same
17 way that we would run SEDAR. So just emphasizing the need for more
18 life history information.

19
20 But just as to be able to run the models that we ran with spiny
21 lobster for the last SEDAR, there was a whole management strategy
22 evaluation process that ran actually two years, I think, to learn,
23 using simulation, how to approach the models and what models could
24 do best under what data scenarios, we would need the same kind of
25 simulation testing for alternatives under these (h)(2)
26 flexibilities.

27
28 For monitoring and surveys, another heading. We want to continue
29 and expand monitoring and surveys. So, monitor a program for fish
30 population in closed areas. Obviously, the fishery can't do that
31 because they're closed. Expand, enhance, whatever you want to call
32 it, cooperative fisheries-based surveys. That was something that
33 was emphasized repeatedly that all this works better if we're doing
34 this collaboratively and cooperatively. And to that, there was
35 really interesting suggestion to train and delegate to fishers,
36 fisheries monitoring activities. And that was based on some
37 programs that I think have been developed for the Great Lakes where
38 they've specifically had trained partners for that, and it worked
39 really well. So, to my understanding, I'm not familiar with these
40 directly, but these are the kinds of things that the SSC would
41 like to be able to get back together and discuss so we can elaborate
42 on some of these. Remember, these are just bullet points that
43 people kind of just put out there, and I've cut them down to reduce
44 their redundancy.

45
46 Next.

47
48 I think there's, yeah. So, socioeconomic data for management.

1 Determine the economic values of fisheries that can be used in
2 assessing benefits and costs for alternative management measures.
3 And periodic systematic collection of data to provide a baseline
4 and compared to bases for social impact assessments. So, it's sort
5 of the same thing as the previous one except the social data
6 instead of economic data. And a sub one on that was research to
7 assess and integrate local ecological knowledge into decision
8 making. So again, trying to utilize the information from our
9 fishers much more effectively and continuously into that process.

10
11 And all of the above would be facilitated, not just this thing,
12 but all the recommendations that I presented would be facilitated
13 with an MOU between the Council, the Science Center and the
14 territories for how they're doing their monitoring and data
15 collection. So, we're all kind of on the same team as, what species
16 do we want to look at? What data are we trying to get from those?
17 When are we going to do those analyses? So, when it comes time to
18 do them, we have what we need with, you know.

19
20 We all recognize we have limited resources both in personnel and
21 in time and the more we're on the same page about what we want to
22 do, the more effective we're going to be using our personnel and
23 our resources. So, I think that's it. Thank you.

24

25 **Questions/Comments**

26

27 **MARCOS HANKE:** One burning question for the-- Any question? Because
28 we're really behind the schedule. Kevin.

29

30 **KEVIN MCCARTHY:** This isn't too much a question as a comment
31 getting back to the review of the MER study in Puerto Rico. I just
32 heard, coincidentally because we've been after this for a while.
33 I think the end of last week, or maybe this week, that we got some
34 money from headquarters to do a CIE review, which may not be what
35 everybody wants to do, but is one mechanism to review that. So
36 that money is coming through. We may be able to get that reviewed
37 either beginning in July, which may be optimistic, but it may not
38 come through until October. But the money is there and available
39 so that will move that process along.

40

41 **MARCOS HANKE:** Thank you.

42

43 **RICHARD APPELDOORN:** Kevin, that's really great news. And you know,
44 I actually argued with Kevin last week, it was like, well, CIE is
45 kind of like over the top in terms of, you know, what maybe needs
46 to be done, but if we can get that, wow, you know, that'd be great.

47

48 **MARCOS HANKE:** Miguel?

1
2 **MIGUEL A. ROLÓN:** Thank you, Mr. Chairman. Just to tell Graciela.
3 Please, meet after the meeting. Sometime in the future, meet with
4 Richard and to identify from the list of dots any project that
5 might be of priority to the Southeast Fisheries Science Center,
6 but specifically to the SSC. And then, maybe we can identify some
7 that can be funded by the Council. Some of those studies that
8 Richard and the SSC Group believe are burning question that we
9 should address as soon as possible.

10
11 **RICHARD APPELDOORN:** Alright. I could sort of do that just based
12 on the discussions we have, but we actually didn't get to a point
13 of trying to rank any of these things. I guess the take home
14 message, which I should have repeated at the end is, the SSC wants
15 to come back at this and have a lot more time to give you something
16 much more formalized. So, to the degree that we could schedule a
17 meeting to that, that's what we would like.

18
19 **MIGUEL A. ROLÓN:** That's what I was pursuing. So, please take note
20 and between Richard and you can put together a meeting. It could
21 be a Zoom meeting, but if we can do it hybrid, that's the way to
22 go. So, if we do that before the next meeting, and in between, the
23 Chair and I have the authority to allocate some of the funding for
24 the specifics that you addressed.

25
26 But the important part is that, after hearing that presentation,
27 we want to hear from the Council. Do you agree with that? Do you
28 agree that we should prioritize and then have this meeting and put
29 some money into it? Because I'm scared with the whole list. Who
30 the hell is going to do all that? But Richard knows that too.

31
32 **RICHARD APPELDOORN:** You know, and you can see there that we didn't
33 even talk about recreational landings, which is -

34
35 **MIGUEL A. ROLÓN:** Yes.

36
37 **RICHARD APPELDOORN:** -- is obviously a big issue. This is, you
38 know, at the end, we were just okay, everybody gave us their top
39 things and we created a list and pared it down to reduce
40 redundancy.

41
42 **MIGUEL A. ROLÓN:** Yes, so I suggest allowing Graciela and Richard
43 to put together a meeting, an agenda and the timing for that. That
44 should be between here and in August. I know that summer is coming
45 very quick and some of you that belong to the SSC, you have your
46 duties with the university and so forth. So, if you agree with
47 that idea, then Graciela can take charge of it.

48

1 **MARCOS HANKE:** I think we all agree with that. I don't see anybody
2 in opposition to that, especially because you're going to have a
3 meeting to make the priority and to have a final product for the
4 Council to evaluate later. Graciela, please?

5
6 **GRACIELA GARCÍA-MOLINER:** One thing, the SSC received the strategic
7 plan of the Council. I mean, that specifies strategies. Things
8 that the Council wants to get done that the stakeholders have told
9 us to direct our attention to. So, between the SSC, the Science
10 Center, the technical advisory panel and the Council, I think, and
11 the regional office, we can all move this forward in a very
12 directed way. I hope, I think.

13
14 **MIGUEL A. ROLÓN:** The thing is we don't need to come back to the
15 Council to tell you or ask you whether we do it or not. You already
16 approved it. Time is of the essence because the budget now--
17 Anyway, we can do it with the authority that we have.

18
19 So, after this meeting, we can, you know, choose what are the
20 priorities and identify who can do it, and maybe go into the
21 bidding process and what have you. But this is excellent. Thank
22 you very much, Richard.

23
24 **MARCOS HANKE:** Okay. Let's keep going with the agenda. I have to
25 be-- let's go with the next presentation. Kevin with the Southeast
26 Fisheries Science Center update.

27
28 **Southeast Fisheries Science Center Updates--Kevin McCarthy**

29
30 **KEVIN MCCARTHY:** Thanks, Marcos. I'll try and be quick. So, this
31 is just the update from the Science Center, the Caribbean fisheries
32 branch. I think I took credit for more than just the fisheries
33 branch, I should point out now that there are three branches at
34 the Science Center that have the name Caribbean in them. There's
35 the Gulf and Atlantic-- or sorry the Gulf and Caribbean reef fish
36 branch. There is the Atlantic and Caribbean reef fish branch and
37 then there's the Caribbean fisheries branch which I'm in.

38
39 Next slide.

40
41 So, what we're going to see here. I'm going to give you an update
42 on we stand with some stock assessments, our strategic planning
43 work at the Science Center, the Caribbean Research inventory.

44
45 You've seen that presentation before, so I won't spend too much
46 time there, but just to give you an update. Port sampling design
47 work. Gear selectivity studies. The data triage work or the
48 matrixing that it's sometimes called.

1
2 Next slide.

3
4 So, we'll start with stock assessments. So, this has got a lot of
5 information on it. We're not going to dive into all of it other
6 than to give you enough for it to serve as a reminder for me to
7 tell you about SEDAR 80. This is Queen Triggerfish on all the
8 islands.

9
10 Lead analyst is Nancy Cummings. Adyan Rios is heavily involved in
11 the project as well. We've got a timeline there on the right. We
12 are currently in the middle of the modeling exercise; all the data
13 are in, and Nancy is working on models. Because we are now island
14 based, that means that we're really doing 3 individual stock
15 assessments. That is something to keep in mind.

16
17 One of the big milestones that we've had in this assessment is
18 that for the first time we're using indices of abundance and we're
19 also incorporating local life history information out of Virginia
20 Shervette's lab. The goal is to have this done and to SEDAR by
21 July one and to the Council a week later.

22
23 Next slide.

24
25 We talked a little bit about this. María did earlier today, we
26 will have a spiny lobster update assessment, which should inform
27 OFL and from there, ABC and ACL, but that's the work of other
28 groups, the SSC and Council, but OFL should come out of that. This
29 is going to be pretty much a strict update assessment following on
30 from the assessment that was done a few years ago. We think it
31 will be done. The plan is to have done for the fall SSC meeting.
32 What will happen is that we're going to update the length and
33 landings data, life history information will be the same. The
34 terminal year of the data is dependent upon the availability, in
35 Puerto Rico anyway, of the electronic logbook data. So, we're
36 working on that issue, but it will be complete through 2021 for
37 the Virgin Islands.

38
39 An operational assessment for spiny lobster is on the calendar for
40 2024 and in an operational. We will revisit life history
41 assumptions. We will look at additional data sources for inclusion
42 in the model. But for this year, the only new data that we might
43 include would be the gear selectivity information as it is
44 available. So, if that's available, we'll include it. If not, it'll
45 be a strict update with just updating the time series of landings
46 and length information.

47
48 Next slide.

1
2 So, upcoming. I hope I got the right species in here. So, in 2023,
3 we'll be looking at yellowtail snapper in Saint Thomas/Saint John,
4 and in Puerto Rico, and stoplight parrotfish in Saint Croix. And
5 as I mentioned, in 2024, it'll be spiny lobster assessment for all
6 islands.

7
8 Next slide.

9
10 So, let's look at our strategic planning efforts. So, the goal is
11 to develop a strategic plan for data collection, analytical best
12 practices, outreach and education in the U.S. Caribbean. I don't
13 mean outreach and education by the Council. This is for Science
14 Center. The first year we're looking at the Science Center work.
15 So, here's a bunch of people whose many of the names you may
16 recognize. They're all principal investigators in this work. But
17 we will be getting information and input from more people than
18 what you see on that list. These are just the people who helped
19 write the proposal and get the money.

20
21 Next slide.

22
23 So, we've got three years of funding. The first year, what we're
24 going to focus on is the Science Center. We want to get the Science
25 Center strategic plan in order. Then in the second year and moving
26 forward, we'll be involving the Council, Council staff, SERO,
27 territorial partners, lots of other people. And what we're going
28 to do in the first year is identify data gaps, many of them are
29 recognized through their projects inventory in the data triage,
30 which you'll see in a in a few minutes. We want to optimize data
31 collection strategies, prioritize and coordinate them.

32
33 As Rich mentioned, we all know that there are resource limitations
34 and so with those limited resources, we need to get the most bang
35 for our buck. And we want to improve process. So, data delivery
36 systems and analyses. We want to be very efficient. We don't have
37 a big staff, so we don't want to spend a lot of time doing analysis
38 that we can improve and automate.

39
40 So, we've got a planning workshop coming up on the sixteenth
41 through the nineteenth of May. There will be Council and SERO folks
42 who were there, sort of as observers. But, again, this is a Science
43 Center plan that will then be expanded in the coming year.

44
45 Next slide.

46
47 So, we'll move on to the Caribbean research inventory. This is a
48 this is a work that you've seen in the past. Rachel Eckley has

1 presented it. Really what is, is an inventory or database of U.S.
2 Caribbean work. We started with NOAA funded projects because they
3 were the easiest one to find. But we haven't limited it to that,
4 but that's still the primary objective. And so, it identifies
5 existing data sources that were NOAA funded. We can use it to
6 identify data gaps. We can focus on areas for additional data
7 collection. But what we're building is a central centralized
8 repository, and it's a searchable database.

9

10 Next slide.

11

12 So far, Rachel's cataloged 542 different projects, over 1200
13 documents. It's uploaded to what we're calling the online database
14 manager. This is a system that resides at the Southeast Fisheries
15 Science Center, so it's a searchable database. It includes a bunch
16 of other data sets. We've got a management history. We've got HMS
17 pelagic logbook history. We've got morphometric conversions. So,
18 there's a lot of other data sets that live in there that we can
19 use, but we're adding to that ODM, as it's called, this Caribbean
20 data set as well.

21

22 Next slide.

23

24 So, they're currently working on formatting this online data
25 system. Upcoming, we'll want to get some folks who are involved as
26 testers. So, people who go online, log into this system, and search
27 it, and use it, and see where it breaks, so that we can fix it,
28 and/or make it more user friendly and the try to fit the needs of
29 the users. So, we'll be looking for people to help test that in
30 the future.

31

32 Right now, it's a limited access system but we're going to
33 investigate how we can add outside folks to have access to this
34 database. I don't quite know what that's going to look like because
35 I don't own the database at NOAA. But we're going to see what we
36 can do. In the future, the plan is to add additional non-NOAA
37 funded work. Like I say, as we come across those, we're adding
38 them, but primarily, we're focused on the NOAA funded research. I
39 already mentioned the accessing the data.

40

41 So, next slide.

42

43 So, let's look at some other projects that are in progress. So,
44 the Puerto Rico Survey design project, Rich, spent a lot of time
45 talking about that, so we won't dive into that too much other than
46 to say we're really happy with the way that is coming to be. We
47 worked with MER for a number of years on that beginning way back
48 when Steve Turner was still around, if any of you remember him.

1 So, it's been quite a few years and it's nice to see that coming
2 along as well as it has.

3
4 So, one of the bullet points for research recommendations coming
5 out of the SSC was to do something similar in the Virgin Islands,
6 and that's exactly what that second one is. The U.S. Virgin Islands
7 Survey design project. That's where the Science Center is in
8 collaboration with DFW in the Virgin Islands to do a very similar
9 kinds of study, except to say that it's expanded beyond just the
10 commercial fishery. It will include recreational fishery, the for-
11 hire fisheries. The attempt to get the entire fishery and all those
12 sectors.

13
14 We've got another project that we ran into some contracting issues
15 last year, but we think we've got those smoothed out so we will be
16 able to move the money this year to help with that artificial
17 intelligence work, that machine learning that Rich talked about in
18 processing samples. The goal there is to improve port sampling
19 efficiency, so that the fishers are not standing around waiting
20 for the port samplers for too long.

21
22 Rich also mentioned the lobster trap selectivity project. That's
23 I believe wrapping up. So hopefully, in the not-too-distant future,
24 we'll see the report and the information coming out of that.

25
26 We've got similar project again with DFW as a collaborator in the
27 Virgin Islands. We're also collaborating with University of the
28 Virgin Islands, and the park service. They've provided divers to
29 do supplementary work for those trap selectivity projects in the
30 Virgin Island.

31
32 Next slide.

33
34 Okay. A couple more. I think I've already mentioned that top one,
35 so I'll skip it. We're also working on life history. Again, as
36 Rich mentioned, life history is a big important part of stock
37 assessments among other things. Our interest is primarily in the
38 stock assessment application. So, we've got a project where we're
39 looking at shallow water, getting samples from shallow water. It
40 says lobster, but that's incorrect. This is not limited to lobster.
41 The issue we're trying to get at there is where are all the small
42 fish? Because you'll see a lot of information in life history. You
43 see a lot of curves, growth curves, and things like that. And
44 often, they're under sampled for the small fish because that's not
45 what fishers bring back to the dock. You'll see a lot of samples
46 in the size range where fish are landed, but not very many when
47 they're small and sometimes not very many where they're very big.
48 So, part of this life history project is to identify where can we

1 find those small fish? So that is a cooperative research project
2 that is working with the fishers in Puerto Rico to find the habitat
3 that those smaller fish are in and to sample them effectively.

4
5 We've got a lobster recruit survey as well. That's been going on
6 for about a year now. Also, it's a cooperative project working
7 with commercial fishers in Puerto Rico. The idea is to get an
8 abundance index of those lobsters that on the next molt or two
9 molts are going to be big enough to be caught in the fisheries and
10 what can that tell us as a predictor for how many lobsters we think
11 are okay to catch in the coming year. So, it's sort of this
12 predictive model of catches next year?

13
14 I mentioned the management history database. This is just a
15 database of management actions. A lot of our data are fishery
16 dependent, meaning they come out of the fishery and so they're
17 affected by management actions. If you change a minimum size,
18 that's going to change catch rates, because the catches coming
19 back to the dock are going to differ. If you increase the minimum
20 size limit or if there's a closed season, those sorts of things
21 really impact the data, and we have to understand them. So, we
22 spent a lot of time on that management history database. It
23 includes not just Caribbean data, but data from the entire
24 Southeast.

25
26 The electronic logbook data is not our project, but we are working
27 with ShellCatch, with DNER, with ACCSP, with other folks at the
28 Science Center to migrate the data from the ShellCatch cloud
29 database to another storage place where we can access it. "We"
30 being the Science Center. Because right now we don't have direct
31 access to those data.

32
33 There was also a lot of talk about correction factors and their
34 calculation. That takes DNER staff a lot of time. It's very
35 burdensome. And so, we're looking at ways to automate the
36 calculation of that correction factor. And if we do that, you know,
37 that that opens up a possibility of getting, as Rich was talking
38 about, those species-specific correction factors. So, we can move
39 away, perhaps, it's not our call, It's DNER's call, from a single-
40 - well, there's a single expansion factor for each coast, North,
41 South, East, West. And if we want to make that specific to species,
42 having an automated way of making that calculation will make that
43 process a lot easier.

44
45 So, we're hopefully headed in a positive direction there where we
46 can relieve some of the DNER staff burden for getting these
47 correction factors and maybe have them sooner in the year than we
48 have had in the past because it's so burdensome to make those

1 calculations as in the current process.

2

3 Next slide.

4

5 Okay. So, I'll go through this quickly. So, the date of triage.
6 So, this is just a schematic of the whole stock assessment process.
7 You know, there's data collection, then there's a modeling phase,
8 then we give some catch advice. Then it moves over to management,
9 which is you all, and setting, you know, once we get that
10 management advice as in overfishing limit. Then from there, you
11 all make decisions about catch limits and catch targets and ABCs
12 and all of that sort of thing.

13

14 So, in order to have this process work well, and get to a place
15 where we have the best chance of success we went into this review
16 of the data, which we're calling the data triage. So which data
17 are available to inform this process? Because if you don't have
18 abundance data, that can be a problem. If you don't have the
19 biological data, the life history data, that's a real problem. If
20 you don't know the catch, that's a real problem. If you don't know
21 the size composition. All of those things, if they're missing,
22 really mess up your chances of having a successful stock
23 assessment.

24

25 So, we don't want to start in a whole. We don't want to start
26 knowing, "Hey, we want to do such and such species" only to find
27 out that we're missing critical data. So that's the purpose of
28 this project. To identify those species that have the data right
29 now that we think we have a good shot at attempting a stock
30 assessment or we can identify those species that are maybe missing
31 an important piece and that's where we put resources towards. You
32 know, if we're missing life history on a particular species, let's
33 fund some life history work on that species.

34

35 So, next slide.

36

37 So, this is kind of what it looks like here. So, you could see
38 this is Saint Thomas and Saint John. These are the top ten species,
39 and they're the top ten species in terms of number of fish that
40 have been measured through the port sampling over the years. So,
41 across the top, you've got commercial landings. We know the
42 commercial landings by species in Saint Thomas and Saint John
43 beginning in 2011. That's really the middle of 2011. So, the
44 beginning of that fishing year. Most of them are 2011, except for
45 spiny lobster, which had always been reported by species going
46 back to 1974. So that's really an impressively long time series.

47

48 We've got size composition for these species. Again, you'll see

1 the number of years. I think that when we did this analysis, I
2 think we went through 2019. So, from 2019, back 31 years, we've
3 got size data for yellowtail snapper.

4
5 Here green means we think it's sufficient for an assessment. The
6 purple we're still investigating. The black means we don't have
7 the data. And that sort of orange color, TBD, is also something
8 that requires more investigation. So only one of these is coming
9 up black, that spiny lobster, because you'll see on the right
10 index, that means a catch per unit effort series. Fishery Ind is
11 fishery independent survey. And in this case, it's a diver survey,
12 and that diver survey was not designed to go after spiny lobster,
13 it was designed for finfish. So, that's why you're seeing that x,
14 that black box. So, so there's still a lot of investigating to do
15 particularly life history and the index work but it's progressing.

16
17 So next slide.

18
19 We won't spend a lot of time on these. These are the last couple
20 of slides. So, Saint Croix, similar layout. Again, these top ten
21 are the top ten because they the most animals measured. So, again,
22 you know, it's very similar to Saint Thomas in terms of a time
23 series of data, and the size composition. Where you see these
24 purple, the size composition samples per year, when you dive into
25 those data a little bit, you want to have some minimum number of
26 animals that were measured each year. And we're still unclear as
27 to whether we have sufficient sample size, year by year a year and
28 which years are covered for those bottoms, what, five species.

29
30 Life history, still have a lot of homework to do. As far as the
31 indices go, fishery independent is not going to work for blackfin
32 snapper or for redbtail parrotfish. They're just not seeing a lot
33 of redbtail. Any deep-water species is going to be problematic in
34 a diver Survey. So, if they're not seeing sufficient numbers there,
35 they're going to get that black box. The purple may change as well
36 as we dive more into those data and look at sample sizes. I won't
37 get into all the technical stuff now, I'm happy to talk about it,
38 you know, offline.

39
40 Next slide.

41
42 And here the same for Puerto Rico. A few more black boxes because
43 we've got some deep-water stuff like a silk snapper, they're just
44 not going to see those in an in a diver survey. The divers may be
45 in the wrong habitat for laying snapper, for example, and they're
46 not after spiny Lobsters, so they're in the wrong habitat for that.

47
48 Oh, before you move on, I should also say that we're taking notice

1 of which of these species are indicator species because they should
2 be prioritized. The same with the, we call them single species
3 unit. So, yellowtail snapper is on its own in the management unit.
4 It is its own indicator, so that should also be prioritized. If
5 there's a species like stoplight parrotfish, it's a member of a
6 management unit, but it's either not the indicator species or there
7 is no indicator species. So, there are some other things to think
8 about in prioritizing which species we want to try for a stock
9 assessment. In addition to the available data, if it's an
10 indicator, that would suggest it should be a higher priority.

11
12 Next slide.

13
14 I think that's it. So, thank you very much. Any questions? A lot
15 of this you've seen before. So, this is mainly an update.

16 17 **Questions/Comments**

18
19 **MARCOS HANKE:** Yeah. Thank you very much for a very good
20 presentation. I'll ask the Council members to follow-up with Kevin
21 offline. We need to make a very-- one question if there are any
22 very important questions at this moment --to make a break five
23 minutes and come back. You have a question?

24
25 **EDWARD SCHUSTER:** Yeah. I just wanted to ask Kevin. If you go
26 back to the slide, you had surgeon fish and then on the other box,
27 you had doctorfish. And then later on in the slide, you had blue
28 tang. I was just hoping that it wouldn't cause any confusion in
29 future reference. I was just hoping that we could keep it
30 consistent. I don't know if you want to go back, and I can reference
31 it. If you noticed it.

32
33 **KEVIN MCCARTHY:** Sure. Yeah, if we can go back to it, was it the
34 one with all the boxes? This-

35
36 **EDWARD SCHUSTER:** One more, I think.

37
38 **KEVIN MCCARTHY:** Yeah. Saint Croix.

39
40 **EDWARD SCHUSTER:** Right there. Yeah. It says doctorfish, then
41 blue tang and then in the slide before that, it had a surgeonfish,
42 I think.

43
44 **KEVIN MCCARTHY:** Right. That's probably how it's showing up in the
45 data. So, we're not making that distinction. We're just, as it
46 shows up in the data, either as the landings or the size
47 composition, that's probably how it's listed.

48

1 **EDWARD SCHUSTER:** Yeah. But, you know, I noticed that because of
2 what we've been through before with our common name and then a
3 scientific name.

4
5 **KEVIN MCCARTHY:** Right. You're exactly right. That's an important
6 point that we're-- that everybody knows what everybody else is
7 talking about. I agree with you.

8
9 **EDWARD SCHUSTER:** Thanks.

10
11 **MARCOS HANKE:** Anybody else in Zoom or in presence? No. We're going
12 to take a break of five minutes. We'll be back in five minutes.

13
14 (Whereupon, a brief recess was taken.)

15
16 **MARCOS HANKE:** Yes. We're going to restart the meeting. I want to
17 inform the group that-- Hello? I want to inform the group that the
18 presentation of dolphinfish study made by Wessley Merten that was
19 going to be done by Wessley Merten is going to pass for tomorrow
20 at 10AM. The next presentation online is the district advisory
21 panel Chair report. We will start with Sant Thomas.

22
23 I'm going to restart because there was an issue with the recording.

24
25 The presentation of Wessley Merten about dolphinfish is going to
26 be passed for tomorrow at 10AM and going to rearrange the agenda
27 for tomorrow's meeting. Right now, we're going to follow-up with
28 DAP Chair Reports starting with Saint Thomas. Saint Thomas, Julian?

29
30 **District Advisory Panel Chairs Report on March 2022 Meetings**
31 **St. Thomas/St. John—Julian Magras, Chair**

32
33 **JULIAN MAGRAS:** Good afternoon, everyone. Julian Magras, for the
34 record. I'll be giving my report on the marine protected areas,
35 the areas particular concern, and might take on the SSC meeting.

36
37 In my report here, I'm just going to in the slides. I'm just going
38 to update the highlighted notes that were made by the members of
39 the District Advisory Panel, and I will meet them on March 22nd.

40
41 Next slide.

42
43 So, I had full attendees. Attendance from the fishers, recreational
44 fishers, divers, association members. And who we had absent again
45 at this meeting was representation from the local government, the
46 liaison for Saint Thomas/Saint John District, enforcement from the
47 Saint Thomas/Saint John District, federal enforcement and the PEW
48 Charitable Trusts. The reason I bring this up here is because since

1 we first did the conceptual models meeting where we had attendance
2 of all entities, we have not seen any of the representatives on
3 the right. And I think it's very important for us to continue to
4 do our job as members. And we need the support of these entities
5 in order to have a lot of the questions that are on the table
6 answered and we shouldn't have to wait for follow ups.

7

8 Next slide.

9

10 The areas of particular concern on the issues and questions that
11 the committee had were: what law created APC and how these were
12 defined and established? What is the purpose of an APC? Where the
13 fishers or public involved? Dates when each APC were established
14 and with what objectives. And also, we need to see studies
15 conducted or ongoing. These questions and studies need to be
16 presented to the DAP.

17

18 Next slide?

19

20 So, I spoke at the meeting on February ninth about the V.I. Coral
21 Reef Monument. The lighter ones are my comments that I made, and
22 the committee agreed with them, but they also had some extra points
23 that they wanted to make and that was the committee has requested
24 to see the results of studies that have been completed and
25 reported. And also, in the V.I. Coral Reef Monument, another issue
26 is a marina has just been approved within the monument and a lot
27 of concerns come up. If you're a protected area, which is a coral
28 reef monument, how do you approve a marina to be built within this
29 monument. So, that was their comment.

30

31 Next slide.

32

33 The V.I. National Park. I think the only thing that was highlighted
34 there was also the request of reports within the park. The
35 committee would like to see reports that have taken place of
36 everything that's been ongoing with the closure of the National
37 Park? Are we doing better? Are we doing worse? What's going on?
38 What's the outcome?

39

40 Next slide.

41

42 The Southeast Saint John Marine and Wildlife Sanctuaries, better
43 known as STEER. It's pretty much the same request. A request of
44 the studies and reports that have taken place and what is the plan
45 to correct the issues and violations within the sanctuaries?

46

47 Next slide.

48

1 The Grammanik Bank. okay. Can we go to the next slide? I think the
2 notes are in the next slide.

3
4 So, these are the take backs from the committee. Reports needed to
5 be presented to the DAPs, the SSC and CFMC of the studies that
6 have been taking place inside the seasonal closure. We have one of
7 the divers who actually is a committee member, and she works for
8 the University of the Virgin Islands. She repeatedly had an issue
9 with the PR boats poaching in and around the bank. So, I don't
10 know what can be done or discussion about that. And also, this
11 year, they were lucky to see a large number of the nassau grouper
12 actually spawning. They actually got to see them while they were
13 doing their thing. Which was very positive for the bank, and she
14 also said that the numbers were very high for the nassau grouper
15 in that area this year.

16
17 Next slide.

18
19 And then, the Hind Bank. We had some heavy discussion of what's
20 taking place in there. After the meeting, I received an email from
21 Sarah Heidmann and she would like to give a presentation at the
22 December Council meeting, if the Council would agree. She would
23 give her presentation on work that has been done within the MCD
24 for the last ten years. She's one of the individuals along with
25 Rick Nemmeth and his team that have been doing a lot of the studies
26 and she find it very important after a request to be willing to
27 give reports to the fishers and to the SSC and the Council members.

28
29 Next slide.

30
31 I was in attendance at the SSC meeting last week. It was a very
32 intense meeting. It was a very good meeting. Of course, Richard
33 always does a great job with running that meeting. I put up some
34 comments that that came from myself, and the comments are the
35 SEAMAP report, I think, moving forward, involving fishermen in the
36 study, would make a big difference. More money needs to be
37 allocated to the life history collection so SEDAR assessments can
38 have a better outcome. Fishermen are onboard in getting the samples
39 needed to help with assessments, example, otoliths. Deep-water
40 snapper study to take place in U.S.V.I. with a stakeholder's
41 involvement. I didn't elaborate on it here, but I'll just say this.
42 I think, we need to have some more discussion on what actually is
43 going to be taking place and how it's going to be taking place. I
44 know Graciela, you're working with that group. So, I think we need
45 to have some discussion outside of this meeting on that.

46
47 The MER study that took place in P.R. was presented; the outcome
48 was sketchy because of the role the expansion factors have to play.

1 Other issues we see with the MER project. It hasn't received final
2 blessings as yet from the Southeast Fisheries Science Center.
3 Discussion to move forward in the U.S.V.I. has concerns with the
4 fisheries. We don't use expansion factors. Fishers in the U.S.V.I.
5 are working with Virginia Shervette providing fish samples needed
6 to complete assessments.

7
8 Next slide.

9
10 So, in conclusion for my committee, this is what we have. The MPAs
11 and APC reports need to be presented to the committees.
12 Presentations to be given at the December CFMC, if approved, on
13 the 10-year study of the MCD. Government agencies who sit in a DAP
14 to start attending meetings, also the Pew and Liaison
15 representatives. Liaison for Saint Thomas/Saint John needs to get
16 involved with fishermen and host workshop. Proud to hear all of
17 what's happening in P.R. with their liaison.

18
19 The next couple of slides you're going to see where we mentioned
20 a couple of conflicts of interest. This is how we feel. Maybe it's
21 not a conflict of interest, but we want to put a note out there.
22 We also see a conflict of interest with the MER consultants being
23 pushed by Todd Gedamke as a senior founder of this company. He
24 shouldn't be a member of the SSC pushing this company. It was
25 clearly seen at the SSC meeting by me and other individuals that
26 it was a nonstop portion of, "Let's move this project to U.V.I.
27 Let's move it. Let's move it." When it pertains to someone getting
28 money to do a study and it affect our livelihood, and you set him
29 in a decision-making committee, it draws great concerns to us.

30
31 We also see a conflict of interest with Sennai Habtes, as being
32 the Chairman of the TAP, because when he became Chairman, he was
33 at the university, now he's the chief of fisheries for DFW in a
34 decision-making role. That can sway outcomes of the conceptual
35 models. And last but very important, is money being approved for
36 Virginia Shervette to close life history gaps?

37
38 And that's the presentation from the DAP for Saint Thomas/Saint
39 John. Thank you. I'm open for questions.

40
41 **MARCOS HANKE:** Let's finish with all the presentations first. The
42 next presentation is DAP Chairman of Saint Croix.

43
44 **St. Croix—Edward Schuster, Chair**

45
46 **EDWARD SCHUSTER:** Good afternoon, everybody. Edward Schuster, for
47 the record. DAP Chairs, Saint Croix.

48

1 We had pretty much a full attendance except for a few people that
2 asked to be excused and some had logged on online. The meeting
3 went well. We had a lot of input on there, and the outcome of that
4 was pretty simple.

5
6 I'll start off with what Carlos mentioned on the Council this
7 morning as a motion. The concern was during the time of the Hind
8 Bank closure, there's no fishing, especially with bottom tending
9 gear. Some of the attendants on the DAP that represent the
10 recreational fishery wanted to know if, you know-- it's very
11 important for them as recreational fishers and the tournament
12 during the time when the pelagics are there, that they use the
13 deep-water shelf as a FAD, especially the dolphin, the wahoo, tuna,
14 bigeye that Carlos had mentioned among other species as swords,
15 and marlin, and so forth. That was an issue.

16
17 But the main concern besides that, was one of our members that a
18 part of an organization core wanted to know if they could have or
19 how would they go about getting a special permit to go within these
20 MPAs and hunt for lionfish and what we did is we didn't narrow it
21 down to lionfish. We know the lionfish now are invasive species,
22 but we don't know what the future holds. So, we wanted to say just
23 invasive species. We never know maybe some other thing with four
24 eyes and ten fins might show up, besides the lionfish. So that was
25 one of the inquiries, how they may acquire a permit to eradicate
26 invasive species within these MPAs. Because they have put in a
27 request to go into the East End Marine Park, which is actually a
28 territorial issue and they had put in a request to get a permit
29 and it's still pending with no response from DPNR.

30
31 With that said, basically, that's what came about our DAP meeting.

32
33 **MARCOS HANKE:** Thank you, Eddie. Nelson, from Puerto Rico, DAP
34 Chair.

35
36 **Puerto Rico—Nelson Crespo, Chair**

37
38 **NELSON CRESPO:** Thank you, Mr. Chair. Good afternoon, everyone. At
39 the last meeting of our Advisory Panel on March 24, among other
40 things, we were discussing the matter of the MPAs. Puerto Rico has
41 three MPAs in federal waters located at the West part of our
42 island. Due to the short distance between them, and the shared
43 jurisdiction between the state and federal government in Bajo de
44 Sico and Tourmaline, the confusion of regulations, not only among
45 fishermen, but also among enforcement agency, is significant. It's
46 necessary to establish as far as possible amortization of
47 regulation in these areas. This would greatly help to avoid
48 confusion between all parties involved and would facilitate the

1 little enforcement that exists around on behalf of the fishing and
2 the resource.

3
4 The panel agreed that due to the size of our island, trying to
5 create more MPAs would do more harm than good. This would force
6 commercial fishermen to look for more distant areas to be able to
7 carry all their work increasing their cost and putting their life
8 at risk at the same time. And actually, it would create fishing
9 pressure in areas where it currently doesn't exist. Without
10 constant monitoring, illegal fishing would increase and there's a
11 possibility that invasive species reach the area causing great
12 damage to the ecosystem. In Puerto Rico, we have a great number of
13 MPAs that should be taken into consideration if the possibility of
14 creating more MPAs is studied to comply with the President
15 executive order 14008.

16
17 This panel agrees that it is necessary to address the issue of
18 land-based pollution and the violation of local and federal law in
19 our protected area without an effective response from state and
20 federal authorities that prefer to look the other way instead of
21 doing their job. It's evident that, unfortunately, in our island,
22 there is any control of this regard. We have the most recent
23 example in Salinas Bay, where the press has catalogued it as an
24 environment crime and an unprecedented ecological disaster.

25
26 There is an area that was acquired with NOAA funds and under
27 management of both federal and state authorities where mangroves
28 are destroyed. The area was filled illegally, residents built,
29 most of them, with water and electricity service obtained illegally
30 from the government. Boat ramps are built around, sampling station
31 were destroyed and, of course, irreparable damage was caused to
32 the habitat. According to the press, all this without any state or
33 federal authority doing anything to stop it, although people from
34 the area filed a complaint from the beginning and warned them about
35 the destruction that was going on. And let me tell you, we have
36 many other areas along the island in the same situation.

37
38 During and after our meeting, I was talking with several members
39 of our panel and fishermen who approached us, and we all agreed
40 that we have better options to protect our resources. How I've
41 said before, the management plans implemented by this Council are
42 giving good results and it has already been proven that in regions,
43 such as the Caribbean where there is good management, is not
44 necessary to have more MPAs. And the beauty of this is that most
45 of the fishermen respect them. We must develop and outreach and
46 education campaign to impact as many sectors as possible. It's
47 necessary to have an inventory of the MPAs in the island and create
48 an effective orientation sign that does not cause visual pollution.

1 It can have a QR Code where the visitor can obtain additional
2 updated information of each area.

3
4 It was also suggested to manage so that the electronic nautical
5 chart shows where the location of each MPA is and advertised then
6 by tourist agencies, hotel, restaurant, airlines, etcetera. If we
7 don't let know the protected areas that we have, how are we going
8 to take care of it? We also talked about the need to establish a
9 program for the collection of marine debris in all the protected
10 areas on the island like Raimundo Espinoza are doing in the East
11 Coast of Puerto Rico.

12
13 Another issue we talked about was the increase of recreational
14 fishermen where many of them become poachers, and this is an issue
15 that must be addresses. This has created conflicts between
16 recreational and commercial fishermen. It is necessary that the
17 recreational fishing license on the island be implementing once
18 and for all. This should have as a requirement the education
19 program at PEPCO and a workshop that brings information about the
20 MPAs and collect the data of their landings. They are not aware
21 that MPAs and other fishing regulation apply equally to them.
22 Establishing a school of fishermen is a topic that is gaining more
23 interest to the point that a senator from the West of Puerto Rico
24 is evaluating the possibility of establishing one in a closed
25 school on the West of Puerto Rico.

26
27 Finally, we talked about the need to create more workshops about
28 the management of fishing catches that include fishermen, vendors,
29 restaurants and hotel staff. That concludes my report.

30 31 **Questions/Comments**

32
33 **MARCOS HANKE:** Thank you for an excellent report of the three DAP
34 Chairs. Now, time for questions. Jocelyn?

35
36 **JOCELYN D'AMBROSIO:** Thank you, Marcos. I just wanted to go back
37 to the report from the Saint Thomas/Saint John District Advisory
38 Panel and to just the questions about the conflict of interest.

39
40 So, obviously the Council and the National Marine Fisheries Service
41 take seriously any statements or thoughts that there might be a
42 conflict of interest. There are specific rules that apply to
43 Council members and they relate to financial conflicts and there's
44 recusal rules if there's votes on matters that could affect
45 someone's financial interests.

46
47 We don't have rules that apply to the Advisory Panel Members on
48 that level. For the SSC, obviously, we're concerned about

1 objectivity, especially if there's peer review or recommendations
2 for best available science, we want to make sure that persons are
3 able to be objective and avoid any appearance of conflicts where
4 they're reviewing their own research.

5
6 But here, it looks like we've spoken before about Sennai Habtes
7 and his participation on the Technical Advisory Panel, and I don't
8 necessarily see any conflict of interest there. I'm not necessarily
9 sure how it might have, his participation or his change in
10 position, might affect his objectivity. But the Council, of course,
11 can look into it, but we've discussed that matter before.

12
13 I'm not familiar with the facts of what happened at this most
14 recent SSC meeting. But again, we want to make sure that if persons
15 are involved in research, that they're presenting their research
16 and that they're able to be objective. So, if there's potential
17 management outcomes or recommendations, they might recuse
18 themselves if appropriate and just avoiding any potential
19 conflicts if there's way that they might recommend something that
20 has financial consequences for them.

21
22 But again here, I don't know the facts and whether or not there's
23 a conflict there. But these are serious things to consider, and we
24 can continue talking about them. But at least on the Technical
25 Advisory Panel front, we haven't seen an issue in the past, and we
26 want to be careful with researchers just making sure that they're
27 disclosing their association with it and, you know, for example,
28 people have recused themselves from best available science
29 determinations because they want to make sure that they're saying
30 "This is my research, but others can certify it."

31
32 I'm not exactly sure what happened at this meeting, but definitely
33 serious allegations and something we'd want to make sure we
34 understand.

35
36 **MARCOS HANKE:** Jocelyn, do you have a question or is it just a
37 statement that you're making.

38
39 **JOCELYN D'AMBROSIO:** Just a statement about conflicts and if
40 there's any other information that folks want to provide.

41
42 **MARCOS HANKE:** Richard?

43
44 **RICHARD APPELDOORN:** Yeah, with respect to the SSC meeting, I
45 didn't see any even avenue for a conflict of interest. The question
46 was about Todd. He was presenting the results from the MER
47 Consultants study. There was no discussion of anything that would
48 involve him or that company doing anything in the future, what we

1 were requesting is that that study be analyzed, so the results
2 could be put into practice. I was glad to hear that Kevin has sound
3 money to move in that direction, but there was no discussion of
4 anything or any study that his company would somehow be in some
5 advantageous position or advocating.

6
7 Now obviously, when we talk about the data needs for the Caribbean.
8 It's up to those who have money to say, "okay, how are we going to
9 handle these things? Is it going to be done through work through
10 the Center or through a grant program? Or whatever." But the
11 conflict-of-interest clauses in those are substantial and if that
12 company were to try to apply in response to some avenue of funding,
13 they'd have to be able to meet those things. If it should ever
14 come up to the SSC for some kind of recommendations, you know,
15 then that person would have to recuse themselves from any kind of
16 voting in that stuff, but none of that was happening at this
17 meeting.

18
19 The SSC does not make decisions. We only make recommendations. So,
20 I didn't see where that was an issue. Respecting Julian's view on
21 things, because I do respect Julian. Thank you.

22
23 **MARCOS HANKE:** Julian. Briefly, please.

24
25 **JULIAN MAGRAS:** Yeah. Just a little follow-up. I understand what
26 he's saying, but the feel that I got is, on every opportunity at
27 that meeting-- and the minutes are there. The minutes are there
28 for everybody to listen to. This is not personal. Personal
29 friendship stays outside the door. When we come in the door, we
30 come in the door to do our job. On every opportunity of both days
31 of moving this project to the U.S. Virgin Islands. Every
32 opportunity there was, it was mentioned. I wouldn't go no further
33 to make it argumentative. All I would ask is the committee members
34 of the Council, listen to the minutes and, hopefully, the minute
35 will prove why I have the concern that I have.

36
37 So, if we're going to try to push the same project in the Virgin
38 Islands, with MER consultants, the co-founder is Todd Gedamke. I
39 have a problem with him being-- and this happened before where he
40 was taken off of this committee for the same exact reason. Okay?
41 So, all I'm saying, I find it a conflict of interest, and my
42 officials that I speak to on a daily basis, could not believe that
43 this was happening again.

44
45 So, I am putting it out there for discussion. I bring to the table
46 what my people ask me to bring to the table, and I also bring my
47 views to the table. That's why I am sitting in the room for. And
48 if I see a problem, it's my duty as the Chair of the District

1 Advisory Panel for Saint Thomas/Saint John to bring my issue
2 forward.
3
4 Now if the decision I made, is made by the Council and by the
5 lawyers that it's not a conflict of interest, well then, we move
6 forward from there. But I'll put it on the table as a conflict of
7 interest. Thank you.
8
9 **MARCOS HANKE:** Richard, and we move on.
10
11 **RICHARD APPELDOORN:** Yeah. So, yeah, I invite the people to listen
12 to the transcripts. The only thing we said was that we needed a
13 similar program in the Virgin Islands.
14
15 It was never-- in fact, it was certainly alluded to that this would
16 not be MER that would be doing that. Kevin then told us that that's
17 already moving forward. So, this never came up. I used the term
18 MER like project, meaning a port sampling project that's
19 statistically designed to try and improve port sampling and catch
20 estimates within the Virgin Islands.
21
22 At no point, and I mean at no point, were we ever discussing or
23 recommending that Todd or MER Consultants be involved in any
24 program in the Virgin Islands regarding that kind of port sampling
25 program. Thank you.
26
27 **MARCOS HANKE:** Thank you, Richard. Next presentation is-- yes.
28 Vanessa, question?
29
30 **LIAJAY RIVERA GARCÍA:** Okay. I will read it out loud for Vanessa.
31 It says question for the DAP Puerto Rico or Miguel. Were all the
32 members present in the last PRDAP meeting? Was the issue of
33 absences resolved?
34
35 **MARCOS HANKE:** Nelson.
36
37 **NELSON CRESPO:** Well, most of them were present. So, I think we
38 have today, on the closed session, the evaluation for the upcoming
39 members.
40
41 **MARCOS HANKE:** Thank you, Nelson. Miguel.
42
43 **MIGUEL A. ROLÓN:** Nelson recommended some names, and we put them
44 in the SSC. This afternoon, we are going to go into the closed
45 session and tomorrow, the Council will announce membership on each
46 one of the panels, you know? We need to reappoint X many members
47 because their time expired this April 22nd, and we will be able to
48 discuss it tomorrow in the open.

1
2 **MARCOS HANKE:** Thank you, Miguel. Next presentation is Identified
3 Critical Habitats of Juvenile Nassau Grouper in Puerto Rico. I
4 think Evan is the one presenting. Evan Tuohy. Welcome, Evan. The
5 floor is yours.

6
7 **Identifying Critical Habitats of Juvenile Nassau Grouper in**
8 **Puerto Rico—Evan Touhy**
9

10 **EVAN TUOHY:** Alright. Thank you. Thank you very much to the Council
11 and to the Chairs and everybody for this opportunity to present
12 the research of this small pilot.

13
14 **GRACIELA GARCÍA-MOLINER:** Speak louder.

15
16 **EVAN TUOHY:** Close or closer. Okay. Thank you very much for the
17 opportunity to present the results of this small pilot project
18 that we have been conducting for over the past year and a half.

19
20 My name is Evan Tuohy with Isla Mar Research Expeditions. Our
21 project is identifying the critical habitats of juvenile nassau
22 grouper in Puerto Rico. And this was funded by the Caribbean
23 Fisheries Management Council and supported by 787Fishing Charters.

24
25 Next slide, please.

26
27 Alright. So, the original decline of nassau grouper has been well
28 documented. It dates back to the 1970s with the first implications
29 of plastic population decline that continued into the next decade,
30 into the 1980s, where they were ultimately considered commercially
31 extinct. Which then prompted management and conservation measures
32 to be enacted in 1990. They were listed as no take in the federal
33 waters surrounding Puerto Rico. 14 years later, Puerto Rico
34 followed suit by an enacting the same no take designation in the
35 surrounding waters of Puerto Rico and local waters of Puerto Rico.
36 However, over the past 20 years of this type of management and
37 conservation action, they have shown little to no or somewhat slow
38 signs of recovery.

39
40 Next slide, please.

41
42 This can be contributed to some of their life history
43 characteristics, slow growth, late age at maturity. I'm sorry those
44 shouldn't be there. But I'll continue. Slow growth, late age at
45 maturity and they are a demersal species, meaning that they are
46 closely associated to the habitat, the benthic habitats in which
47 they are found. And they also have a complex two-part life stage,
48 like many other reef fish species, meaning they begin life as a

1 pelagic larval form, which drift to coastal habitats where they
2 then settle, and they utilize multiple different habitat types and
3 migrate into deeper reefs where they mature and eventually form
4 spawning aggregation.

5
6 Now, the majority of the work or research and available data that
7 we have on this species is primarily for the adult life stage and
8 how it relates to reproduction. But the reality of the matter is,
9 given the current population and conservation status, that really
10 any negative effects or implication to any of these various life
11 stages will ultimately have a negative impact on the adult form.

12
13 Next side, please.

14
15 Alright. So, therefore, we set out to bridge some of the gaps in
16 that information by identifying these habitats used by those sub
17 adult and juvenile life stages as they mature and migrate into the
18 offshore keep your reefs. We began this work in the Northeast side
19 of the island in Luquillo, Fajardo, and the Ceiba areas. This was
20 largely in part due to anecdotal accounts of increased sightings
21 of juveniles both on the reefs and catch for that area.

22
23 We conducted 43 scouting expeditions where we located 23 nassau
24 grouper at 15 different sites. They range from the early juvenile
25 sizes all the way up until the adult stages.

26
27 Next slide, please.

28
29 So, our strategy. We set out to document the size distribution of
30 the nassau grouper from an inshore to offshore gradient in various
31 habitats at three different spatial scales. We chose these three
32 different spatial scales because they directly correspond to
33 either already existing or long-term data sets that are currently
34 being conducted here in the region. So, it gives us a direct
35 comparison to the available data that is already available to us
36 and currently being collected.

37
38 Next slide.

39
40 Alright. So, the methods. We started at the largest scale possible,
41 conducting-- we scouted the areas that nassau group were reported,
42 those anecdotal evidence. We did this by using large scale long
43 drifts using either scuba or snorkeling. Then we used the
44 information gathered from those sightings, and the habitat
45 characteristics from the areas that we sighted to expand the search
46 into other areas, by exploring other areas with similar
47 characteristics.

48

1 Once we compile the database of sightings and locations and
2 abundances and size distributions of those sightings, we then
3 return to these sites and conducted a benthic and topographical
4 assessment to characterize the habitat surrounding where these
5 individuals were sighted. We analyze these results to look at
6 trends by size class. We did this using PERMANOVA to look at
7 distinct groups within habitat type where these individuals were
8 cited, along with both the abundance and size distribution of these
9 individuals.

10

11 Next slide.

12

13 So, our largest spatial scale was the kilometer, hundreds of
14 meters, or kilometer scale. This essentially corresponds to the
15 NOAA habitat map. What NOAA uses to characterize all the benthic
16 habitats surrounding the island and in the U.S. Caribbean. Once we
17 had a GPS coordinate of the sighting, we then overlaid that onto
18 the habitat map, and we recorded the habitat type. But we also
19 looked at other distances to other available habitats that nassau
20 grouper are known to inhabit but also, the shoreline as well. The
21 distance from shore, the distance to the nearest coral reef, the
22 distance to the nearest mangrove habitat or sea grass bed, things
23 of nature.

24

25 Next slide, please.

26

27 Further refining that scale, we then went down to the tens of
28 meters scale and basically, we conducted a NOAA National Coral
29 Reef Monitoring Reef Fish Visual Census to analyze not only the
30 fish populations, not just nassau grouper, but the other fish that
31 were the area where the nassau grouper were excited, but also to
32 characterize the benthic and topographical composition of the area
33 immediately surrounding where the nassau grouper were sighted. And
34 that area constituted a 15-meter in diameter cylinder or 7.5-meter
35 radius around the area where the nassau group was identified.

36

37 Next slide, please.

38

39 And to the finer scale within that cylinder where we surveyed
40 immediately around the nassau grouper, we then conducted a series
41 of photo quadrats using three parallel 25-meter transects laid
42 seven meters apart within that cylinder, where we then laid 18
43 photo quadrats in that area and took pictures and later analyzed
44 that to identify the species composition and proportion making up
45 that benthic habitat where those nassau grouper were found.

46

47 Alright. Next slide.

48

1 So, these are the results of those 23 individuals that were sighted
2 with these longer scouting expeditions. As you can see, of those
3 23, 21 of these fish were all immature, ranging from the early
4 juvenile life stage with six to 15 centimeters all the way up to
5 the borderline transitioning to their adult life stage.

6
7 The majority of them were large juveniles, in the size range of 15
8 to 30 centimeters corresponding to a fish that's roughly settled
9 within that year, maybe a little longer for 30-centimeter fish.
10 But because these were all juveniles, one of the assumptions of
11 these sightings and the subsequent analysis, is that they had
12 settled in or near the habitats where they were encountered. These
13 juveniles aren't going to undergo large scale reproductive
14 migrations that has been reported for this species. And because
15 they're immature, they were thought to pretty much be within the
16 area where they were sighted.

17
18 Next slide, please.

19
20 So, at the largest spatial scale. Next slide, the kilometer scale.
21 Again, next slide. The results indicate that all of these
22 sightings-- this solely just based in the sighting information
23 overlaying that with the NOAA habitat map --all sightings were
24 found in-- or almost all sightings were found in seagrass beds.
25 So, seagrass beds, and they were also close to shore.

26
27 Next slide.

28
29 So, a good example of this would be the area of Las Cabezas, where
30 within this bay, we identified multiple areas that had nassau
31 grouper. As you can see from the habitat map and the color-coding
32 scale down there at the bottom, every single sighting was found in
33 continuous seagrass, so dense seagrass beds or seagrass fairly
34 dense of 70 to 90 percent coverage.

35
36 As we further analyze some of the result and really got in the
37 water to analyze the benthic composition, we found this later
38 wasn't the best scale to really look at it, which is why we later
39 refined our scale. But as you can see, for the most part, they
40 were all utilizing or found within seagrass beds.

41
42 Next slide.

43
44 The exception to that would be three of the larger individuals
45 that we found. They were found further from shore. Most of the
46 other group sightings were found about 3 to 400 meters from shore,
47 so fairly close. But these larger individuals were found
48 approximately three to four kilometers on deeper offshore patch

1 reefs. Which, this does fit what's known about the species, whereas
2 as they mature and grow, they migrate to further offshore into
3 deeper reefs and deeper habitat. So, this does fit into some of
4 the biological information that is present for this species. But
5 one thing I'd like to note was if you just are using the habitat
6 map as classification of these habitats that they are found on,
7 you can see that, yes, it shows that they were found on patch
8 reefs, but the white area completely surrounding that area is
9 listed as unknown. So, there's not much known about that habit.

10
11 Based on our large-scale drifts that we conducted or longer drifts
12 that we conducted while collecting this data, I can confirm that
13 this white area is also a continuation of that continuous seagrass
14 bed, indicating that although the larger individuals are using
15 deeper offshore reefs, those reefs are immediately adjacent within
16 a hundred meters to seagrass beds indicating that even as they're
17 reaching adulthood, that seagrass environment is still very
18 important to these migrations and is likely acting as a buffer to
19 these migrations into deeper habitats.

20
21 Next slide.

22
23 As I mentioned, we located 26 individuals. Now, just using the
24 habitat map alone, we are actually only able to identify the
25 habitats based on the habitat map for 16 of those fish. So, it
26 doesn't really have the resolution to really give us an idea of
27 the types of habitats that you're using solely based on the habitat
28 map. But even then, you can still see that seagrass has an
29 important role. Those top three middle columns, even the artificial
30 habitat was completely surrounded by seagrass. So about 75 percent
31 of all the fish were found in habitats completely surrounded or
32 within these seagrass beds.

33
34 Next slide, please.

35
36
37 So, refining our scale to the tens of meters. Next slide.

38
39 So, the abiotic footprint. One of the first things we do after we
40 get to the site where we saw a nassau grouper and finished the
41 fish survey, recording the fish that are in the area, we look at
42 the abiotic footprint, which is essentially just an aerial view
43 conducted by the diver where we estimate the proportion of the
44 abiotic coverage of that habitat. And as you can see, sand or these
45 unconsolidated sediments, which are colonized by seagrass. So,
46 this 36 percent sand, those are the seagrass beds. Those are a
47 significant proportion of the habitat, but you can also see that
48 close to or over 60 percent of that area within the seagrass beds

1 inside that cylinder is some type of hard bottom habitat. Whether
2 it's consolidated hard bottom or rubble habitat. So, seagrass does
3 play an important role, but it's also hard bottoms within that
4 seagrass that doesn't show in the habitat maps.

5
6 Next slide.

7
8 Analyzing the topographical complexity of these hard bottoms
9 located within the cylinder. They were all fairly low relief. 85
10 percent of all the hard bottom within these habitats were less
11 than one meter or three feet tall. So, it's fairly low complexity,
12 not very high.

13
14 And next slide.

15
16 And the same can be said for the soft substrates located within
17 the cylinders as well. And this is the height of the seagrass, the
18 sponges and the Gorgonians and sea fans found within those habitats
19 as well, 80 percent were less than a half a meter, about a foot
20 and a half tall within there. So, these are fairly low complexity
21 environments.

22
23 Next slide.

24
25 So, the finest scale, the 1-meter scale conducted by the photo
26 quadrats.

27
28 Next slide, please.

29
30 The results to that were, as most reefs are, they were biologically
31 complex. We identified 36 types of benthic organisms or benthic
32 groups to the nearest species level. But the top three that
33 predominantly stood out in all of the habitat surveyed, where, as
34 I keep mentioning, the sea grass-- well, to the species level, it
35 was turtle grass or *Thalassia*. Then there was a mixture of some
36 sand. And then, what was covering these hard substrates was
37 predominantly turf and filamentous macroalgae.

38
39 Alright? So, it's not necessarily, we weren't seeing-- it didn't
40 necessarily need to be high coral cover, sponge covers or anything
41 like that. This is low relief, low complexity, hard bottoms
42 consolidated by turf sediments.

43
44 Next slide.

45
46 Alright. So, our main conclusions that we drew from the analysis
47 was: at the largest spatial scales, nassau groupers are found in
48 seagrass beds with some unknown habitats, based on the mapping.

1 And also, a few were found on patch and or linear reefs, but that's
2 based on the minimum mapping unit given by the NOAA habitat maps.

3
4 At the medium scale, we're really refined and start to pick apart
5 what's really going on in the area immediately adjacent to these
6 fish. It was actually small discrete and low-relief patches of
7 hard bottom or hard substrate and surrounded by unconsolidated
8 sediments, colonized by seagrass or turtle grass.

9
10 And, again, at the smallest spatial scale, these hard bottoms,
11 they were they were primarily, the predominant biological coverage
12 was turf algae and macroalgae, and then it was also some pavement
13 rubbles and sand and all of them were surrounded, again, by turtle
14 grass.

15
16 Next slide.

17
18 Alright. So, one thing I'd like to point out is that these
19 essential fish habitats or these habitats used by these smaller
20 individuals, as I mentioned before, were all very close to shore.
21 These smaller juveniles are found on shallower areas near shore
22 habitats. Those being close to shore make these more vulnerable to
23 what's going on land-based, you know, land-based construction
24 development, especially when it's being uncontrolled.

25
26 If you're a resident of the Caribbean, you know that is an ever-
27 present threat, an increasing threat, of some of these habitat
28 destruction, coastal habitat destruction. But not only is it really
29 going to affect the coastal communities, but it also affects the
30 near shore communities and resources as well.

31
32 Next slide, please.

33
34 Another interesting component that was exposed with the analysis
35 and the data is the importance of bays and lagoons acting as
36 nursery habitats to this species. So, the predominant zones
37 surrounding the areas that were surveyed, were either bays and
38 lagoons or bank and shelf zones. Alright? We've surveyed, in our
39 large-scale drifts and surveys, we surveyed three times greater
40 the area in the bank and shelf zones. However, there were 11 times
41 the densities of juvenile nassau grouper located within the bay
42 and lagoon environments in the surrounding area. So that really,
43 kind of, shows the importance of these environments as nursery
44 habitats, and that's largely contributed to the larval retention
45 dynamics of these environments and zones.

46
47 Next slide, please.

48

1 Another important component as well is on every single site that
2 we surveyed and conducted a fish survey where a nassau grouper was
3 observed, other commercially and ecologically important species
4 were observed as well, but at much higher densities than nassau
5 grouper. So, these are red hinds, the yellowtail snappers, other
6 snapper species, grunts, surgeonfishes, and parrotfishes as well.

7
8 So, these are not just important for nassau groupers, but these
9 are important for other extremely important species that
10 contribute to not just the fishery, but also ecosystem function
11 for the area and for the coastal coral reef ecosystems. And if you
12 compare it to a similar species of red hind, the nassau grouper,
13 they still were in very low densities. When you compared to the
14 densities that we saw of juvenile red hinds in the area, the red
15 hinds were still at two to three times greater densities than
16 nassau groupers in these areas.

17
18 So, they still have a way to go before they can reach the population
19 statuses of something like a red hind.

20
21 Next slide.

22
23 So, one output that we had from this project, we were able to
24 develop both a website and a phone application as well.

25
26 So, the website, MerosPR. It's a bilingual website. It's focused
27 primarily for the regulations in Puerto Rico, but there's also
28 biological and fish identification information that will help to
29 identify the differences between the different group or species
30 that are commonly encountered here in Puerto Rico. There's also
31 information on the closures, the seasonal and species closures in
32 the island as well. Both the application and the website have an
33 outlet to where the users or various stakeholders, whether you're
34 a commercial fisher, recreational fisher, diver, photographer,
35 where you can actually go and report sightings of nassau grouper
36 or goliath grouper or any grouper that you found in the area, and
37 that will give us a chance to go and further explore other
38 locations and further expand this analysis so we can continue to
39 fill these knowledge gaps on the life history of this species.

40
41 Next slide, please.

42
43 Alright, the next steps. As I mentioned, this was a small pilot
44 project. It was actually, the funding was continued and funded by
45 the NOAA Species Recovery Grant Program. So, for the next three
46 years, we're going to expand on this project. Continue and expand
47 exploring areas around Puerto Rico and identifying the habitats
48 where juvenile, not just juveniles, but also adult nassau grouper

1 reside.

2
3 We also incorporated some FSA monitoring as well into there. Up
4 until recently, there have been almost no identified nassau grouper
5 aggregations here in Puerto Rico. I say up until recently, there
6 was one on the West Coast. But with another project, we actually
7 were able to identify a second location in Puerto Rico. This is
8 not just for nassau grouper, there were also yellowfin, black
9 grouper and at a different time of the year, we also identified an
10 aggregation of mutton snapper there as well.

11
12 So, these this continued FSA monitoring is extremely valuable for
13 assessing long term dynamics and populations over time. Not only
14 that, but it's also a continued priority of the SSC in these
15 District Advisory Panel meetings as well.

16
17 We also have an education and outreach campaign as well that we
18 have this project. So, we're going to be talking with enforcement,
19 various fishers, and types of fishers, and community members to
20 develop signage, community signage, further demonstrate and get
21 this information some of it which can be con confusing to users
22 and stakeholders in the area and we're going to be giving workshops
23 to better facilitate that outreach and the distribution of this
24 information to make it easier for everybody in the area.

25
26 And lastly, the acknowledgments. This project would not be possible
27 without the following people, captain Marcos Hanke of 787Fishing.
28 He facilitated the field portions of these projects providing
29 decade's worth of catch information and habitat and his knowledge
30 of the local habitats. Carlos Zayas, of SEAMAP-C, was a vital part
31 of all data collection for this project. We had student volunteers
32 as well from the UPR system, Chris Morales and Charlier Dones, and
33 actually, it was the input of Chris Morales that helped us identify
34 one of the areas of highest densities of nassau groupers in the
35 area. Thanks to his input. And then also, the Pirate Snorkeling
36 Shack Water Sport Rental and Tours, they facilitated equipment
37 usage to be able to access some of these areas that were near shore
38 that were not accessible by boat. Also, I'd like to thank the
39 various stakeholders and contributors to the MerosPR website.

40
41 Just to leave you with the final conclusions in the next slide and
42 thank you very much. Any questions.

43
44 I also have a copy if anybody's interested. I do have a guide that
45 we have, which will help better identify the differences between
46 the grouper species. There's also information on seasonal closures
47 and closed areas in Puerto Rico as well. And thanks to the Council,
48 we're going to be printing a lot more versions of these in both

1 Spanish and English and these would be freely available to widely
2 tribute to various stakeholders in the area.

3
4
5

Questions/Comments

6 **MARCOS HANKE:** Thank you, Evan. Tony?

7

8 **LOUIS ANTHONY BLANCHARD:** Good presentation. I got a question for
9 you because I'm kind of curious. I noticed that you say the other
10 grouper species that you notice was the coney, the hind, I believe
11 it was?

12

13 **EVAN TUOHY:** Yes.

14

15 **LOUIS ANTHONY BLANCHARD:** Did you notice any other kind of groupers
16 when you were looking for a nassau?

17

18 **EVAN TUOHY:** Yeah. So, we did see in the area, a yellowfin grouper
19 and also comb grouper.

20

21 **LOUIS ANTHONY BLANCHARD:** The what?

22

23 **EVAN TUOHY:** Comb. C-O-M Yeah. It's *Mycteroperca acutirostris*, is
24 the scientific name.

25

26 **LOUIS ANTHONY BLANCHARD:** Okay.

27

28 **EVAN TUOHY:** I'm sorry. I know. I know. It's not a common grouper
29 species found, but it is present in the Caribbean, but generally
30 at low densities. But that was another one that we did find.

31

32 **LOUIS ANTHONY BLANCHARD:** And that was all in shallow water, is
33 what you were saying?

34

35 **EVAN TUOHY:** Like, tens of meters from shore. Yes.

36

37 **LOUIS ANTHONY BLANCHARD:** Okay.

38

39 **EVAN TUOHY:** Yep.

40

41 **MARCOS HANKE:** Thank you for the question. I have a question. No
42 graysby on those—

43

44 **EVAN TUOHY:** Yeah. There actually were graysby. In the report,
45 which if anybody is interested in the report, the findings of the
46 report, the detailed findings, I can send that out. But there is
47 a list of all the other commercially and ecologically important
48 species. But grouper species, coneys, graysbys. Graysbys were

1 actually, fairly low densities, but they were present there as
2 well. Red Hind.
3
4 **MARCOS HANKE:** Yes. Thank you, everyone.
5
6 **EVAN TUOHY:** We did not see any red Grouper, no.
7
8 **MARCOS HANKE:** Let me go to the channel here for record to be
9 clear. Andy?
10
11 **ANDREW STRELCHECK:** Great presentation. You've already answered
12 one of my questions. I'd be very didn't seen the report. You had
13 mentioned money was provided by NOAA Fisheries through a recovery
14 grant program. My office is currently actually working on an ESA
15 critical habitat rulemaking for a nassau grouper. I don't know if
16 you worked with Pat Opay or anyone in my office but would
17 definitely want the information you've collected to help support
18 that work.
19
20 **EVAN TUOHY:** Okay. Excellent. Yeah. Thank you.
21
22 **MARCOS HANKE:** Richard.
23
24 **RICHARD APPELDOORN:** Yeah. Just one quick question. I've seen for
25 a lot of species where you find really small juveniles in sort of
26 unexpected places that water quality is really an important factor
27 in determining whether you're going to find things or not. At least
28 from the pictures you showed, you had really clear water. I don't
29 know if that's just because it makes good pictures, but did you
30 have much variability in that in the places that you were looking
31 at, would that be a factor?
32
33 **EVAN TUOHY:** Yes, there was variability in water quality,
34 especially in the Fajardo area. The closer that you get to the
35 Fajardo River, water quality essentially plummets pretty
36 drastically. Not only did we not find any nassau grouper there,
37 but it also largely impeded our ability to sample those areas. So,
38 just because we didn't find any with our visual and census, doesn't
39 necessarily mean they weren't there. Talking with some of the
40 fishers who are continuing to provide some of their catch data,
41 since we've gone there, they have caught nassau grouper in some of
42 those areas where we haven't been able to survey because of poor
43 water quality. So just because we didn't find them there, doesn't
44 mean that they actually aren't there.
45
46 **RICHARD APPELDOORN:** Yeah. I was thinking more of the very early
47 juveniles. You weren't really [crosstalk]
48

1 **EVAN TUOHY:** Right. Right. I mean and that would be a gear
2 selectivity issue, you know. Like, we're, right now at least, not
3 able to go in and survey those areas based on poor water quality.
4 But.
5

6 **MARCOS HANKE:** Graciela.
7

8 **GRACIELA GARCÍA-MOLINER:** So where do they come from? And the
9 reason why I'm asking is because the Council received a
10 presentation from Miguel Canals, and the connectivity that we have
11 from the sources, which are the spawning aggregations that we
12 already have under management. And one idea would be to backtrack
13 the information using those models to see where they actually come
14 from and to actually help in finding the critical habitat near
15 shore. Where do the drifters end up? Where does the simulations
16 take you? So, you know, that's one of the projects that we have
17 discussed and hopefully, it will come to fruition.
18

19 **MARCOS HANKE:** That's actually going to help to support the idea
20 of analyzing how those protected areas are working. Right?
21

22 **RICHARD APPELDOORN:** [crosstalk] Since we're talking about
23 basically one spawning aggregation in the Virgin Islands as the
24 potential source, genetics might be a way to pin that down as well.
25

26 **EVAN TUOHY:** Since we already know, I have identified areas of
27 sampling; we could potentially get and continue to collect genetic
28 samples to analyze that data as well and to address those
29 questions.
30

31 **MARCOS HANKE:** Are there any other question for Evan? Anybody
32 online? Vanessa? Go ahead.
33

34 **LIAJAY RIVERA GARCÍA:** I can read it out loud. So, the question
35 is, did any of these nassau observations were on the West side of
36 Puerto Rico and near buoy six? It seems like they have some reports
37 of adults around.
38

39 **EVAN TUOHY:** Right. So, that's one of the things. So, given that
40 this was a small pilot project, we refined our search to the
41 Northeast of the island. But based on some of the report data that
42 we have from iMero or MerosPR, we are finding some reports of
43 adults around the buoy six area and also indications of spawning
44 there as well. So, yes, there are some reports on the West Coast.
45 I know some of the avid divers and dive shops that visit there
46 regularly see them, but we have not yet had a chance to go and do
47 that same benthic habitat characterization that we did for this
48 project. But that is in the plan.

1
2 **MARCOS HANKE:** Thank you, Evan. Graciela.
3

4 **GRACIELA GARCÍA-MOLINER:** So, one more thing in terms of developing
5 technology to look at these areas that are really bad water quality
6 that you can't see in front of your nose. So that's another issue
7 that we have because we might have a really good recruitment of
8 juvenile nassau to the area, but we don't know about it. So, there
9 are things that, you know, developing technology that can be used
10 to do that. So, remind me to send you, there was an RFP recently
11 out, for that kind of thing.
12

13 **EVAN TUOHY:** And the one thing I'd like to bring up, and this is
14 just based on my anecdotal observation from being in the water at
15 those sites. So those areas with poor water quality, the
16 preliminary, like, just benthic observational habitat
17 characterization, they were distinctly drastic-- Like, they were
18 drastically different habitats, different benthic compositions,
19 different seagrass compositions, that did differ from what we were
20 seeing based on this analysis. And that's not to say that they
21 still cannot settle there. But whether or not survivorship is high,
22 if they do manage to settle there, that's a completely different
23 question.
24

25 **MARCOS HANKE:** Yes. Thank you very much. Because this is very close
26 to my heart because I've participated since the beginning, I wanted
27 to bring this to the table to all of you. This started with a word
28 that each gave me their anecdotal information. Because of the
29 anecdotal information I was collecting, thanks to Evan and his
30 group, it organized the support to organize this anecdotal
31 information and do a project to make something valuable out of it.
32 This is the pathway, that segue for the presentation that are going
33 to do it on the second day, they're going to also address the same
34 approach. Which way, us as a fisherman, can we support and develop
35 knowledge about our fishery and our species.
36

37 And thank you very much, Evan, for the great effort you guys did.
38 I can testify that this has been evolving and including divers,
39 snorkels, tour operators, and other people that can support, with
40 the anecdotal information, but in an organized form, under a
41 scientific method and something well designed like you guys did,
42 to produce information like this that we didn't have before. Thank
43 you very much.
44

45 **EVAN TUOHY:** No. Thank you for the opportunity.
46

47 **MARCOS HANKE:** Seeing no other questions. We are going to adjourn
48 the meeting. It's five o'clock. The meeting is adjourned. Thank

1 you to all the participants for your patience. I'm sorry about the
2 delay on the agenda, but I think we have a very good discussion.
3 There is something else. I cannot hear.

4
5 **LIAJAY RIVERA GARCÍA:** Just to make it clear, is the presentation
6 of Jannette Ramos today? Or is it going to be for tomorrow?

7
8 **MIGUEL A. ROLÓN:** Tomorrow.

9
10 **LIAJAY RIVERA GARCÍA:** Okay. Thank you.

11
12 **MARCOS HANKE:** Okay. The meeting is adjourned. Thank you, everyone.
13 At 05:30, there's a closed section at this same room, just the
14 Council members. Thank you.

15
16 (Whereupon the meeting recessed on April 19, 2022.)

17
18 - - -

19
20 APRIL 20, 2022

21
22 WEDNESDAY MORNING SESSION

23
24 - - -

25
26
27 **MARCOS HANKE:** Good morning, everyone. We are ready to start the
28 meeting. It is 9:05 AM. This is the second day, April 20th, 2022.
29 I will request all the presenters to speak close to the mic and to
30 the people online to raise their hand for questions and people in
31 the room to raise their hand for a turn to speak.

32
33 We have a very loaded agenda today. I need everybody to be
34 succinct, quick and effective. I will give you some signs when
35 time is really up, and you need to speed up. Okay? Yesterday there
36 were some things that we need to cover; we went overtime but I
37 asked all the presenters today, to help the Chair run on time.
38 Thank you very much.

39
40 The first-- do you want to say something?

41
42 **MIGUEL A. ROLÓN:** Roll call.

43 **MARCOS HANKE:** Yes. We will make the roll call on the room first.
44 We are having some technical difficulties. Bear with us.

45
46 We are ready now. We will keep going. Let's make the roll call
47 starting from Cristina, from my left.

48

1 **CRISTINA OLÁN MARTÍNEZ:** Cristina Olán, Council Staff.
2
3 **LIAJAY RIVERA GARCÍA:** Buenos días. Liajay Rivera, Council Staff.
4
5 **GRACIELA GARCÍA-MOLINER:** Graciela García-Moliner, Council Staff.
6
7 **MARÍA LÓPEZ-MERCER:** María Del Mar López, NOAA Fisheries.
8
9 **CARLOS FARCHETTE:** Carlos Farchette, Council member.
10
11 **JEAN-PIERRE L. ORIOL:** Jean-Pierre Oriol, Council member.
12
13 **LOUIS ANTHONY BLANCHARD:** Tony Blanchard, Vice-Chair.
14
15 **MARCOS HANKE:** Marcos Hanke, Chair.
16
17 **MIGUEL A. ROLÓN:** Miguel Rolón, Council Staff.
18
19 **DIANA T. MARTINO:** Diana Martino, Council Staff.
20
21 **ANDREW STRELCHECK:** Andy Strelcheck, NOAA Fisheries Southeast
22 Regional Office.
23
24 **JOCELYN D'AMBROSIO:** Jocelyn D'Ambrosio, NOAA Office of General
25 Counsel.
26
27 **KEVIN MCCARTHY:** Kevin McCarthy, Southeast Fisheries Science
28 Center.
29
30 **JORGE R. GARCÍA-SAIS:** Reni García, invited speaker.
31
32 **NELSON CRESPO:** Good morning, everyone. Nelson Crespo, DAP Chair,
33 Puerto Rico.
34
35 **JULIAN MAGRAS:** Good morning, everyone. Julian Magras, DAP Chair,
36 Saint Thomas/Saint John.
37
38 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC Chair.
39
40 **HOWARD FORBES:** Good morning. Howard Forbes, DPNR Enforcement.
41
42 **MANNY ANTONARAS:** Good morning. Manny Antonaras, NOAA Office of
43 Law Enforcement.
44
45 **DALILA ALDANA:** Dalila Aldana, investigadora invitada a esta
46 conferencia.
47
48 **MARÍA DE LOS A. IRIZARRY:** María Irizarry, Council staff.

1
2 **STACEY WILLIAMS:** Stacey Williams, invited speaker.
3
4 **ORIAN TZADIK:** Orian Tzadik, PEW Charitable Trust.
5
6 **WILSON SANTIAGO:** Wilson Santiago, Puerto Rico Liaison Officer.
7
8 **JANNETTE RAMOS-GARCÍA:** Jannette Ramos-García, Puerto Rico Sea
9 Grant Program.
10
11 **DIANA T. MARTINO:** We are Good.
12
13 **MARCOS HANKE:** Thank you, Diana. We are going to pass now to the
14 virtual attendees. Liajay, please.
15
16 **LIAJAY RIVERA GARCÍA:** Alida Ortiz Sotomayor, Damaris Delgado,
17 Diana Beltrán, Edward Schuster, Jack McGovern, Jesús Rivera
18 Hernández, John Walter, Kate Overly, Laura Cimo, Nicole Greaux,
19 Martha Prada, Michelle Schärer, Rachel Eckley, Rachel O'Malley,
20 Sarah Stephenson, Stephanie Martínez Rivera, Virginia Shervette,
21 Vanessa Ramírez, Wessley Merten, Yamitza Rodríguez, and a non-
22 identified phone number ending with 821. If you can identify
23 yourself, please do so. That would be all in the list.
24
25 **MARCOS HANKE:** Please the person that has just the phone number,
26 write in the chat-
27
28 **LIAJAY RIVERA GARCÍA:** She just identified herself. Vanessa
29 Ramírez. Gracias.
30
31 **MARCOS HANKE:** Ok. Thank you very much. Miguel.
32
33 **MIGUEL A. ROLÓN:** Just for the record. Those two members of the
34 Council, Damaris Delgado and Vanessa Ramírez, are entitled to vote.
35 So, you have the whole committee, the whole Council membership
36 present.
37
38 **MARCOS HANKE:** Thank you very much, Miguel. I just want to remind
39 the people attending this meeting, that we have the dolphinfish
40 study presentation included on the agenda today that passed from
41 yesterday and also a very brief presentation from Jannette Ramos
42 from Sea Grant. Those are going to be just before the break.
43
44 We are going to start with the presentation, but before that,
45 Miguel Rolón.
46
47 **MIGUEL A. ROLÓN:** Thank you, Mr. Chairman. This is very quick. We
48 tend to take people for granted but at this time I would like to

1 recognize the work by Maria Del Mar and Sarah Stephenson and the
2 big boss, Jack McGovern, and the biggest boss this year, Andy
3 Strelcheck. I would like to hear a round of applause for this
4 people. The work that they have done is tremendously important, if
5 you don't know, and they've worked their ass off just to make this
6 Council look good. So, a round of applause for these people.
7 [applause]

8
9 **MARCOS HANKE:** Yes. I want to add to that that it is not just doing
10 a great job it is always forward to trying to do new things to
11 make the job easier and more effective. Thank you very much.

12
13 First presentation is Reni García in Understanding Essential Fish
14 Habitat of Queen and Cardinal Snappers and Associated Fish
15 Communities of the Deep-Water Snapper Fishery. Reni.

16
17 **Understanding Essential Fish Habitat of Queen and Cardinal**
18 **Snappers and Associated Fish Communities of the Deep-Water**
19 **Snapper Fishery: From Fishers' Knowledge to Scientific Language-**
20 **Jorge García-Sais**

21
22 **JORGE R. GARCÍA-SAIS:** Buenos días, y gracias a todos.

23
24 Este proyecto es un proyecto que está en progreso, es un proyecto
25 que trata sobre un estudio colaborativo entre una parte científica,
26 en este caso yo, y los pescadores de Puerto Rico, y de las Islas
27 Virgen. Básicamente, es un estudio que pretende adelantar el
28 conocimiento de esta pesquería, combinando el conocimiento
29 científico con el conocimiento de los pescadores.

30
31 Esta es una experiencia que no es ajena a mi información. Yo
32 considero que posiblemente yo he aprendido tanto de los pescadores
33 como de las clases que he cogido a través de mi carrera, así es
34 que esto es una continuación en esa dirección.

35
36 El próximo.

37
38 Antes que nada, yo quisiera darle mi agradecimiento por la
39 participación y colaboración de tres pescadores que participaron
40 en este proyecto hasta el momento, aunque pretendemos que sean
41 muchos más. El señor Luis Román de Añasco, el señor Jorge González
42 de Guánica, y el señor Rodolfo Abrahams de San Juan, estuvieron
43 participando con nosotros hasta ahora en este proyecto, que está
44 en pleno curso, en pleno progreso.

45
46 Los objetivos del proyecto incluyen documentar la pesquería de
47 pargo de agua profunda, pero más que documentar la pesquería es
48 documentar la experiencia de la pesquería. Documentar la

1 experiencia de la pesquería mediante salidas con los pescadores al
2 mar. O sea, hacer trabajos con ellos mar afuera. Caracterizar
3 mediante instrumentación oceanográfica y video, las
4 características del hábitat béntico y de las características
5 oceanográficas.

6
7 Reni, está muy bien, es que hay un problema con técnico. Es un
8 problema con la traducción que están atendiendo. Un momentito, por
9 favor.

10
11 **JORGE R. GARCÍA-SAIS:** A mí me gustaría tener control, pero-- te
12 voy a hacer así. Me avisan.

13
14 **MARCOS HANKE:** We are waiting for the zoom participants to readjust
15 their settings to listen to the presentation. Thank you for
16 waiting, Reni.

17
18 **CARLOS FARCHETTE:** Thank you, Mr. Chair. Now, before I forget I
19 have a topic for other business at the end of the day. It is fish
20 trap reduction.

21
22 **MARCOS HANKE:** This is a test. Esto es una prueba en español para
23 ver si la traducción está funcionando. Esto es una prueba para las
24 personas virtuales. Por favor, envíen un texto confirmando que
25 están escuchando la traducción. Thank you very much. Go ahead,
26 Reni, and Thank you.

27
28 **JORGE R. GARCÍA-SAIS:** Gracias.

29
30 Sí, estábamos en los objetivos. O sea que, uno de los objetivos es
31 básicamente salir con los pescadores, con mis instrumentos
32 oceanográficos y los instrumentos de ellos, que son las caras, las
33 artes de pesca, si es que llevas las calas, las artes de pesca.
34 Así es que, tu llevas las calas, las artes de pesca y yo llevo mis
35 instrumentos oceanográficos, estamos en el mismo sitio, vamos a
36 ver qué podemos aprender de este trabajo combinado.

37
38 Próxima.

39
40 Entonces, no tan solo sacar los datos, sino compartir la
41 información con los pescadores que salen de sus propias áreas de
42 pesca, con énfasis en dos especies que son de mucha importancia
43 comercial, el cartucho y el cardinal, la muniama del hondo. Aunque,
44 pues, básicamente, estamos incluyendo la comunidad completa de
45 peces, pero, la clave es sacar la información exactamente de donde
46 ellos están pescando y no de áreas generales, etcétera. Sino que
47 ellos puedan ver de dónde ellos mismos están tirando las calas,
48 ¿Cuál es la información que sale de ahí?

1
2 La próxima.
3
4 Queremos hacer un inventario de todas las especies de peces
5 asociadas con esta pesquería. No tan solo los de importancia
6 comercial, sino todos. Esto nos va a dar una información más
7 completa sobre la comunidad de peces en donde se pescan estas estas
8 especies importantes. Además, esa información nos ayuda, poco a
9 poco, a desarrollar la información necesaria para producir modelos
10 conceptuales de cómo es que funciona esta pesquería y poder hacer
11 planes de manejo en acuerdo a esto.

12
13 La próxima.
14
15 Queremos describir en detalle la distribución tanto espacial como
16 con profundidad de las áreas de pesca de estas especies en
17 particular, que sabemos que hay una estratificación de especies a
18 través de toda de toda la región.

19
20 Próxima.
21
22 Queremos también evaluar mediante unas muestras de tejido, la
23 posible conectividad entre Puerto Rico y las poblaciones de
24 cartucho entre Puerto Rico y las Islas Vírgenes, que es parte de
25 una tesis de Maestría que está siendo un estudiante del
26 departamento de Ciencias Marina, María Del Pilar García.

27
28 Próximo.
29
30 En términos de la metodología. Básicamente, lo que estamos haciendo
31 es salir con los pescadores a sus áreas de pesca con nuestros
32 equipos oceanográficos y poder registrar la información en tiempo
33 real en su área y durante la pesca que ellos están haciendo.

34
35 Próxima.
36
37 Estamos obteniendo información de captura y esfuerzo de pesca,
38 incluyendo la información de sus métodos de pesca, el número de
39 calazos que ellos-- o sea, no tan solo ver el esfuerzo de pesca
40 desde el punto de vista de lo que se pesca al día, sino-- porque
41 los pescadores ya hemos visto que su día de pesca varía mucho, es
42 el esfuerzo en términos de cuántos drops, de cuántos calazos.
43 ¿Cuánto se pesca por calazo en un día de pesca? La profundidad,
44 las especies que se pescan, los tamaños, la condición de las
45 gónadas, o sea, las condiciones reproductivas, y cualquier
46 contenido que puedan tener en la boca además de la carnada.

47
48 Adelante.

1
2 Estamos haciendo una serie de perfiles de CTD para para estudiar
3 lo que es la variabilidad y las características de la columna de
4 agua en las áreas de pesca de los pescadores. Esto incluye, la
5 temperatura del agua, salinidad, densidad y profundidad.

6
7 Adelante.

8
9 También estamos enviando hacia abajo, en la misma área de pesca de
10 los pescadores, una cámara con un housing a prueba de agua, con
11 unas luces programables para ver el hábitat béntico donde mismo
12 están pescando los pescadores.

13
14 Adelante.

15
16 Además, como había mencionado, estamos adquiriendo unas pequeñas
17 muestras de tejido, y de otolitos en individuos representativos de
18 cada área, para analizar estas tasas de crecimiento y conectividad
19 genética, entre las poblaciones de Puerto Rico y de las Islas
20 Vírgenes.

21
22 Adelante.

23
24 Esto es unas fotos de los instrumentos que se están usando. El
25 instrumento de la izquierda es un CTD. Es lo que llamamos un mini
26 CTD. Es un instrumento pequeño para embarcaciones pequeñas, que
27 registra temperatura, salinidad, presión, profundidad a alta
28 precisión, y el de la derecha son las luces programables con la
29 cámara, que es el equipo que estamos enviando hacia abajo para
30 fotografía las áreas de pesca.

31
32 La próxima.

33
34 Cuando hablamos de del hábitat, si ven el título del proyecto,
35 realmente, esto es un estudio sobre el essential fish habitat del
36 cartucho. Como la pesquería del cartucho, y de la muniama del
37 hondo, al igual que todos estos peces de agua profunda, ocurre
38 fuera de la plataforma insular. Fuera de la plataforma insular, no
39 es solamente una masa de agua, sino que hay una serie de masas de
40 agua que se acomodan verticalmente como si fuera un bizcocho de
41 estos de boda, en base a su densidad.

42
43 Como ven, se han identificado al menos cinco masas de agua, que
44 están dentro del área del Caribe, el área oceánica del Caribe.

45
46 **LIAJAY RIVERA GARCÍA:** Reni, me vas a disculpar de nuevo, pero el
47 internet se cayó.

48

1 **JORGE R. GARCÍA-SAIS:** Se cayó y el leaser no-- se cayó también.
2
3 **LIAJAY RIVERA GARCÍA:** ¿Y estoy con el ethernet?
4
5 **JORGE R. GARCÍA-SAIS:** Mm, nada que ver. Nada que ver.
6
7 **MARCOS HANKE:** Okay. For the virtual attendees, we have some
8 internet problems. We will let you know as soon as we can fix the
9 problem.
10
11 **JORGE R. GARCÍA-SAIS:** Ahora sí.
12
13 **GRACIELA GARCÍA-MOLINER:** ¿Aquí necesitas que hable?
14
15 **LIAJAY RIVERA GARCÍA:** Sí.
16
17 **GRACIELA GARCÍA-MOLINER:** Okay. ¿Me estás oyendo? ¿Cristina, me
18 está oyendo?
19
20 **LIAJAY RIVERA GARCÍA:** Vanessa dice que el audio está de vuelta.
21
22 **GRACIELA GARCÍA-MOLINER:** El audio está bien. Gracias, Vanessa.
23 ¿Qué más?
24
25 **LIAJAY RIVERA GARCÍA:** ¿Y video se ve?
26
27 **GRACIELA GARCÍA-MOLINER:** Okay, pues, proyecta. ¿Pero ya podemos
28 proyectar y empezar? Ahora, como corremos contra el reloj, ya vamos
29 a ponernos, aunque salgan, tú estás pendiente de todo lo que salga.
30 Okay. ¿Ya estamos?
31
32 **MARCOS HANKE:** Hello, everyone. We are back. Thank you for your
33 kindness and for waiting so long. We will let you know as soon as
34 we start. The group says that we are ready. Reni, please proceed.
35 Thank you.
36
37 **JORGE R. GARCÍA-SAIS:** Gracias, Mr. Chairman.
38
39 Me voy a tomar un poquito, yo sé que estamos apretados de tiempo,
40 pero yo me voy a tomar un tiempito para explicar esto, porque esto
41 es la base de todo. Quizás en futuras presentaciones yo pueda ir
42 más específico sobre todos los datos del proyecto que, de hecho,
43 todavía en producción.
44
45 Realmente, o sea, lo que le estaba diciendo es que el mar Caribe
46 está altamente estratificado, verticalmente por diferentes masas
47 de agua, que vienen a diferentes densidades, y por eso es que se
48 agrupan y se ordenan de acuerdo a su densidad.

1
2 Realmente, la capa de agua mixta es la capa de agua que mayormente
3 está afectando las áreas de la plataforma insular. Sin embargo,
4 las áreas de pesca de pagos de agua profunda incluyen,
5 fundamentalmente, estas dos masas de agua. Son masas de agua, que
6 una es el subtropical underwater, y la otra es del mar de los
7 sargazos. Ambas masas de agua provienen del mar de los sargazos.
8 Aquí están las profundidades y las temperaturas a las cuales se
9 obtiene estas profundidades. Básicamente es la medula del centro
10 de estas masas de agua.

11
12 Cada una de estas de masas de agua tiene lo que se llama una firma
13 o un 'signature,' que está provisto por su combinación de
14 temperatura y salinidad. La temperatura y la sanidad son los
15 parámetros o factores que se conocen como factores conservadores.
16 O sea, que no varían de acuerdo a los organismos, porque se
17 conservan. Cada masa de agua tiene sus características de
18 temperatura y salinidad, y, por ende, densidad y se acomodan
19 verticalmente de acuerdo a su densidad.

20
21 La próxima.

22
23 Estas masas de agua que le estaba hablando, que es el subtropical
24 underwater, y el sargazo sea water, que también se conoce como el
25 agua del Atlántico central, se encuentran al Norte, o sea, en el
26 Atlántico Norte, y son una de las zonas de menor productividad del
27 planeta. O sea, son zonas sumamente áridas en términos de su
28 producción, debido a que están permanentemente estratificadas y
29 debido a que no hay mezcla entre aguas profundas y la capa
30 superficial donde está iluminada y, por ende, ocurre la mayor parte
31 de la producción primaria, o sea, la producción del fitoplancton,
32 pues los nutrientes se agotan. Son áreas que están, lo que llamamos
33 fuertemente limitadas por un nutriente que es el nitrógeno.

34
35 Ustedes van a decir, "Pero Reni, cómo es posible, si en el mar del
36 sargazo, que se producen toneladas de sargazo, ¿Cómo vas a decir
37 que esta es un área árida?" Bueno, es un área árida, lo que pasa
38 es que el sargazo produce su propio, o sea, no obtiene su nitrógeno
39 del mar, lo puede obtener del mar, pero lo puede obtener también
40 de la atmósfera, o sea, del aire, básicamente, y por eso su
41 producción no está limitada por nitrógeno, sino que puede producir
42 grandes cantidades y es una de las fuentes más importantes de
43 nutrientes en esta zona, el sargazo per se.

44
45 Otra fuente bien importante, que es un proceso bien importante que
46 afecta a las pesquerías de nosotros acá abajo, es la corriente del
47 Golfo. ¿Por qué la corriente del Golfo? La corriente del Golfo es
48 una corriente alta en nutrientes, que es una corriente bien rápida,

1 que tiene lo que llamamos en oceanografía, una vorticidad positiva,
2 y a veces es tan rápida que se desprende de la plataforma insular
3 y entra como unos anillos, que llamamos anillos fríos, bien ricos
4 en nutrientes a esta zona y, posiblemente, parte de esas zonas de
5 alta productividad puedan entrar al Caribe.

6

7 De hecho, la mayor parte del flujo de estas aguas entra al Caribe
8 por los pasajes, pero principalmente por tres pasajes que hay acá
9 abajo, al Norte de Trinidad y Tobago, que son el pasaje de Grenada,
10 el de Santa Lucía y el de San Vincent. La mayor cantidad de flujo
11 viene de ahí.

12

13 Próxima.

14

15 Hay muchas otras interacciones, o sea, se puede estar una hora
16 hablando sobre esto, pero realmente no hay tiempo.

17

18 Este, vamos a hacer lo más importante, que es básicamente presentar
19 los datos que se obtuvieron con los pescadores. Como vemos, estos
20 son los perfiles de temperatura. Aquí están las profundidades cada
21 cincuenta metros, hasta cuatrocientos metros, que es donde ellos
22 pescan, y aquí las temperaturas que van aumentando cada dos grados.
23 Como ve, hay alguna separación en temperatura, esta separación en
24 la capa superficial está relacionada a las diferentes temporadas,
25 está afectada por la temperatura del aire, y vemos claramente la
26 presencia de lo que nosotros llamamos la capa mixta.

27

28 La capa mixta básicamente es una zona donde la temperatura no varía
29 con profundidad. Es una temperatura homogénea. Esto es un indicio
30 de mezcla y esto es lo que caracteriza la capa mixta superficial
31 del Caribe. La profundidad de esta capa mixta es importante, porque
32 es lo que mantiene esta área bien mezclada aquí y depende del
33 viento. Mientras más fuerte el viento, más profunda es la
34 penetración de esta capa mixta.

35

36 Aquí están las áreas en donde se ha estado trabajando hasta ahora,
37 incluyen Añasco, Bajo de Sico, la Corona del Sur, Parguera, Playa
38 Santa, Caja de Muerto y San Juan. Vemos como la temperatura varía
39 rápidamente después de los setenta metros, ochenta metros. Esta
40 zona de una variación bien rápida se conoce como la termoclina. Y
41 ven cómo vas abajo, ya para los trescientos cincuenta metros,
42 trescientos treinta metros, la temperatura no varía mucho entre
43 sitio y sitio, se mantiene constante. De hecho, todos los estudios
44 confirman que la mayor parte de las variaciones tanto en
45 temperatura como en salida en el Caribe, ocurren en los primeros
46 mil doscientos metros de agua, y después de ahí, la temperatura es
47 básicamente constante, es similar entre área y área.

48

1 La próxima.

2
3 Este es el perfil de salinidad. Como vemos, capa mixta, la
4 salinidad en esta capa varía mucho de acuerdo a la lluvia, de la
5 lluvia a la escorrentía de los ríos. También varía de acuerdo a o
6 está influenciada por el advenimiento de agua, de lentes de agua
7 del Orinoco y del Amazonas.

8
9 Vemos también que hay una zona de variación bien rápida, bien
10 fuerte de salinidad con profundidad, esto lo conocemos como el
11 haloclina, que es un área de donde, no tan solo la salinidad, sino
12 que la densidad, afectada por la salinidad, aumenta también
13 rápidamente y crea básicamente un sello, aquí, entre la masa de
14 agua superficial y las demás masas de agua más abajo. Vemos aquí
15 el máximo de clorofila-- perdóname, el máximo de salinidad que se
16 conoce como la firma principal del subtropical underwater, y más
17 abajo está el sargazo sea water.

18
19 De nuevo, la mayor parte de la variación ocurre sobre los
20 trescientos metros. Aquí ya vemos cómo la salida se empieza a
21 estabilizar en base a las áreas después de los trescientos metros.

22
23 La próxima.

24
25 El perfil de densidad. El perfil de densidad es la resultante de
26 estos dos factores de temperatura y de salinidad. Van a ver lo
27 importante que es para las pesquerías este concepto, porque
28 realmente se separan las masas. No hay conexión entre esta masa de
29 agua, hay muy poca conexión física entre estas masas de agua y la
30 masa de agua de la superficie, aunque vemos cómo se interrelacionan
31 en la próxima laminilla.

32
33 Mira, aquí, esto es un estudio de Seijo-Ellis et al., 2019. En
34 realidad, el estudio se realiza en el 2017 al Sur de Saint Thomas.
35 A bordo del Nancy Foster, se tomaron todos estos estos perfiles,
36 temperatu-- lo mismo que les había mostrado, temperatura,
37 salinidad, densidad, y clorofila. Y la razón que traigo este slide
38 es para enseñarle este dato, porque este dato yo no lo tengo en mi
39 proyecto y es sumamente importante.

40
41 Lo que vemos aquí, lo que quiero enseñarles es que el máximo de
42 clorofila correlaciona con el máximo de salinidad. Quiere decir
43 que este máximo de clorofila no refleja-- a casi ciento treinta
44 metros, no refleja la producción de clorofila en este sitio, sino
45 que lo que refleja es que aquí es que se está sedimentando todas
46 las células de fitoplancton. Toda esa productividad de esta parte
47 de la capa mixta que ocurre aquí se está sedimentando y se queda
48 estancada en este punto como si fuera un falso bentos. Este falso

1 bentos está producido por el gradiente de densidad. O sea, que hay
2 una mayor densidad y esas partículas de fitoplancton, básicamente,
3 se quedan sobre esta zona. Y este máximo de clorofila, aquí, este
4 layer, puede ser sumamente importante para explicar la
5 productividad de los cartuchos en aguas profundas.

6
7 ¿Por qué? Porque hay un montón de-- hay diferentes organismos
8 particularmente los eufácidos y otros copépodos de diferentes
9 tipos de micro zooplancton, que pueden estar haciendo migraciones
10 verticales de esta zona, alimentándose aquí, y luego yéndose abajo
11 nuevamente donde pueden ser capturados por los peces.

12
13 La próxima.

14
15 Ok, esto es una muestra de un eufácido. Los pescadores, si ustedes
16 ven este tipo de organismo en la boca de los cartuchos, eso es una
17 indicación de que lo que yo le estoy diciendo pudiera estar
18 ocurriendo. Y particularmente quizás no sea un artículo importante
19 en la dieta de los cartuchos, pero sí lo es para los calamares. Y
20 los pescadores saben que donde están los calamares están los
21 cartuchos.

22
23 La próxima.

24
25 Entonces, ¿cuáles son las fuentes potenciales de productividad que
26 pueden estar sosteniendo estas poblaciones de cartucho y de
27 muniemas en el ámbito de los doscientos o los cuatrocientos metros?

28
29 La próxima.

30
31 Una es como lo que estaba diciendo, la sedimentación de esta
32 materia orgánica, producida en el surface mixed layer, que una vez
33 empieza a sedimentarse, empiezan a formarse unos microbial loops
34 que le dan un contenido adicional, nutricional a estas partículas
35 y pueden estar creando un nivel, un layer, una zona de alta
36 productividad justo en el borde, entre la capa superficial y las
37 capas profundas donde se pescan los cartuchos.

38
39 La próxima.

40
41 Nutrientes y zooplancton y material orgánico, pueden estar
42 viniendo de las masas de agua en el Atlántico Norte, tanto del
43 subtropical underwater como del sargazo sea water, a través de
44 estos canales, y ya vienen con su zooplancton, y vienen con su
45 material orgánico. Como le dije, proveniente de diferentes fuentes
46 que están disponibles en esa zona.

47
48 La próxima.

1
2 Ok, lo que les estaba hablando. El zooplancton y micronecton, que
3 incluyen los eufácidos, también se conocen como el krill, lo que
4 comen las ballenas. Característicamente, esta estos organismos se
5 agrupan en escuelas bien densas, que, de hecho, ahí es donde comen
6 las ballenas, porque de lo contrario, estos pesos no tienen
7 suficiente alimento para la energía que gastan, así que comen en
8 sitios donde hay agregaciones. Y estos estos organismos se
9 caracterizan por tener estas migraciones verticales hacia áreas de
10 donde hay alta alimentación y después bajar para metabolizar en
11 aguas más fría la comida que se come, un proceso que se llama como
12 parachute transport, hacia el fondo.

13
14 La próxima.

15
16 También hemos visto que el cartucho es un carnívoro oportunista.
17 El cartucho lo mismo come en la columna de agua, que come del
18 fondo. O sea, come de los dos lados. Posiblemente haya unas
19 relaciones ontogenéticas, o sea, que el cartucho va cambiando de
20 hábitos alimenticios y de estrategia alimenticia, según va
21 desarrollándose. Particularmente, la experiencia de los pescadores
22 y lo que comparten conmigo es que los peces pequeños tienden a
23 quedarse en áreas regionales y a alimentarse bastante y dependen
24 bastante del bentos, del fondo, para su alimentación, mientras que
25 los cartuchos grandes, lo que hacen es que se forman en escuelas
26 y van detrás de los calamares, como ellos dicen, corren, y van
27 detrás de los calamares buscando áreas de alta alimentación, lo
28 cual hace sentido, porque si, porque realmente es difícil explicar
29 la productividad de pesca en estas zonas oligotróficas, o sea, de
30 bajos nutrientes y de baja productividad, a no ser que sea que los
31 peces están encontrando áreas de alta concentración de alimentos.
32 Concepto que se conoce como pirámides invertidas. Que se conoce
33 también que aplica para explicar la abundancia de tiburones en las
34 áreas de arrecifes de coral.

35
36 Adelante.

37
38 Y pudiera haber también una producción de zooplancton e
39 ictioplancton, basada en la re-mineralización de los nutrientes
40 que ya hay en el fondo y que posiblemente eso es una es una fuente
41 de alimentación también.

42
43 La próxima.

44
45 Esto es una foto que yo tomé desde un ROV a unos quinientos y pico,
46 casi seiscientos pies de profundidad muy cerca de las áreas de
47 pesca, para que vean que, en el fondo, a estas profundidades ya
48 afótica hay bastante producción de coral no simbiótico. O sea, que

1 básicamente los arrecifes de coral de Puerto Rico aparentemente no
2 están restringidos a la zona de la plataforma insular, sino que
3 allá abajo donde viven los cartuchos y los chillos, también hay
4 arrecifes de coral o por lo menos, comunidades de coral.

5

6 Adelante.

7

8 Okay, esto entonces, yo quería poner en perspectiva lo que era el
9 hábitat de pesca de estas especies. Una perspectiva espacial. Como
10 vemos, yo paré en las diferentes zonas de profundidad. Tengo que
11 admitir que esto es un estimado crudo, porque estos son áreas de
12 superficie en metros cuadrados, calculadas de forma horizontal. No
13 considera las áreas que están proyectadas verticalmente, como
14 vamos a ver qué ocurre en la mayor parte de las plataformas
15 insulares.

16

17 Sin embargo, cabe destacar que las áreas de pesca entre doscientos
18 y cuatrocientos metros incluyen prácticamente un 20 por ciento del
19 área total entre cero y cuatrocientos-- o sea, básicamente entre cero
20 y cuatrocientos metros, que es lo que incluye esencialmente la
21 plataforma insular, más la pendiente insular en estas islas. O
22 sea, que básicamente toda la zona del promontorio de la isla,
23 incluyendo el slope, lo que llaman el insular slope. Básicamente,
24 está cerca de los cuatrocientos metros. Así es que, básicamente,
25 esta estas profundidades, en Puerto Rico, incluyen casi el 20
26 por ciento.

27

28 Sin embargo, en las Islas Vírgenes, y aquí estoy incluyendo, San
29 Thomas, Santa Cruz, San John, son un poco más de que son 6
30 por ciento. Hay bastante mayor área, bastante mayor área en Puerto
31 Rico, y vamos a ver por qué.

32

33 La próxima.

34

35 Fundamentalmente, esto es un mapa, aquí tienen las zonas profundas.
36 Como le digo, aquí es muy difícil ver las áreas en la escala
37 vertical. ¿No? Y como vemos, a través de prácticamente toda la
38 isla, Islas Vírgenes también, estas áreas están prácticamente
39 únicamente en algunos sitios relacionadas a las pendientes
40 insulares.

41

42 Sin embargo, en Puerto Rico, al oeste de Puerto Rico tenemos lo
43 que es Puerto Rico Southern Fault. Esto, básicamente, es una cadena
44 de montañas que unen a la República Dominicana con Puerto Rico.
45 Aquí hay unas zonas de pesca muy importantes y una de las cosas
46 que más justifica que el área oeste de Puerto Rico sea una de las
47 áreas de mayor producción de pesca de pargos de agua profunda y de
48 peces de agua profunda.

1
2 Áreas de pesca, aquí están los rabos de Aguadilla, áreas que se
3 conocen de pesca. Aquí, en esta zona de aquí, salimos para pescar
4 las áreas de Añasco. Aquí, increíble, hay una cadena de montaña
5 que parece que uno estuviera en la Cordillera Central, pero
6 submarina. Una serie de montañas aquí en esta zona. Bajo de Sico.
7 Aquí el área de Desecheo y una cosa que los pecadores llaman la
8 Corona del Norte, que es un pináculo que sale aquí al este del
9 Desecheo. Hay otras áreas de pescas famosísima, como le dije, el
10 Bajo de Sico, la Corona del Sur, el Guineo, aquí está el área del
11 Pichincho, con el área del medio, aquí hay otra zona que conocen
12 algunos pescadores que se llama la 178, ellos llaman las 178
13 brazas, un área de buena pesca de cartucho aquí también.

14
15 La próxima.

16
17 Aquí, en la en la zona Este, Vieques, Culebra, las Islas Vírgenes,
18 hay una zona bien amplia, de entre cincuenta y cien metros de
19 profundidad, no la hemos explorado, no sabemos de lo que es, quizás
20 los pescadores nos puedan dar más información cuando nos volvamos
21 para las islas vienen a hacer trabajos allá. Sin embargo, vemos
22 que sí, hay unas áreas bien interesantes de pesca, zonas de
23 hábitat, de hábitat de pesca de pargos de agua profunda, asociados
24 al veril, o sea, a la plataforma, a la pendiente insular de las
25 plataformas.

26
27 Aquí en el Sur de San Thomas, también hay un área bastante amplia
28 en San Thomas/San John, de entre cincuenta y cien metros. Algunas
29 de estas áreas son áreas conocidas de desove de peces de
30 importancia comercial, como de la cabrilla y los meros, en
31 particular, cerca del área del MCD y de Grammanik Bank.

32
33 Adelante, la próxima.

34
35 En Santa Cruz, la mayor parte del hábitat está circunscrita a la
36 pendiente insular. Aquí en el área de Lang Bank, un poco más área
37 de pesca, o sea, de hábitat de pesca. Y entonces, la parte Sur,
38 pues es un área bastante amplia, con zonas hasta de cuatrocientos
39 metros, bastante amplia. No conocemos el tipo de hábitat que hay
40 en esta zona, esperamos que con la ayuda de los pecadores de Santa
41 Cruz podamos explorar un poco esta zona de aquí.

42
43 La próxima. La próxima.

44
45 Ok, pues, yo hice un pequeño ejercicio, reduciendo un poco de los
46 datos que me hicieron llegar del Consejo de Pesca del Caribe. Me
47 dicen que estos son datos que el origen de estos datos es parte de
48 las capturas, para Puerto Rico expandidas, para San Thomas y San

1 John directa, de los informes pesqueros, entre el 2015 y 2017, que
2 pensé que era un buen tiempo, ya que en el 2018 empezaron a surgir
3 todas las anomalías de los huracanes y de los temblores y de las
4 pandemias y de todo lo demás. Así que 2015 o '17 me parecía un
5 buen período para hacer este análisis, y separé la pesquera
6 comercial solamente de peces, no carrucho, no langosta, no
7 cangrejos, no nada más, solamente peces, para peces que llamo
8 profundos demersales. O sea, los peces de fondo, todos los pargos
9 y los meros de agua profunda; los pelágicos que incluyen el dorado,
10 la sierra, los petos, todo lo demás; lo que es peces costeros de
11 la plataforma; y de los de los costeros pelágicos, eso es
12 básicamente todos los jureles y esos peces costeros; creo que
13 incluí la sierra carita aquí, y el king mackerel lo incluí acá.
14 Aquí está el king mackerel, el peto, y los dorados principalmente.

15
16 Como vemos, la captura de peces demersales en el área de Puerto
17 Rico son mucho mayores que en las Islas Vírgenes. Posiblemente
18 esto esté explicado en base a la a la mayor área de cobertura, o
19 sea, en la mayor área de hábitat que hay en Puerto Rico. Pero
20 también hay otras razones porque ya nosotros hemos estado oyendo
21 aquí en este Consejo de Pesca, por mucho tiempo, que hay problemas
22 de ciguatera con pargos de agua profunda en San Thomas. Yo no sé
23 hasta qué punto-- yo francamente no sé hasta qué punto eso es
24 cierto, o si eso todavía aplica, o si se dejan de pescar los peces
25 por la cuestión de la ciguatera, realmente yo no sé, pero lo que
26 sí, es que hay una diferencia bastante marcada entre lo que es el
27 recurso pesquero asociado a estas profundidades en Puerto Rico,
28 comparado con las Islas Vírgenes. Así que, es importante considerar
29 que posiblemente haya unas razones más allá de la cuestión de la
30 ciguatera, sino que el hábitat es mucho más amplio en la plataforma
31 de Puerto Rico.

32
33 Adelante.

34
35 Aquí, esto es un resumen hasta ahora. ¿Verdad? Básicamente, estamos
36 hablando de diez días de pesca. O sea, de diez salidas con los
37 pescadores. Se han obtenido trece especies en la cala. Hay
38 diferencias en el esfuerzo pesquero. Algunss pescan con boyas,
39 otros pescan directamente con el cordel. Básicamente, en total, en
40 estas diez salidas, combinando los tres pescadores, se han obtenido
41 251.4 libras de peces landed, o sea, de peces abordados.

42
43 Ellos no abordan los tiburones y hay un peso considerable en esos
44 tiburones. Básicamente, quizás pudiera haber sesenta, setenta
45 libras más de tiburones asociado a esto, pero estos no están
46 incluidos. Si estan incluidos en términos de las especies. Aquí
47 tenemos el dusky smooth hound, Squalus, los hexanchus también,
48 pero básicamente el principal componente de la pesquería es el

1 cartucho a estas profundidades entre doscientos y cuatrocientos
2 metros.
3
4 Recogimos ciento diecisiete peces, el total de libras fue ciento
5 setenta y ocho, y el promedio por libra, 1.5 libras por pez.
6
7 Yo me quedé sorprendido de la cantidad de muniama que vienen con
8 esa pesca. La muniama, que es una muniama de más de una libra. Es
9 un buen pez de sartén. A los pescadores se los pagan igual, por lo
10 menos en el área Oeste los pagan igual. Así que, estas dos especies
11 realmente son las principales de la pesca a estas profundidades.
12
13 La próxima. Ah, déjame, por favor, la anterior, la anterior, que
14 quería hacer un señalamiento rapidito.
15
16 Quería decirles que, aunque son diez días de pesca, yo creo que
17 realmente, como se debe medir el esfuerzo de pesca, bien medido,
18 es con los números de drops, o sea, con los números de calazos, en
19 otras palabras. O sea, porque un pescador-- yo he salido con tres
20 pescadores diferentes y los tres tienen un esfuerzo pesquero-- en
21 un mismo día, el esfuerzo pesquero puede ser el doble o el triple
22 uno del otro. O sea, en términos de los calazos. Así es que en
23 términos de la captura por calazo es básicamente dos libras, es lo
24 que yo pude medir allí. Veinticinco libras de captura por día, por
25 pescador.
26
27 Con toda la variabilidad que hay entre los tres pescadores, un
28 pescador solamente salió dos días, así es que no es completamente
29 equiparable. Definitivamente el esfuerzo varía entre pescador y
30 pescador.
31
32 Adelante.
33
34 Además de la pesca de estas especies, nosotros estamos haciendo un
35 esfuerzo por recoger toda la información posible de las especies
36 que están relacionadas a este hábitat, para poder después incluir
37 estos elementos en lo que es un modelo conceptual de esta zona, de
38 esta pesquería en particular.
39
40 Hay cosas aquí que yo no sé lo que son todavía. O sea, este puffer
41 salió de casi mil pies de profundidad, y no sé lo que es. No lo
42 encuentro por ningún sitio. Este conger, cada vez que la cala caía
43 en el fondo fangoso en San Juan, salía un conger de esto para
44 afuera. Eso es un problema para el pescador, porque no es fácil
45 sacarlo de ese anzuelo, y a veces vienen dos y tres de ellos en un
46 calazo. El spiny dogfish, es un pez que cuando dice llegar a la
47 cala, es un problema, porque a veces son dos y tres de ellos,
48 cuatro de ellos en una cala. Forman un enredo bien brutal. El

1 pescador pierde mucho tiempo y energía tratando de sacar estos
2 tiburones de la cala. Es realmente admirable ver cómo esta gente
3 brega con esos peces, ahí, a mano. Aquí vemos el juvenil de un
4 misty grouper, de una guasa. También se coge a profundidades entre
5 seiscientos y ochocientos pies. No es la primera vez que yo lo
6 veía en una pesquería de esta.

7
8 Así que estamos haciendo un esfuerzo por recoger estas especies y
9 la información de estas especies. Seguimos tratando de conseguir
10 las identificaciones. Quizás más adelante, incluyamos análisis de
11 tejido para hacer análisis de DNA y ver si podemos conseguir las
12 especies de acuerdo a su contenido genético.

13
14 La próxima.

15
16 Entonces, las condiciones preliminares del estudio. O sea, la
17 pesquería de pargos de profundidad en el ámbito de los doscientos
18 a cuatrocientos metros está básicamente asociado a la masa de agua
19 del sargazo.

20
21 Adelante.

22
23 Las características físicas y biológicas de la columna son
24 relativamente estables, y están dominadas por una estratificación
25 permanente y condiciones oligotróficas, o sea, condiciones de poca
26 productividad.

27
28 Adelante.

29
30 Sin embargo, la productividad aparenta estar bien fuertemente
31 relacionada a la cadena alimenticia del plancton, aunque con un
32 componente béntico también que todavía no hemos podido determinar
33 cuán realmente importante es. Pero sabemos que está asociada
34 aparentemente durante la época juvenil de estos peces,
35 particularmente del cartucho, alimentación directamente del fondo.

36
37 Adelante.

38
39 La sugerencia mía, según yo lo veo y lo propongo, es que un factor
40 clave que está influenciado y sosteniendo la productividad, de los
41 pargos de agua profunda y su distribución espacial, debe estar
42 relacionada a la alimentación en estos en estos parchos, en estos
43 patches de zooplancton y de micronecton, que puede incluir
44 copépodos, eufácidos, pero particularmente el principal depredador
45 de ellos, que son los calamares. O sea, los calamares van buscando
46 el zooplancton y el micronecton y los cartuchos, saben dónde
47 encontrar los calamares.

48

1 Este zooplancton/micronecton con los calamares pudieran estar
2 produciendo lo que se conoce como un discattering layers, y si yo
3 fuera pescador, estaría buscando estos discattering layers en mi
4 ronda. Porque donde están los calamares, van a estar los cartuchos
5 grandes, y eso pudiera ser un factor que pudiera mejorar el
6 performance de la pesquería en esta zona.

7
8 Como le dije, les mostré por qué yo pienso esto. Porque básicamente
9 hay mucha pesquería en agua bien poco productiva lo cual quiere
10 decir que estos peces pudieran estar viviendo y fusionando dentro
11 de lo que conoce como el concepto de las pirámides invertidas.

12
13 Adelante.

14
15 Como les dije, los mayores porcentajes de pesca, de especies de
16 agua profunda en los landings comerciales de los peces en Puerto
17 Rico, relativo a las Islas Vírgenes, pudiera estar influenciada
18 por la mayor cantidad de hábitat que hay en la zona oeste, entre
19 otras cosas.

20
21 Y esa es mi presentación, disculpen si me pasé un poquito por
22 mucho. Tuve problemas técnicos, pero cualquier pregunta, con mucho
23 gusto. Esto es un estudio que está en progreso, ya se rendirá un
24 informe detallado completo con estas pesquerías.

25
26 De nuevo, agradezco la participación de los pescadores y estímulo
27 a cualquier pescador que esté oyendo esta presentación, o que esté
28 aquí presente, que esté interesado en el en participar en el
29 proyecto, hay una compensación económica para ellos por día de
30 cuatrocientos dólares, y realmente estarían haciendo una
31 contribución bien importante al conocimiento de su propia
32 pesquería. Gracias.

33
34 **Questions/Comments**

35
36 **MARCOS HANKE:** Reni, gracias por la presentación. Gracias por la
37 pasión que pones en lo que hace. Así que seguiríamos
38 comunicandonos. Vamos a tener espacio para dos preguntas.

39
40 We are going to have space for three questions. Please be very
41 brief. Tony, Richard, and Nelson.

42
43 **LOUIS ANTHONY BLANCHARD:** Morning. Good presentation, there was
44 a lot of information on this presentation. Now, what I noticed was
45 you mentioned the ciguatera. That, basically, you didn't find any
46 ciguatera in Puerto Rico where they did the fishing. But I know in
47 Saint Thomas there is cases of ciguatera, especially with the
48 blackfin snappers in deep water. Now, I know it was mentioned

1 before that ciguatera was caused by a microalgae that was found in
2 shallow water. We are talking about deep water now. So, my question
3 is this. How accurate is the assumption that the microalgae that
4 was mentioned is actually the culprit in the ciguatera.

5
6 **JORGE R. GARCÍA-SAIS:** Well, I don't think that anybody has the
7 perfect answer to your question. I think that-- well, what I know
8 is that ciguatera is not just the result of an algae, but actually
9 the combination of algae plus bacteria. So, maybe any specific
10 site can have a different combination of those. I am not sure about
11 that.

12
13 My knowledge was that this is a process that was associated mostly
14 with shallow waters. Mostly with areas of the insular shelf. I
15 don't know what is behind the incidence of ciguatera associated
16 with deep water. Particularly in areas where it's mostly aphotic.
17 So, that algae doesn't have any light. So, if it doesn't have any
18 light, how's it a light there? you know. You know what's the
19 dynamics of that?

20
21 You know, I frankly can't answer your question because I don't
22 know. All I know is that for years or for decades, I should say,
23 I've heard recognized fishermen of the U.S. Virgin Islands,
24 particularly in Saint Thomas saying, stating, that in part there
25 is limitation on the fishing on this deep-water snapper population
26 because of the ciguatera issues.

27
28 I mean, there's a fisherman here from Saint Thomas that knows not
29 much more about that than me. Probably that question should be
30 directed to them.

31
32 **MARCOS HANKE:** Reni, your presentation really was not about
33 ciguatera, right? You just made a point about the ciguatera. I
34 think we can, and we will address ciguatera with other
35 presentations. I would like the questions to be to the point of
36 your presentation, about what you just presented. Miguel.

37
38 **MIGUEL A. ROLÓN:** And also, I think that we are confusing signature
39 water with ciguatera. They are two different things. What you were
40 saying is that these waters, they remain where they are because of
41 the oceanographic conditions. That's important to know. And also,
42 for the record, we have not received any reports of ciguatoxic
43 fish on deep-water snappers and groupers. It doesn't mean that
44 they are there or not. Sorry, we have not received yet, I don't
45 know if Graciela has any record but the people who have given
46 presentations to us before, they questioned those instances and
47 that's why Marcos is saying that this is--

48

1 **JORGE R. GARCÍA-SAIS:** Yes, but I have to answer any questions,
2 or anybody can e-mail me as well or call me or whatever. I'm always
3 willing--
4

5 **MIGUEL A. ROLÓN:** That's what I was going to suggest. Anybody who
6 is interested, please contact Graciela or Doctor Reni García and
7 probably for the August meeting we'll have an update because this
8 is important--
9

10 **JORGE R. GARCÍA-SAIS:** Quite frankly, I appreciate Tony's question
11 very much because I believe that more effort should be addressed
12 to finding out what's going on with ciguatera problem of these
13 deep-waters snapper populations in Saint Thomas. Because if it's
14 something that was temporary or a given time, a given school of
15 fish that went there, or if it's a continuous thing that is being
16 produced all the time. Because otherwise the ciguatera problem may
17 have been banished and you have that resource there open almost
18 pristine fishing for deep-water snappers and--
19

20 **MIGUEL A. ROLÓN:** The point is that we need to discuss this some
21 other time. But we have to be--
22

23 **JORGE R. GARCÍA-SAIS:** That's okay. I just got involved, you know?
24 I'm sorry.
25

26 **MIGUEL A. ROLÓN:** We have to be mindful about these things on the
27 record. You can kill an entire fishery by the wrong information
28 about ciguatera. That happened before in Puerto Rico. So, unless
29 we have specific instances and supported scientific data, we should
30 drop the discussion.
31

32 **MARCOS HANKE:** And there are people working on that. That's why I
33 request the group to be mindful that eventually we're going to
34 address this with the experts working on the field local in Puerto
35 Rico. Tony, just to wrap up, go very quick and I go to--
36

37 **LOUIS ANTHONY BLANCHARD:** Just wrap up. I didn't want to get off
38 course. The point I'm trying to make is there was no cases of
39 ciguatera with the deep-water snappers in Puerto Rico. In Saint
40 Thomas, especially the blackfins, they have a history of that. And
41 I'm not trying to kill our fishery but the point I'm trying to
42 make is, obviously there is something that is different that is
43 going on in Puerto Rican waters, compared to the Virgin Islands
44 waters. And that's the point I was trying to make. As to, if it's
45 really a shallow water microalgae that's causing that problem is
46 not going to be found in that depth of water. That's the point
47 that I was trying to make.
48

1 **MARCOS HANKE:** We're going to-- noted. We're going to take care of
2 this issue later on, at another moment, with a someone working
3 with new data from ciguatera. Richard.
4

5 **RICHARD APPELDOORN:** A comment and a question. The comment is that
6 I'm sure you're aware that Jerry Ault and Steven Smith, did a deep-
7 water snapper pilot sampling program as if, you know, the SEAMAP,
8 for example, or NOAA, or somebody wanted to take over this is the
9 statistics on how to design that. And it was done with commercial
10 fishermen, I think Nelson was part of that, and Roberto Silva and
11 a couple of others.
12

13 In that study, they did a [inaudible] calculations using the
14 multibeam stuff for the areas that those were available. So, that
15 might be something you could add to yours to get an idea of still
16 another factor that's affecting the habitat there.
17

18 I'll throw out another comment. Blackfin snappers are really the
19 shallowest of the deep snappers, so they could be affected by
20 shallow stuff, especially in their juvenile stages.
21

22 So, anyway, the question is you had a lot of camera work. So, was
23 there something that came out of that that said,
24 characteristically, we saw this kind of environment associated
25 with the higher catches versus where you didn't get higher catches?
26

27 **JORGE R. GARCÍA-SAIS:** No pusimos el video. Si, pon el video.
28

29 **MARCOS HANKE:** Reni. Reni. Reni.
30

31 **RICHARD APPELDOORN:** Just give a-- because they are short on time.
32 I was saying, did you analyze the camera images to be able to get-
33 - was there a pattern that emerged about where you found fish
34 versus where you did not?
35

36 **JORGE R. GARCÍA-SAIS:** Well, we've been watching a pattern. You
37 know? Unfortunately, we haven't been very successful with the
38 camera. We have drowned two of them already. The thing is that
39 with the instrumentation that we have, we have little control of
40 knowing at exactly what depth the camera is going down. And it's
41 going down fast. So, when it hits rock-- [laughter]
42

43 **MIGUEL A. ROLÓN:** You have to buy another one.
44

45 **JORGE R. GARCÍA-SAIS:** --it drowns. So here-- can you replay it.
46 Here we dropped it. This is a thousand feet deep. Okay? So, we
47 dropped it at a place where we have taken cartuchos. We take
48 cartuchos. Those are spiny dogfish. We have spiny dogfish or maybe

1 it's a-- no, that's a vilma. So that's what we have seen.
2
3 When we work with ROVs, every time that we went into rocks with a
4 lot of coral and black coral, and a lot of life, I saw a lot more
5 fish there. Every time we see coral formations and stuff like that,
6 chances are you will see snapper. You know? So, there's a reef
7 down there.
8
9 **MARCOS HANKE:** Reni. Reni. Reni, the point of Richard, I think,
10 have to be taken noted for a future presentation when you have
11 more trips out to help, to guide us on better decisions, but we
12 really need to move forward because we're really behind schedule.
13 Nelson.
14
15 **NELSON CRESPO:** Thank you, Mr. Chair. Excellent presentation, Reni.
16
17 **JORGE R. GARCÍA-SAIS:** Not my fault. You know? Not my fault. I
18 mean, call the internet, that's the universe entropy. Whatever.
19
20 **NELSON CRESPO:** Excellent presentation, Reni. I strongly support
21 the integration with the scientific and the fishers because we
22 learn from each other. We know, firsthand, our job and that's going
23 to help us a lot in the management plans in the future. But one
24 thing, when you're talking about the small shrimp, in occasion, we
25 catch the queen snapper with a mouthful of only shrimp. But you
26 are right. When we catch the big cartuchos, we call them the
27 traveler one, the one that has a long tail, they are running behind
28 a big mass of squid and shrimp, and that's where we catch the most
29 of the biggest cartucho.
30
31 **JORGE R. GARCÍA-SAIS:** It has to be. It has to be.
32
33 **NELSON CRESPO:** Yeah. And I see that every year. I am curious in
34 the summary slide that you only caught in 10 trips, only two
35 hundred something pounds of fish. How long did each trip take?
36
37 **JORGE R. GARCÍA-SAIS:** That's what I told you. It varies a lot.
38 It varied a lot. A lot of things happen, you know, in those ten
39 days. You know? I mean, issues with the equipment, issues with the
40 weather, issues with huge fish just breaking up the calas. You
41 know, some fishermen would go the entire day to the point that I
42 was exhausted. Some of them worked half a day and "let's go home."
43 Some of them, for example, worked with a series of boys. So, they
44 have, at any given point, three calas in the water.
45
46 **NELSON CRESPO:** Okay.
47 **JORGE R. GARCÍA-SAIS:** So, that's a lot of effort for a given
48 unit of time. Others just fish with one reel and then they go,

1 they're happy with their twenty-five pounds. They are happy with
2 that.

3

4 **NELSON CRESPO:** I saw in your report also that only small fish
5 were caught, around a pound and a half size fish. I'm wondering
6 where the fish were developed, close to shore or far from shore?
7 Because--

8

9 **JORGE R. GARCÍA-SAIS:** Well, the thing is okay.

10

11 **NELSON CRESPO:** --normally, we got a mix of size.

12

13 **JORGE R. GARCÍA-SAIS:** Okay. I'm going to answer you quickly.
14 It's because one of these sites is in the South Coast. So, you
15 know that the South Coast, you cannot go very far from land because
16 the slope is close to shore, and it's steep. Okay? So, it's right
17 there at the shelf edge. The insular slope is right there at the
18 shelf edge.

19

20 In San Juan, we went off El Morro, and it was not far from the
21 coastline, maybe a mile and a half or two miles offshore. In the
22 West, we went to different places. The farthest I think was Corona
23 Del Sur.

24

25 **NELSON CRESPO:** Okay. No. That's what--

26

27 **JORGE R. GARCÍA-SAIS:** The largest fish that we caught was a five
28 pounder.

29

30 **MIGUEL A. ROLÓN:** Okay, guys. I believe that this is a topic of
31 very much importance. I would like to invite Dr. Reni García here
32 just to put you on the line. We have another meeting in August,
33 another one in December and we would like to follow-up with this
34 study. One of the questions they have here, to close your
35 presentation, which by the way, one of the best I've ever seen. It
36 is like being back at school. Especially with the sargassum
37 explanation. What is the long-term goal of this study? And how
38 long are you going be working on the study? How many years?

39

40 **JORGE R. GARCÍA-SAIS:** Well, I believe that from the scientific
41 standpoint, the long-term goal would be to produce, as best as
42 possible, as more detail as possible, the conceptual model of this
43 fishery, from my standpoint. But in parallel with that, we would
44 like fishermen to gain the scientific knowledge that provides them
45 the background to improve their fishery efficiency. You know? Given
46 the economic aspects come about in terms of the equipment and their
47 gear, because it is actually quite surprising, quite admirable
48 that you see this fisherman going offshore and engaging in this

1 dangerous fishery with the type of equipment they have. Small
2 boats, one motor, old one motor, no radios. It's risky business.
3 They put a lot on it, you know, to bring back those twenty-five
4 pounds.

5
6 **MIGUEL A. ROLÓN:** It's a limited entry natural thing. You probably
7 would be responsible for wiping out the entire fishery just by
8 telling people, "Go and follow the squid, and the big fish will
9 follow you." Reni, do you think--

10
11 **GRACIELA GARCÍA-MOLINER:** Miguel, let me say something. The coral
12 reef conservation program is responsible for the funding for this
13 project. This was submitted by the Council due to the interest of,
14 specifically Nelson and his group because of the changes that
15 they've noticed in the water column at depth. So, that includes
16 all of the reference points that we wanted to look at in terms of
17 the fish community and the habitat. Please notice that these areas
18 where they're fishing are highly not only rugous but have a lot of
19 coral. So, the discussion yesterday on prohibiting trawling
20 activity, activity in the EEZ, and in areas where this fishery
21 takes place, it's of utmost importance.

22
23 So CRCP only provides funding for the fishing that it's being done
24 now, and then off to Saint Thomas and off to Saint Croix. We've
25 already been talking about the fishers. But if it's the interest
26 of the Council to continue with a survey like this and it's
27 actually complementary to what the Southeast Fisheries Science
28 Center is doing with Kate Overly and the group, there are sources
29 of funding such as S-K, MARFIN, etcetera from which we could get
30 funding to do this kind of work in the future.

31
32 **MIGUEL A. ROLÓN:** One last thing. This is what I was looking for,
33 thank you, Graciela, because that's what I was pursuing.

34
35 We have interest here from fishers in the chat. We put your
36 information in the chat so fishermen can talk to you. So, at the
37 August meeting, we'll have an agenda item. So, we will have an
38 update. I promise that we're going to give you more time, probably
39 the last thing in the evening so people can stay overnight.
40 [laughter]

41
42 Then the other thing that you mentioned. The synergy between
43 fishers and scientists on the same boat. Nelson and I were talking
44 because we would like to develop, sort of, a bank of fishers who
45 are-- you know, we have the citizen scientist who want to have
46 future scientist, and this is the right step to go. When we had
47 the presentation by Alida Ortiz, I asked Crespo, here, to present
48 his idea.

1
2 So, thank you very much. It has been an excellent presentation,
3 and we will--
4
5 **JORGE R. GARCÍA-SAIS:** Thank you all. I'd be delighted to provide
6 an update on the results of this project later on.
7
8 **MARCOS HANKE:** Yes. And your presentation also created a lot of
9 interest, Reni. We have to put enough time for you to interact
10 with the fishermen and with us to take advantage of your knowledge
11 and experience. But today, we need to speed up. I'm sorry.
12
13 Let go-- Nelson, please get contact with-- quick.
14
15 **NELSON CRESPO:** I just want to do a quick recommendation to select
16 the areas where you're going to fish prior to going because to get
17 a balance of each area. That's it.
18
19 **JORGE R. GARCÍA-SAIS:** Nelson, at this point, I'm getting anything
20 I have. You know? I mean, I cannot--
21
22 **NELSON CRESPO:** I can help you with that.
23
24 **JORGE R. GARCÍA-SAIS:** I mean, if you have enough [crosstalk]
25
26 **MARCOS HANKE:** Okay, guys. You can't talk about this offline.
27
28 **JORGE R. GARCÍA-SAIS:** But let me tell you. I'll go anywhere they
29 go. That for sure.
30
31 **MIGUEL A. ROLÓN:** Mi gente, ya se acabó la vaina. Hablen ustedes
32 en el [crosstalk]
33
34 **MARCOS HANKE:** Okay. It's over. Thank you. Let's keep going. The
35 next presentation is Stacey Williams. Stacey, please help me out
36 on something first, because the presentation is Jannette, and she
37 has to go to a meeting in Capitol Hill.
38
39 **STACEY WILLIAMS:** Okay.
40
41 **MARCOS HANKE:** Can you allow her to present very brief slides and
42 we go with you after that.
43
44 **STACEY WILLIAMS:** Yeah. Definitely.
45
46 **MARCOS HANKE:** Thank you. Jannette?
47
48 **Squid fishing: New Opportunities in Deep Sea Fishing—Jannette**

Ramos-García

JANNETTE RAMOS-GARCÍA: Buenos días a todos y a todas. Aprovechando la apertura que hizo Reni, que dio su presentación en español, yo me siento mucho más cómoda, y ustedes van a estar más felices de que yo haga mi presentación en español a que la haga en inglés.

Así que les quiero hablar de, precisamente atando la presentación de Reni, que me estuvo espectacular, con mi tema. Les voy a hablar de la pesca del calamar. Una nueva oportunidad de pesca de profundidad.

Próxima diapositiva.

Como todos sabemos, las aguas de Puerto Rico, del archipiélago de Puerto Rico y de las Islas Vírgenes, son ricas en diversidad de especies, tanto económicamente como de peces que se pescan de manera recreacional. Dos de estas especies que se pescan, o que estamos intentando que la pesca se disemine en Puerto Rico o en Islas Vírgenes, es la del calamar de diamondback y el neon flying squid.

Muchas personas disfrutan de comer calamar, pero estamos consumiendo calamares, que viene congelado y que es importado. Mientras tanto, no es hasta ahora que recientemente en las aguas de Islas Vírgenes, los pescadores están pescando los calamares de manera, bueno, los están cogiendo por montones y los están vendiendo.

El Capitán Marcos Hanke Herrero, que es un consumado pescador que ya todos conocemos, se ha encargado de aprender más sobre la pesca del calamar, y está intentando transmitir todo su conocimiento a los pescadores comerciales para que ellos alleguen más ganancias aparte de las pecas que usualmente hacen.

Próxima, Cristina.

Así que la pesca del calamar, se considera una alternativa diferente a lo que ellos hacen normalmente.

Próxima.

Por esa razón, el Consejo de Pesca solicitó que él Fuede y Verguilla, ellos consideraron que era el mejor medio para llevar esta información a los pecadores y a las pescadoras comerciales. Y se produjo una revista, que la tengo en mi poder y la voy a distribuir tan pronto como termine la presentación, se produjo esta revista para entregarla al sector pesquero comercial.

1
2 Y que, bueno, pues conozcan un poco de cómo hacer este tipo de
3 pesca que está atada precisamente a la pesca de profundidad. Y en
4 la medida en que un pescador pesca los peces de profundidad con un
5 poco de -- la propuesta es que lo que tienen que invertir para
6 pescar los calamares es muy poco si ellos mismos hacen sus artes
7 de pesca que Marcos hace las recomendaciones en la revista.

8
9 La diapositiva final.

10
11 Uno de los pescadores que acogió la idea de la pesca del calamar,
12 se llama Francisco Águeda y es de la Villa Pesquera La Coal, en
13 San Juan. Estoy hablando de Puerto Rico porque en Islas Vírgenes
14 ya hay otros pescadores que lo están pescando. Él, hace poco me
15 llamó, ya había vendido un par de ellos en el área de San Juan, y
16 me llamó que había pescado dos calamares, uno de veintitrés libras
17 y uno de veintinueve libras. Uno de ellos lo vendió a un restaurant
18 muy-- uno de estos restaurantes que para para ir a él en San Juan
19 tiene que hacer una cita con mucha anticipación y el otro lo vendió
20 el Royal Isabela, en Isabela, a dieciséis dólares la libra. Me
21 parece a mí que es un-- bueno, en dos calamares nada más hizo sobre
22 ochocientos dólares, aparte de la poca inversión que hizo, de
23 ponerlo en hielo y en gasolina para llevarlo a Isabela. Pero lo
24 que se ganó fue mucho más de lo que se hubiera ganado en un día de
25 pesca.

26
27 Así que estamos incentivando a los pescadores. Yo me voy a preparar
28 con el Capitán Marcos Hanke, para que me enseñe a filetearlo, a
29 prepararlo, para yo poder educar a los pescadores, con este tipo
30 de pesca que se está abriendo en las aguas tanto de Puerto Rico y
31 de Islas Vírgenes, que son de las únicas dos islas, según me ha
32 informado el Capitán Marcos Hanke, que no se pesca el calamar. Así
33 que los pecadores de chillos de profundidad, de cartuchos de
34 profundidad, pueden allegar más ingresos pescando calamares.

35
36 Última diapositiva.

37
38 Gracias al Capitán Marcos Hanke por la excelente labor que está
39 realizando, y por el deseo de educar y traer nuevas alternativas
40 a los pescadores, tanto de Puerto Rico como de Islas Vírgenes. Y
41 gracias al Concejo de Pesca, por confiar en Fuede y Verguilla para
42 hacer el medio, para llevarle esta información a los pescadores,
43 así que gracias a todos y a todas.

44
45 **MARCOS HANKE:** Gracias Janet. Gracias por la presentación y espero
46 que -

47
48 **JANNETTE RAMOS-GARCÍA:** Ah, entonces, si el Consejo está

1 interesado, pueden cocinar calamares para un nuevo episodio.

2
3 **MARCOS HANKE:** Eso será pronto. Muchas gracias. We will take a 5-
4 minute break and we will go with your presentation, Stacey. Okay?
5 5 minutes.

6
7 (Whereupon, a brief recess was taken.)
8

9 **MARCOS HANKE:** Hello, everyone. We are back trying to make good
10 use of our time. The next presentation is Stacey Williams. Stacey,
11 go ahead. Thank you.

12
13 **Characterization of Prey Diversity of the Commercially-Important**
14 **Queen Snapper— Stacey Williams/Diana Beltrán**
15

16 **STACEY WILLIAMS:** Thank you, Marcos. Hi. My name is Stacey
17 Williams. Today, I'm going to be presenting with Diana Beltrán
18 about our small project, looking at characterizing the prey
19 diversity of Queen Snappers along the West Coast of Puerto Rico.

20
21 Next.

22
23 So as many of you know in this room and online queen snapper
24 fishery has become an increasingly important fishery in Puerto
25 Rico and also the U.S.V.I.s. Little is known of the queen snappers
26 in the U.S. Caribbean. What we do know of queen snappers is that
27 they have a far range. They can be observed all the way up to North
28 Carolina down to Brazil. Their depth distribution where fishers
29 catch them usually are between 130 meters. On the Okeanos
30 Expedition in 2018, I was a co-science lead, we actually saw them
31 all the way down to 539 meters, which is our new record for them
32 here in the U.S. Caribbean.

33
34 They're assumed, like the silk snappers, to have an ontogenetic
35 relationship with depth. So, there have been juvenile spotted in
36 shallower waters, and it's assumed that these juveniles then move
37 to deeper waters when they grow a little bit larger. Rosario et
38 al. 2006 study found that the spawning of queen snappers peak in
39 October and November. The females mature at a size of 23
40 centimeters fork length, and males at 31 centimeters.

41
42 As Reni mentioned, and also, Rich Appeldoorn, that queen snappers
43 can be associated possibly with areas of high topographic relief.
44 But, as we all know, there's still much more to be known about
45 queen snappers. Virginia Shervette, and also Kate Overly have been
46 doing a lot of life history work, but we still don't know what the
47 habitat preference of queen snappers is and, actually, what do
48 they eat.

1
2 So next.

3
4 So, in this project, the overall goal was to characterize the diet
5 of queen snappers along the West coast of Puerto Rico. Some of the
6 objectives, from the snappers collected, we wanted to summarize
7 the demographic of these samples and also see if there were any
8 patterns in prey diversity between sexes, the size of the fish and
9 possibly where the fish were collected.

10
11 Next.

12
13 So, we work closely with 2 fishermen. Thank you, Nelson Crespo.
14 and Luis Roman, in the West coast. Also, Wilson Santiago helped
15 collect some fish in this study. So, the fishermen, right away,
16 put the fish on ice, and the fish were maintained on ice until we
17 were able to collect them, either that day or the next day.

18
19 We processed the fish right away. The surfaces were clean with 10
20 percent bleach because we were collecting the stomachs and making
21 sure that there was no cross-contamination between samples. We
22 measured the fish, fork length, standard length, total length. We
23 weighed the fish, each individual fish. We also took tissue
24 samples. We photographed, removed the gonads, photographed the
25 gonads with tags, and weighed the gonads. We also collected the
26 otoliths from each of the fish. Also, we removed the eyes, and
27 those were sent to Virginia Shervette for her studies. We also
28 removed the stomach samples. Everything was placed in separate
29 bags. The stomach samples were placed in whirl-pak bags, so there
30 was no cross contamination.

31
32 All the samples were then placed in a freezer of -20 centigrade.
33 With the otoliths. We rinsed the otoliths and dried them and placed
34 them in separate vials. So, the gonads, eyes, and otoliths were
35 sent to Virginia Shervette, and we sent the stomachs to Diana and
36 Carlos Prada in Rhode Island, and they processed that. And she
37 will go over that methodology later in this talk.

38
39 Next.

40
41 So, a total of 157 queen snappers were processed for the study. 11
42 of these queen snappers were actually gutted but we were able to
43 still collect the otoliths. And the queen snappers were fished
44 from November 2019 to July 2020.

45
46 As you can see on this map, some of the site information was given
47 to us, like the depth, range of where the fish were collected from
48 and the general area of that site. Some coordinates were given to

1 us, these are not the exact sites on this map because. I know that
2 these fishing grounds are very sensitive information, and I respect
3 that. But this just gives you an idea of where the fish were
4 collected during our study.

5
6 So, we had 7 different locations, like site 6 and Pichincho's and
7 South of Pichincho's, which is not on this map, could possibly be
8 very close to each other. The depth range that the fish were landed
9 were between 256 meters at Bajo Medio and 412 at site 3, which is,
10 like, closer to Puerto Rico. Reni showed the bathymetry really
11 nice. I wish I had that map right now. But if you go to the next
12 slide, you'll see that the total amount of fish caught at the
13 different sites and different sampling times, varied.

14
15 At Bajo Medio, we collected most of the samples there. Like, 59
16 fish were collected at Bajo Medio. So, this is a really important
17 site for queen snappers. Also, Pichincho area, another really
18 important site.

19
20 So, next.

21
22 Looking at the size of the fish that we processed in this study,
23 you can see that here's a graph of the frequency and the fork
24 length of all the samples. You could see it tends to skew more to
25 the left. So, there were smaller fish collected in this study. But
26 we did collect some big queen snappers. You can see that the fork
27 length ranged from 220 millimeters to 808 millimeters.

28
29 And talking about the pounds. Looking at Reni's study, the weight
30 of our fish ranged from four pounds to 23 pounds. So, we were able
31 to process some of the big queen snappers. So, we were lucky in
32 that regards.

33
34 So, next.

35
36 So, looking at the fork length and how it varied between location
37 and sampling time, there was a significant difference. We used a
38 one-way PERMANOVA based on Euclidean distance measures. So, this
39 is just a nonparametric test. And around Pichincho, actually, those
40 were the larger fish sampled for this study. So, I will go into
41 more of Pichincho later in the talk, of the importance of this
42 site. When we look at the sizes of the fish at the different
43 sampling times in July was actually the time where the fishermen
44 collected the larger fish, in July, and the smaller fish in
45 November.

46
47 So next.

48

1 We did, just following Rosario et al. 2006 paper to see if we were
2 able also to find a relationship between weight and fork length.
3 As you see on in this graph, there was a really strong linear
4 regression between weight and fork length.

5
6 So, next.

7
8 Looking at gonads. I'm very grateful for Graciela and Noemí Peña
9 in the laboratory in Cabo Rojo. They were able to sex 110 gonads
10 from the pictures. Out of these 110 gonads, 69 percent were
11 actually males, and 31 percent were females. The pictures to the
12 left, top and bottom are the female gonads, and you could see,
13 like, the differences in sizes. And, also, to the right, top and
14 bottom, are the gonads of male queen snappers.

15
16 In our study, we found that actually females were slightly larger
17 than males, and this is known about queen snappers, that female
18 queen snappers tend to be larger than males. So, this also supports
19 other previous studies.

20
21 Next.

22
23 We also measure the gonadosomatic index, and this is just an index
24 looking at the gonad mass proportion over the total body mass.
25 This is an indicator of reproductive activity. So, there was a
26 significant difference between the sites and also between the
27 sampling times. You can see, like, site 6 is really close to
28 Pichincho. That was an area where the fishers collected snappers
29 that at that moment were most likely reproductively reproductively
30 active. And when we look at the graph to the right that looks at
31 the sampling times, actually, July pops up, and there's that peak
32 in GSI.

33
34 This finding actually differs from Rosario et al. 2006 study where
35 they found the peaks to be in October and November. Actually, we're
36 seeing this in in July. There are anecdotal accounts, and Nelson
37 could probably expand on this if there's time at the end of this
38 presentation where they do see gravid females in July and August.
39 So that might be under consideration where the spawning time for
40 queen snapper might be also in July.

41
42 So, next.

43
44 And then Diana is going to now talk about the pray diversity, and
45 then I will finish the-- I believe she's going to be speaking in
46 Spanish, so if you all want to put your headphones on.

47
48 **DIANA M. BELTRÁN RODRÍGUEZ:** Yeah. Can you hear me?

1
2 **STACEY WILLIAMS:** Yes
3
4 **DIANA M. BELTRÁN RODRÍGUEZ:** Yes. Okay. Yeah, I practiced my part
5 in English, but I think I am better in Spanish. Okay. Thank you,
6 Stacey.
7
8 So, after-- después de todo el trabajo que Stacy y su grupo hizo,
9 nosotros recibimos acá en URI, todos los estómagos completamente
10 congelados. Nosotros movimos esos estómagos inmediatamente a
11 nuestro freezer de -80 grados y solamente sacamos los estómagos en
12 el momento de ser procesados todos, porque nosotros no queremos
13 tener ningún problema, en darle la oportunidad a que el DNA se
14 degrade.
15
16 Next. okay.
17
18 So, para este trabajo, nosotros utilizamos dos diferentes
19 metodologías. Voy a explicar un poquito, pero superficialmente las
20 metodologías. La primera metodología es el barcoding. Esto lo
21 hicimos solamente para los fragmentos que no han sido digeridos.
22 So, nosotros recibimos ciento cuarenta y seis estómagos y estos
23 estómagos fueron puestos en bolsas individuales para también
24 disminuir la cross-contaminación entre los individuos, y como dijo
25 Stacey anteriormente ella utilizó siempre materiales limpios y
26 limpió su mesa cada vez que cambiaba de individuos.
27
28 So, cuando nosotros empezamos a hacer la disección de nuestros
29 estómagos encontramos que la regurgitación de este contenido
30 estomacal probablemente ha dividido a la descompresión de estos
31 animales al ser pescados. Es un problema grande. Esta no es la
32 primera vez que se reporta cuando se estudian deep-water fishes.
33 Esto es un problema que se ha visto el en la literatura.
34
35 Solamente treinta y cinco de nuestros estómagos, nosotros
36 encontramos fracciones o pedacitos de organismos no digeridos.
37 Ustedes pueden ver en la parte derecha del slide cuáles fueron los
38 organismos que encontramos dentro de los estómagos y pueden ver la
39 diferenciación del grado de digestión de esos animales.
40
41 Algunos son fáciles de identificar a simple vista, pero otros
42 básicamente están totalmente digeridos como el que está en la parte
43 baja a la derecha. O sea, en esos momentos es muy difícil ya poder
44 identificarlos a simple vista o usando una clave taxonómica.
45
46 Siguiente.
47
48 okay. Nuestro primer approach es el de metabarcoding. Esto solo lo

1 utilizamos con los fragmentos que nosotros encontramos dentro del
2 estómago. Nosotros cogimos esos fragmentos, hicimos varios lavados
3 del fragmento porque queríamos evitar la co-amplificación del
4 marcador, porque esos fragmentos están dentro del estómago, tienen
5 el DNA del queen snapper mezclado también alrededor, y también
6 nosotros queremos amplificar el DNA para poder identificar el
7 origen de esa de esa presa.

8
9 Nosotros hicimos ese lavado, hicimos la extracción individual de
10 cada DNA, después hicimos un PCR reaction, donde utilizamos el
11 citocromo oxidase 1, después lo mandamos a secuenciar, o sea,
12 limpiamos ese producto-- no, no, no, no. Limpiamos ese producto,
13 lo mandamos a secuenciar en un sanger sequencing, que es la máquina
14 más común para secuenciar, y obtuvimos unas secuencias.

15
16 Cuando nosotros obtuvimos una lista de secuencias, pudimos hacer
17 un BLAST utilizando un software que se llama Geneious, y ese BLAST
18 lo hicimos a través de una base de datos, donde todas las personas
19 que han hecho publicaciones y han utilizado material genético,
20 deben poner su información, que es una base de datos y se llama el
21 NCBI.

22
23 En algunos de estos fragmentos tuvimos el problema de la co-
24 amplificación, aun haciendo los lavados y aun diseñando un blocking
25 primer. So, nosotros en ese en ese PCR reaction, utilizamos un
26 primer diferente que diseñamos para tratar de no amplificar esa
27 fracción del queen snappers, y solo amplificar el origen de ese
28 fragmento. En general, con esta metodología, nosotros encontramos
29 siete especies de invertebrados, dos artrópodos, cuatro moluscos,
30 y un isópodo, y además dieciséis especies de peces que fueron
31 encontrados con esta metodología.

32
33 Next.

34
35 So, aquí tenemos la lista de las especies que nosotros encontramos
36 con esta primera metodología. Si ustedes miran, las más abundantes
37 son los calamares, y eso lo relaciona perfectamente con la
38 información de otros estudios de snappers de profundidad que
39 encontramos, pero la mayoría de estos estudios están hechos en el
40 Pacífico. En segundo lugar, nosotros encontramos los camarones y
41 los camarones que encontramos, las especies identificadas vienen
42 de profundidad también. Eso quiere decir que los queen snappers
43 están comiendo [inaudible] que son demersal, y están utilizando el
44 bentos como fuente de alimento también. Los demás, son muchas
45 especies de peces, pero también, si ustedes miran las fotografías
46 o ve los nombres, muchos de esos provienen de peces de profundidad.

47
48 Acá hay algo que te quiero resaltar, porque nosotros acá en estos

1 resultados estamos reportando todo lo que encontrábamos. Los que
2 tienen ese asterisco rojo, lo que quiere decir es que esas especies
3 también fueron reportadas con los pescadores que fueron usadas
4 como baits. Pero nosotros tenemos evidencia de que algunas de ellas
5 pueden ser también parte de la dieta natural del pez. Por eso es
6 que estamos reportando todo y no queremos sacarla de esta
7 información.

8
9 Siguiente.

10
11 La segunda metodología es usando el metabarcoding. Este en
12 metabarcoding lo utilizamos, ¿Por qué? Porque lo que queremos acá
13 hacer es identificar las secuencias o el origen de alguna de las
14 presas, pero ya no como el anterior, teniendo un organismo ni una
15 sola secuencia, sino teniendo un mix.

16
17 Entonces, como dijimos, la regurgitación había sido un problema
18 grande, solo treinta y cinco de nuestros estómagos tenía fragmentos
19 que pudimos identificar. 107 de ellos venían vacíos, pero vacío
20 significa que venían sin esos fragmentos grandes de presas, pero
21 tenían ese contenido, ese líquido estomacal y también el del
22 intestino que nosotros podíamos utilizar. So, nosotros colectamos
23 ese líquido de cada uno de estos individuos, homogenizamos bien el
24 líquido, y luego hicimos una extracción de DNA de ese líquido,
25 porque tenemos todas las presas posibles que ellos pudieron comer
26 y ya están digeridas.

27
28 En este caso, nosotros hicimos una reacción de PCR usando un
29 marcador en específico, el que usamos nosotros es 12S, y luego
30 aquí tendríamos que utilizar otra metodología, la del Next-
31 Generation Sequencing. ¿Por qué? Porque nosotros queremos generar
32 todas las secuencias que hay en una muestra, pero esa muestra es
33 un mix de cosas. Es por eso que tenemos que utilizar ese tipo de
34 metodología.

35
36 Después de esto, nosotros te hacemos un trabajo de computadora,
37 ese trabajo es de limitadores, es más o menos limpiar, filtrar,
38 cortar los extremos de las frecuencias, unir secuencias y,
39 eventualmente, nosotros vamos a tener un listado de secuencias, y
40 ese listado de secuencias se va a poder contrastar con diferentes
41 bases de datos. Y esas diferentes bases de datos nos van a dar el
42 nombre exacto de la especie.

43
44 Hay algo muy importante que quiero decir acá, y porque esta
45 metodología que usamos es muy buena. Es porque con este método
46 nosotros tenemos la capacidad de ir al nivel de especie. Mucha
47 gente utiliza el COI que utilizamos para la otra metodología y con
48 los peces, especialmente con los peces, el COI no tiene el poder

1 suficiente para poder llegar a esa resolución. Otra cosa que quiero
2 decir es que treinta y nueve de nuestros estómagos, definitivamente
3 no pudimos trabajarlos con ninguna de las dos metodologías, porque
4 vinieron sin fragmentos y además venían sin líquido por el problema
5 de la de la desproporción.

6
7 Nosotros nos encontramos acá cuarenta y tres especies de potential
8 preys, presentes en nuestra especie de interés, que representan
9 treinta y siete géneros y veinticuatro familias.

10
11 Siguiendo.

12
13 Estos son los resultados que nosotros tuvimos. Básicamente,
14 ustedes pueden ver en el eje "x" que nosotros tenemos todos los
15 estómagos puestos allí. Y ustedes pueden ver en el eje "y" el
16 nombre de las especies. Este es resultados con el metabarcoding.
17 Lo que podemos ver es que hay muchos peces que son muy comunes
18 dentro de los estómagos. Acá estamos hablando que-- perdón, pero
19 también tengo que hacer un paréntesis. Acá estamos hablando de la
20 [inaudible] estamos identificando material genético de esas
21 especies dentro del estómago. Y tenemos alguna correlación de
22 cuánto material genético puede haber, si ustedes venden el lado
23 derecho de la gráfica. Pero nosotros en nuestro estudio vamos a
24 tomar esto como solo presencia/ausencia de ella. ¿Ok?

25
26 Acá podemos ver unas especies de peces, que son mucho más comunes
27 en los estómagos que otros, como en *sigmops elongatus*, el *myctophum*
28 *nitidulum*, y los que están señalados en rojo.

29
30 La siguiente.

31
32 Aquí, con esta gráfica podemos ver más claramente este patrón. So,
33 básicamente, nosotros tenemos diez o quince especies que son muy
34 comunes dentro-- o que encontramos material genético y es muy común
35 dentro de todos los estómagos que nosotros estudiamos. Si ustedes
36 ven en las fotos en las fotos que están representadas en la
37 derecha, la mayoría de ellos provienen de peces, que son peces de
38 deep-water fishes.

39
40 Siguiendo.

41
42 Si nosotros trasladamos todo este conocimiento que encontramos con
43 las especies y lo ponemos en un [inaudible] mucho más arriba, que
44 es el de los órdenes, para poder hacer una generalización y
45 entender qué fue lo que encontramos y encontramos que los
46 myctophiformes son del orden más común que nosotros identificamos.
47 Este fue representado por dieciséis especies, dentro de. Y todas
48 esas especies estaban dentro de una sola familia, la familia es la

1 de mictófidos.

2
3 Más o menos, cincuenta y nueve estómagos, que nosotros analizamos,
4 tienen estos mictófidos, y esto quiere decir que el 29 por ciento
5 de la composición de la dieta está basado en esos peces. En segundo
6 lugar, tenemos los estomiiformes. Los estomiiformes son
7 representados por once especies en nuestro muestreo y cuatro
8 familias. Y representan el 15 por ciento de la composición de la
9 dieta del del queen snapper.

10
11 Si ustedes ven la tercera [inaudible] o la segunda, en vez de la
12 tercera, serían los scombriformes. Acá tenemos también una
13 disyuntiva, no nos tomamos una decisión ¿Por qué? Porque de los
14 scombriformes, nosotros encontramos nueve familias. De esas nueve
15 familias, seis familias fueron representadas o fueron reportadas
16 por los pescadores como que se usaron como baits, cuando ellos
17 colectaron las muestras. Pero, de todas maneras, nosotros
18 encontramos tres familias no tiene nada que ver con los baits. Es
19 por eso que los dejamos acá, porque consideramos que hacen parte
20 de la dieta de los queen snapper.

21
22 Y el siguiente orden sería los aulopiformes que están representados
23 por cuatro familias y cinco especies y representan el 8 por ciento
24 de la composición de la dieta de los snappers.

25
26 Siguiente.

27
28 Okay. ¿Qué queremos saber acá? Nosotros queremos saber qué tipo de
29 hábitat están usando a esas presas para saber dónde es que este
30 pez va y come. Básicamente. Nosotros estamos utilizando el texto
31 de Helfman en el 2009. Ellos dividen el deepsea en tres diferentes
32 hábitats. El primero es mesopelagic, después el bathypelagic, y
33 hay uno siguiente, que es el benthal o el benthic. Esas especies
34 de benthal o benthic la única característica que tienen es que
35 están relacionados a vivir cerca del fondo, pero están muy muy
36 cerca del cotinental slope y la profundidad en la que ellos se
37 encuentran es menos de mil metros.

38
39 Si ustedes miran en la parte derecha, o sea, nosotros estamos,
40 básicamente, tenemos todos nuestros animales dentro del
41 mesopelagic y bathypelagic area del océanon y algunos que están
42 relacionados con demersal area o con él benthic área. En la parte
43 izquierda lo que yo quise mostrar es cuáles son las órdenes de las
44 especies de presas que nosotros encontramos. Y en qué lugar en
45 esta división están encontradas.

46
47 Siguiente.

48

1 Si nosotros ponemos todo esto junto, y tenemos la abundancia,
2 tenemos los órdenes y tenemos el hábitat en donde esos órdenes
3 habitan, tenemos básicamente el 54 por ciento de la composición de
4 la dieta está ubicada en el área mesopelagica, que el 29 por ciento
5 está ubicado dentro de nuestro mesopelagic y el bathypelagic area,
6 y que el 10 por ciento está entre bathypelagic y benthal.

7
8 So, en palabras generales, este pez se está alimentando del área
9 cerca del fondo. Como lo podemos ver también en los primeros
10 resultados, porque están los camarones, que son una fuente
11 importante de alimentación, pero también ellos están utilizando la
12 columna de agua como alimento. Tenemos otros en menos cantidad que
13 son los-- encontramos unas especies que están asociadas a los a
14 los arrecifes, y nosotros tenemos la hipótesis que esas especies
15 vienen de los animales que fueron capturados más cercanos hacia la
16 costa.

17
18 Algo muy importante acá, es que los myctophiformes, están conocidos
19 normalmente como lantern fishes. Es un grupo súper grande y
20 diverso, está compuesto por doscientas cuarenta especies más o
21 menos, y estos ocurren alrededor de todo el océano, de todo el
22 mundo. Y son presas de muchos animales y de muchos[inaudible].

23
24 Los estomiiformes, que son los segundos en orden, están conocidos
25 como los dragonfish. Ellos también habitan en el mesopelagic y el
26 bathypelagic área. Pero, estos dos grupos, en especial, forman una
27 fracción-- podemos dar la siguiente, por favor.

28
29 Estos dos grupos son una gran fracción y forman una capa que se
30 llama la capa deep scattering layer. Y esta capa está definida como
31 una capa de un assemblage de peces y de invertebrados, que viven
32 en unas profundidades mesopelágicas que van más o menos de 200 a
33 1000 metros, y tienen una migración vertical.

34
35 So, ¿qué hacen de estos grupos? Estos grupos durante el día van y
36 viven en las capas profundas de este layer, y en la noche ellos
37 suben, ellos siguen como la migración del zooplancton, porque van
38 en búsqueda de alimento y vuelven y bajan en la noche otra vez.
39 Entonces, nosotros tenemos la hipótesis de que lo que está pasando
40 es una transferencia de energía de áreas demersales, hacia las
41 mesopelágicas, y que las bathypelagic preys, ellos están cogiendo
42 estos bathypelagic preys debido a esta fluctuación vertical que
43 hacen estos grupos.

44
45 Siguiendo.

46
47 Toda esta información nosotros-- esto es muy interesante, porque
48 a mí me parece, o sea, no hay mucha información acerca de la

1 ecología de la alimentación de estos peces. La única información
2 que encontramos, la más reciente, fue hecha en el Pacífico. Y fue
3 hecha con una de las especies más cercanas y hermanas de *etelis*
4 *oculatus*, que fue *etelis carbunculus* y *etelis coruscans*. En ese
5 estudio, echo por Haight en el 1993, ellos se encuentran
6 básicamente las mismas especies de peces como mayores componentes
7 y la dieta de estos peces allá, en Hawái.

8
9 Y también dicen que estos peces allí son como fundamentales en la
10 composición de un mesopelagic [inaudible] community, que
11 usualmente viven cerca de los cien y los setecientos metros, y que
12 también tienen una migración vertical y que más o menos tiene el
13 mismo comportamiento que nosotros estamos encontrando con los de
14 acá.

15
16 En ese estudio reportan que encontraron siete especies de peces,
17 dentro del contenido estomacal de peces de profundidad, de esas
18 siete nosotros encontramos dos, pero claro, las metodologías no
19 son comparables porque nosotros estamos utilizando la genética.
20 Nosotros tuvimos la capacidad en este estudio de identificar
21 veinticinco nuevas especies y reportarlas como presas para este
22 para este pez.

23
24 Entonces, también ellos encuentran que calamar, que los camarones,
25 que los lobsters, anfípodos, eufausiidos, isópodos y estomatópodos
26 son importantes en la alimentación de este pez allá en Hawái.
27 Entonces, en esencia lo que nosotros queremos transmitir de acá es
28 que el zooplancton en las altas capas del océano son los que
29 mantienen estas comunidades de peces en los mesopelagic
30 environments. Que nosotros ya conocemos que no tienen mucha
31 productividad, y al hacer esto, están soportando la productividad
32 demersal de las comunidades y manteniendo los stocks de los deep-
33 water snappers saludables.

34
35 Next.

36
37 Eso es todo. Right now, Stacey, va a seguir explicando algunas de
38 las comparaciones que nosotros encontramos con la diversidad de
39 las presas, con los sitios de muestreo, con las diferentes
40 condiciones que nosotros tenemos. Muchas gracias.

41
42 **STACEY WILLIAMS:** Thank you, Diana. So, we wanted to, even though
43 the samples varied between locations, we wanted to see if there
44 was any type of pattern between prey diversity and the different
45 locations. We, actually, if you look at the graph to the right,
46 the number of prey species, and the different locations and you
47 can see that-- and the number in parentheses is actually the number
48 of stomach samples analyzed each of the locations. In Pichincho,

1 there was high prey diversity in this area along with Bajo Medio.

2
3 Can we go to the next slide, please.

4
5 In just Pichincho alone, that includes site 6, south of Pichincho,
6 Pichincho, we were able to observe 51 prey species in this area.
7 If we eliminate the possible bait fish species, this would conclude
8 46 prey species. The ones that contributed that were more common
9 in the stomachs in this area were the bristlemouth fish and
10 different types of lantern fish.

11
12 Next, please.

13
14 And if you look, Pichincho is a seamount just on the Western side
15 of Desecheo, and I was on the Okeanos expedition in 2018, and we
16 actually were able to survey this area with an ROV and it's
17 impressive. The topographic relief in this area is pretty amazing.
18 These are a couple pictures to the right, from the ROV. The
19 multibeam data to the left, at the site that we dove at with the
20 ROV. And you can see the ledges overhangs in the site. Also, the
21 high diversity of corals and sponges and benthic organisms in this
22 area.

23
24 I had no clue that there were maybe some rumors about trolling in
25 this area. But if you look at this site, I would not allow it. For
26 one thing, fishing line, you know, gets caught on these areas
27 because of just the overhangs. But we think that in this area, in
28 particular, just because of this topographic relief, leads to high
29 diversity of the prey species, and possibly that's why queen
30 snappers are prevalent in this area.

31
32 So as Diana mentioned and also Reni, this connection between the
33 trophic levels and productivity in this area, I think, needs to be
34 further looked into. But this is an area of interest for queen
35 snappers in general, and a lot of migratory fish species, this is
36 an important area.

37
38 So, next.

39
40 When looking at the prey diversity between the size of fish, what
41 we did was we followed Gobert et al. 2005 study. They placed the
42 fish in size ranges. We only had two size ranges of fish because
43 there were not really small queen snappers and not really huge
44 queen snappers. So, when looking at the first size range, which
45 was between 203 to 508 millimeters, we were able to observe 40
46 different species of prey. And then the next size range, which
47 was, this is fork length, 508 to 1016 millimeters, 39.

1 So, the pray richness did not vary between the size of the fish.
2 However, prey composition did. You can see the three to the left,
3 which are three different types of lantern fish, were
4 characterizing the prey composition for the smaller fish, while in
5 the slightly larger fish, we did see different species of prey
6 items. We have a longray fangjay, and bristlemouth, and another
7 type of lantern fish. So, this should also be further look looked
8 into to see exactly if prey items vary between the size of fish.

9

10 So, next.

11

12 So, in conclusions, we did find a strong relationship between
13 weight and length of queen snappers, and this has been early
14 reported in Rosario et al. 2006 study. The power parameter that we
15 calculated was 2.8, very close to their study, which I think was
16 2.84. So, we conclude, along with their study that queen snapper
17 exhibited isometric growth. So, all body part parts grow at the
18 same rate.

19

20 What differs from Rosario's study to our study is that we did find
21 a peak possibly in reproductive activity in July. They found it in
22 October and November, so maybe this is to look further into. In
23 our study, we show that metabarcoding is an effective approach to
24 identifying stomach contents of deep-water fish, especially deep-
25 water fish because they regurgitate a lot of their stomach items.
26 So, I have to mention that this is a very fishy talk, and we know
27 that queen snappers target squid.

28

29 So, the second approach of metabarcoding, we really targeted the
30 fish. We use markers for fish in particular. So, I think this
31 should maybe, in the future, do different type of markers to see
32 maybe other invertebrates. But this is a very useful approach to
33 identifying the prey species, especially in fish that regurgitate
34 their stomachs.

35

36 So, in our in our study, we found that queen snappers, overall, we
37 observed 61 prey species in total. These 61 pray species came from
38 18 orders, 38 genera, and 31 families.

39 So, next.

40

41 As you see in our talk and also, previously, Reni mentioned, queen
42 snappers are large carnivores. They're very similar to their sister
43 species. What we found in our study is they're mainly feeding on
44 mesopelagic fishes. We believe that queen snappers can be a link
45 between the shallow highly productive environments to the demersal
46 mostly unproductive areas of the deep sea.

47

48 Preliminary result show, and more data needs to be collected, that

1 prey composition may vary between locations, sex, and age. We
2 didn't find a relationship between sex, but we did find one between
3 size, but this would be interesting to see, with age, if there is
4 any type of relationship.

5
6 And we believe, along with Reni, that it is essential to
7 incorporate fishers. Their knowledge of this fishery helped this
8 study immensely and their participation. We would not have this
9 fish without them. So, I thank Nelson and Luis for their help in
10 this study.

11
12 Next.

13
14 So, we would like to thank-- this study was funded by the Council,
15 also Florida Wildlife Foundation and Pew. We give a special thanks
16 again to Luis Roman, Nelson Crespo, also Graciela, Noemí, Orian
17 helped, Wilson Santiago also helped in this study, Virginia
18 Shervette for giving us some of her stomach samples. Also, they've
19 finished processing the otolith and some of the otoliths that were
20 collected in this study were used for Kate Overly's dissertations.
21 So, we're looking forward to seeing those results.

22
23 Also, a special thanks, especially, to Braulio Quintero and Katie
24 Flynn. They helped me dissect many of this fish during the
25 pandemic. And to the rest of the students that helped us process
26 the fish and genetic samples. So that's it. Thank you.

27 28 **Questions/Comments**

29
30 **MARCOS HANKE:** Thank you for a great presentation, Stacey, like
31 always. Short questions. Need your help. Tony, then Nelson.

32
33 **LOUIS ANTHONY BLANCHARD:** Okay. It's really more of a statement.
34 I'm comparing this presentation with the presentation that Reni
35 made. I noticed that he made a statement where he thinks, or he
36 believes that CPUE should be measured by the amount of drops. The
37 comparison comment to this is the size of the fish. You see that
38 you cast some very small fish and some very large fish. So, to the
39 end of the day, my statement is this. Sometimes, you need to look
40 at the guys that are actually doing the catching because you got
41 some guys got more skills than other guys.

42
43 So, to the end of the day, you're not going to compare, depending
44 on how you look at the data. The data does not actually tell you
45 certain things. But what it could tell me is some of these guys
46 are probably more skilled than other guys. That's why they catch
47 bigger fish, they catch more fish in less drops. So maybe that's
48 an avenue that needs to be looked at when we look at the data.

1
2 **STACEY WILLIAMS:** Thank you.
3
4 **MARCOS HANKE:** Thank you for your statement. Nelson?
5
6 **NELSON CRESPO:** Excellent presentation. It's curious to see that
7 the heavy queen snappers were observed in July and coincides with
8 what we have been seeing for some time, where large queens are
9 being taken during the summer, contrary to what occurred in the
10 past that only plate size species got caught when the high
11 temperatures reach our region, and only occasionally you got a
12 fillet size queen snapper.
13
14 Also, we start seeing queens, and this is very important, with
15 guts during the summer. But let me tell you that I have reports
16 that in summer, the fishermen from the North of the island got
17 queen's almost close to spawn. This should be studied in a future
18 project. Maybe depending on the area, the queen snappers have
19 different spawning periods or perhaps the temperature of the seabed
20 or the bottom currents that bring cold waters influence in this
21 activity.
22
23 Another thing that I read on the report is about the squid. And,
24 yes, there are occasions where the queens are caught with many
25 little squids in the mouth, and the same thing happens with the
26 shrimp. They become very aggressive when eating and that is when
27 we get our biggest catch.
28
29 And I want to ask you, I'm wondering to know if you, on the samples
30 you got from the queens, you got a-- I don't know how to describe
31 it. It is like an orange sponge that we call higo and we only catch
32 that in some season time. When that higo appears, I don't know if
33 the queens like that really good for eating, but we make the
34 biggest catch too when they are eating that piece of-- I don't
35 know if it's sponge or something like that.
36
37 **STACEY WILLIAMS:** I don't maybe Diana could answer that because
38 she processed the stomach samples. We didn't see anything like
39 that in their mouths. So, maybe, Diana, could comment on to that.
40 Diana, if you are there.
41
42 **DIANA M. BELTRÁN RODRÍGUEZ:** Can you repeat the question? Because
43 I was outside, and I didn't hear very well.
44
45 **NELSON CRESPO:** Oh. Sí. Saludos, Diana. Mira, nosotros -
46
47 **DIANA M. BELTRÁN RODRÍGUEZ:** Hola. ¿Qué tal?
48

1 **NELSON CRESPO:** Nosotros, a veces, cuando nos cogemos mucha
2 cantidad de cartuchos, encontramos que los cartuchos tienen como
3 una especie de esponja, nosotros a veces decimos que son huevos de
4 calamares, otros dicen que son esponjas, pero es como una masa que
5 parece una esponjita, con muchos puntitos, color anaranjado que
6 nosotros le llamamos higo. Cuando eso aparece, las capturas de
7 cartuchos son increíbles.

8
9 **DIANA M. BELTRÁN RODRÍGUEZ:** ¿Sabes qué, Nelson? Tú puedes coger-
10 - la próxima vez si tú tienes la oportunidad de coger algunas
11 muestras de esas y ponerlas en el freezer, probablemente nosotros
12 podamos identificarlas acá en el laboratorio, pero mientras yo
13 hice la disección de todos los peces, no, no vimos ese tipo de
14 organismos.

15
16 **NELSON CRESPO:** El problema-- the problem we have with that thing,
17 is that we are trying to save some for Graciela, when we put it on
18 the freezer it dissolves, and it disappears inside the bag. It's
19 melted. I don't know if we take some samples, and you can process
20 it when it's melted.

21
22 **DIANA M. BELTRÁN RODRÍGUEZ:** The order option is-- bueno, si tú
23 puedes también colocarlas en alcohol, ponerlas en alcohol primero
24 y tratar de sacar toda el agua, porque el alcohol lo que hace es
25 sacar el agua de los tejidos y preservar el tejido, y básicamente
26 después ponerlo en refrigeración, y probablemente de esa manera se
27 conserva mejor. O yo te puedo mandar también algunos tubos con
28 algún otros mejores preservantes para poder tener esas muestras.

29
30 **NELSON CRESPO:** That would be great. Going back to your report,
31 another thing that caught my attention, and I got a little lost is
32 where the DNR informed that in 2007 were caught 135 tons, 270,000
33 pounds of queen and we know that we catch more than and it is never
34 reported, but [inaudible] that I found out the report from the DNR
35 that the biggest catch for queens was during the period of 2007 to
36 2011 and was a hundred something pounds. Maybe it is an error on
37 the numbers or something like that.

38
39 **STACEY WILLIAMS:** Okay. Yeah. I'll definitely check the report.
40 Yeah.

41
42 **NELSON CRESPO:** Okay. Thank you.

43
44 **MARCOS HANKE:** Thank you, Nelson. And we need to pass now to the
45 presentation for microplastic, before lunch. Let's keep this
46 conversation. I think deep-water snappers create a lot of interest
47 on the Council, and we need to, for sure, in the future, to make
48 a presentation in conjunction with Stacey's group and Reni to

1 assign some time for this discussion deeply. Thank you. Dalila?

2
3 **JORGE R. GARCÍA-SAIS:** Nelson, tú acabas de traer un punto, que yo
4 creo que vale la pena traerlo, aunque sea para el récord. Tú te
5 refieres a que-- o sea, lo que tú estás implicando es que ¿Piensas
6 que hay mucha más captura de cartucho de lo que se reporta?

7
8 **NELSON CRESPO:** Eso es de hecho, sí. Sí.

9
10 **JORGE R. GARCÍA-SAIS:** ¿Bueno? Ese es el detalle, que posiblemente
11 eso está relacionado a un permiso especial que el que tienen que
12 tener los pescadores para pescar y reportar el cartucho. ¿Qué pasa?
13 Que, si no lo tienen, como no lo tienen, muchos aquí sabemos que
14 hay mucha pesca de cartucho por pescadores que no tienen ese
15 permiso y lo que hacen es que no lo reportan y simplemente van a
16 restaurante directamente lo venden allá.

17
18 El asunto es que cuando tú estás pescando chillo, a veces coges
19 cartucho y viceversa, o sea, que esa es una pesca que una vez tú
20 tiras esa cala por ahí para abajo, pues cualquier cosa puede venir.
21 Puedes pescar varias especies, no necesariamente estás limitado a
22 una especie. Pero sabemos que hay gente que simplemente si los
23 cartuchos están jalando van a tirarlos hondo a pescar cartuchos,
24 y entonces no tienen el permiso, no lo pueden reportar. Y, tú
25 sabes, en algún momento alguien tiene que determinar cómo se va a
26 bregar con esa situación.

27
28 **NELSON CRESPO:** I agree with your words. There's a situation that
29 is occurring that a group of fishermen are avoiding to sell to
30 their--

31
32 **MARCOS HANKE:** Nelson.

33
34 **NELSON CRESPO:** Okay. Okay. We'll talk personally later.

35
36 **MARCOS HANKE:** Dalila. Thank you very much for your patience.
37 Please proceed with your presentation.

38
39 **Microplastics in the Caribbean Study--Dalila Aldana**

40
41 **DALILA ALDANA ARANDA:** Bueno, buenos días. I will continue talking
42 in Spanish. I am very happy to be here for different reason in
43 this pandemic period. So, thank you very much for this invitation.

44
45 I will talk about microplastics, but I prefer to talk in Spanish.
46 Thank you.

47
48 ¿Por dónde empiezo para esta presentación?

1
2 Decidí escoger cuatro palabras claves. Invitarlos a hacer un
3 recorrido en el tiempo. Después reflexionar en la producción de
4 microplásticos, dos o tres palabras sobre el Caribe, y lo que se
5 hemos hecho en microplásticos.

6
7 El tiempo. Había una vez un planeta llamado la tierra, que se formó
8 hace cuatro puntos cinco billones de años. Después aparecieron las
9 plantas, los animales. Y tan solo en los últimos trescientos mil
10 años de esa escala de tiempo, el homosapiens. Entonces, tenemos
11 veintitrés mil veces menos de experiencia que nuestro planeta. Y
12 siguiendo con el tiempo, pero no menos importante. Tenemos tan
13 solo una escala de tiempo de cincuenta años, en los que la
14 humanidad ha producido de manera industrial, todo el plástico que
15 tenemos sobre nuestro planeta.

16
17 Esa escala de tiempo representa $.1^{-8}$ en relación a la edad de
18 nuestro planeta. Y tan solo en los últimos veinte años, hemos
19 generado la mitad de todo el plástico que se ha generado en los
20 últimos veinte años. De tal manera que anualmente hay una descarga
21 de nueve billones de toneladas de basura. Y de ese tonelaje el
22 ochenta por ciento son plásticos. Y de ese porcentaje, la mitad
23 son plásticos de un solo uso y generalmente de embalaje lo que
24 usamos para cubrir nuestros alimentos que nos venden, etcétera,
25 etcétera.

26
27 Y esto, ¿a qué es igual? Pues esto es igual si pudiéramos recoger
28 toda la basura que hay en los océanos. Representaría cinco bolsas
29 de supermercado llenas de plástico por cada treinta centímetros de
30 playa. O sea, un metro cúbico. Y como la tierra no es plana, y los
31 océanos tampoco, si pudiéramos recoger toda el agua de los océanos,
32 que al menos en México, en nuestro sistema educativo nos lo enseñan
33 mal, diciéndonos que representan el 70 por ciento de la superficie
34 de la tierra, nos crean una falsa idea de que hay mucha agua. Si
35 esa agua la recogiéramos, representaría la imagen que ustedes ven,
36 o sea, esa gota respecto a la tierra.

37
38 Y entonces en esa gota tenemos toda esa cantidad de basura. ¿Y por
39 qué? Pues, entre otras cosas, pues por nuestro modelo de producción
40 y de consumo. Fíjense, simplemente cada minuto se vende, no se
41 produce, se vende, a nivel planetario, un millón de esas botellitas
42 de agua que son muy prácticas, pero tenemos que pasar, pues, por
43 ejemplo, a lo que trae Graciela. Y esas botellitas, pues
44 representan el veinticinco por ciento de toda la basura plástica
45 que tenemos. Entonces, para el año 2050, ustedes lo saben, habrá
46 más plástico que especies marinas en nuestros océanos.

47
48 Y en relación a los microplásticos. ¿De dónde vienen ellos? Pues

1 vienen de todos los plásticos que usamos y de su fragmentación, y,
2 obviamente, de los productos de limpieza, abrasivos, pinturas, las
3 cremas que usamos para las arrugas, las pastas de lavarnos los
4 dientes. De ahí vienen los microplásticos, ya sea industrialmente
5 los producen como esferas o de la fragmentación de todos los
6 plásticos que usamos.

7
8 Y también casi el 35 por ciento de las fibras de microplásticos
9 viene de la ropa que utilizamos. Cada vez más, ¿sí? Se utiliza más
10 ropa con fibras de nylon, por diferentes razones, es más el
11 plancharlo, se ensucian menos, es más fácil lavarlos, etcétera,
12 etcétera, que las fibras vegetales como el algodón, el lino,
13 etcétera. El 35 por ciento de las microfibras de plástico vienen de
14 la ropa.

15
16 Otro aspecto interesante con plásticos y los microplásticos es que
17 son de diferentes polímeros. Y al ser diferente los polímeros, su
18 densidad es diferente y de acuerdo a su densidad a su peso van a
19 ocupar una posición en la columna del agua. De tal manera que habrá
20 plásticos que siempre van a flotar, independientemente de su
21 tamaño, si son macro o micro. Otros que van a estar a media agua
22 y otros que van a estar en el fondo marino. Y obviamente es densidad
23 y este juego de peso a peso estará en función, bien entendido, de
24 la salinidad y de la temperatura. Entonces, los plásticos tienen
25 un juego muy dinámico en la columna de agua.

26
27 Además, tenemos el tamaño. El tamaño de esta fragmentación de
28 plástico va desde la clasificación de los nanoplásticos hasta los
29 macroplásticos y, por ende, ellos van a entrar a la cadena trófica
30 en diferentes posiciones, desde nivel de bacterias, fitoplancton,
31 zooplancton, ¿sí? Los primeros pesos que se alimentan como fue
32 señalado en las dos conferencias que me precedieron, que se
33 alimentan del zooplancton, y así sucesivamente hasta los grandes
34 mamíferos. Y, además, pues hay un proceso de bioacumulación.

35
36 Algunas palabras sobre el Caribe, la región donde vivimos. El 11
37 por ciento de la captura total mundial viene de nuestras aguas. 10
38 por ciento de la población mundial, aquí vivimos, y obviamente es
39 una de las zonas más biodiversa del planeta Tierra. Pero también
40 es el segundo mar más contaminado por plásticos, de acuerdo a un
41 informe de Naciones Unidas. ¿Y esto por qué? Pues debido
42 principalmente a dos problemas. El mal manejo que hay de la basura
43 en nuestros países, el destino final de ellas, poco reciclado, y
44 sobre todo el no tratamiento de las aguas residuales en nuestra
45 región.

46
47 Bien, acerca del estudio de los microplásticos en la región Caribe.
48 Se llevó a cabo una búsqueda en diferentes plataformas, diferentes

1 buscadores con las palabras claves que ahí aparecen se usaron los
2 tres idiomas francés español inglés para las mismas palabras. ¿No?
3 Microplásticos, Caribe, peces, invertebrados, etcétera. ¿Qué
4 encontramos? Pues, en primer lugar, que la primera publicación
5 sobre microplásticos en el Caribe, data del 2014, esa es la primera
6 publicación. Entonces son temas recientes en investigación y es un
7 interés que ha ido aumentando en la comunidad científica, como lo
8 ven en el gráfico.

9
10 Se encontraron cincuenta y siete publicaciones sobre este tema.
11 Con ello se construyó una base de datos con cuarenta y un tópicos.
12 La información de esas publicaciones fue desintegrada en
13 diferentes aspectos y, como está ahí, el sitio de colecta, la
14 especie con la que se trabajó, qué método de análisis utilizaron
15 para los microplásticos, que reportan, si reportan la abundancia,
16 se dan el tipo de polímero, etcétera, etcétera. Y esa información
17 se transformó en una tabla binaria para cada tema, de tal manera
18 que después en esa base de datos uno puede seleccionar quiero lo
19 que exista en peces y uno puede filtrar columna por columna, ir
20 directamente al PDF con él artículo completo.

21
22 ¿En dónde se están analizando los microplásticos en el Caribe?
23 Pues vimos que la gran mayoría, O sea, el 70 por ciento, en
24 sedimentos, pero en sedimentos de playa, no en fondos marinos.
25 ¿Sí? La mayoría de los autores que están trabajando este tema, 70
26 por ciento de ellos lo están haciendo, al final cuentas, en la arena
27 de las playas, que es lo más fácil, lo más barato ir a recoger. Yo
28 salgo, salimos, recogemos la arena que tenemos aquí enfrente.
29 Solamente el 20 por ciento ha trabajado con alguna especie Marina
30 del Caribe. Y dentro de las especies marinas del Caribe hay un
31 trabajo con el carrucho, un trabajo en medusas y un trabajo en
32 corales.

33
34 ¿En dónde se está publicando? Ustedes en el gráfico tienen en el
35 eje de las 'x', la diversidad de revistas científicas en las que
36 están estos cincuenta y siete artículos, y pueden ver que hay una
37 columna que sobre sale, que es donde se está publicando la mayoría
38 que es el Marine Pollution Bulletin. Ahí se está concentrando este
39 tema publicado.

40
41 Este es el universo de autores primeros autores que están en el
42 Caribe trabajando con este tema. ¿Qué nos demuestra este gráfico?
43 Pues que hay una gran cantidad de humanos que estamos en este tema.
44 Pero si ustedes se fijan, todos están con una publicación. Es
45 decir, apenas están incursionando en este tema, con excepción de
46 tres que aparecen en el gráfico, que son dos colombianos con tres
47 publicaciones y un mexicano.

48

1 ¿En qué idiomas está publicando? A mí me pareció interesante ver
2 esto cuando vamos a lo publicado en revistas científicas indexadas.
3 Obviamente, el idioma en el que se está publicando es el inglés.
4 Lo mismo sucede en lo que encontramos en libros con porcentajes
5 altos. Sin embargo, cuando vamos a las tesis de posgrado, o sea,
6 las de maestría y doctorado, ahí se está publicando en español. Es
7 decir, que en las universidades latinas se está trabajando este
8 tema y esa información se está quedando en las tesis.

9
10 Este es un gráfico que muestra la gran diversidad de métodos que
11 se están utilizando para el análisis de microplásticos. Es infinita
12 realmente la diversidad de métodos. Eso tiene bondades, pero
13 también dificultades a la hora de querer comprar algún resultado.

14
15 ¿Y qué es lo que generalmente reportan los científicos en este
16 tema? Además de la abundancia, reportan mucho la forma de las
17 partículas de microplásticos que encuentra, y hacen una
18 clasificación de formas, esferas, gránulos, pellet, fibras,
19 laminillas, etcétera. Y eso, pues es grato, pero también dificulta
20 porque entre gránulo, pellet y esfera, pues hay que levantarse
21 temprano para saber a qué forma le estás llamando, casi lo mismo.

22
23 Los colores son lo mismo. Es otra cosa que se reporta en estas
24 revistas científicas, de qué color eran estas estas partículas de
25 microplásticos. Y eso es interesante porque se puede asociar
26 después el tipo de polímero. Entonces alguien que tiene solamente
27 microscopía óptica para trabajar, pues con la cantidad de
28 microplásticos la forma y el color puede tener una idea del tipo
29 de polímeros que está trabajando, o el tipo de contaminantes que
30 se están asociando, porque muchos de estos colorantes tienen
31 metales pesados para la tinción de las pinturas.

32
33 ¿En qué unidades se reporta? Pues se reportan-- generalmente lo
34 que hemos visto, el autor reporta por unidad de organismo. Es
35 decir, yo encontré doscientos, trescientos, mil, cien, diez
36 microplásticos por organismo. La mayoría, así lo reporta,
37 independientemente si es una sardina o un tiburón, y luego
38 obviamente la gente que trabaja con arena de las playas, pues por
39 área, pero algunos lo reportan por unidad de peso.

40
41 Nuestra investigación, lo que hemos hecho nosotros en
42 microplásticos. Entonces, estamos trabajando con especies marinas
43 del Caribe que son emblemáticas, algunas con protección especial,
44 como es el Carrucho y estamos empezando ya con las Tortugas
45 Marinas.

46
47 Nuestra manera de proceder es trabajar con métodos no invasivos.
48 Es decir, no sacrificar ningún carrucho, obviamente imposible de

1 sacrificar una tortuga u otra especie de protección, y para esto,
2 pues se pueden utilizar estructuras, pues hay n autores que lo han
3 trabajado para n temas como es, pues el pelo, las uñas, las
4 escamas, las plumas, y las heces fecales, la saliva, las heces
5 fecales, se puede trabajar mucho con ello. Nosotros hemos utilizado
6 las heces fecales de varias especies, tanto para cuestiones
7 reproductivas, determinar concentraciones hormonales, y a partir
8 de ahí, ver ciclos de reproducción, y aplicación a vedas de captura
9 pesquera. Y ahora lo estamos usando para ver también contenidos
10 estomacales, tipos de alimentación y más recientemente con los
11 microplásticos.

12
13 Entonces, usamos las heces fecales de carrucho. Estos son diez
14 sitios en donde obtuvimos heces fecales de carrucho, que vienen de
15 la parte oriental del Caribe, de la parte centro del Caribe, de la
16 parte Oeste del Caribe y del Norte, hacia Florida, obtuvimos estas
17 heces. Estos son diez sitios de estas cuatro regiones del Caribe.
18 En el caso nuestro hemos asociado tanto la microscopía óptica como
19 la microscopía electrónica, la determinación química de los
20 polímeros y específicamente el tipo de polímeros con la microscopía
21 raman.

22
23 ¿Qué resultados hemos obtenido? Aquí en el gráfico inferior ven
24 ustedes esos diez sitios de los que vienen las heces de carrucho,
25 en los cuales ven diferentes abundancias de microplásticos. En
26 términos generales, hay mayor concentración de este contaminante
27 emergente en la parte Oeste del Caribe y en la parte Norte, que,
28 en la parte oriental, que es Barbados y las Antillas francesas.
29 Algunas imágenes del tipo, la forma, de ese microplástico.

30
31 En esta imagen ven ustedes ya dos fotos en microscopía electrónica
32 que nos permite ver algo interesante en ese mundo microscópico,
33 que es el desgaste que van teniendo las fibras de microplásticos.
34 Y en ese desgaste, en esas fracturas, se asocian otros componentes
35 químicos y, sobre todo, metales pesados. En la parte inferior ven
36 ustedes un espectro que viene de microscopía raman con dos líneas,
37 una roja y una azul. La línea azul corresponde a un banco de
38 información de polímeros, y la línea roja es nuestra microfibras
39 que se asocia perfectamente a la información de ese banco de
40 información. Entonces, nosotros podemos determinar el tipo de
41 polímero, de plástico, que se encuentra en una especie Marina. En
42 este caso, pues es un polietileno que viene mucho de la actividad
43 pesquera.

44
45 Otra cosa interesante. Pueden ver en esta imagen, un detalle de la
46 fibra, ¿sí? Ya desgastada, se ve como si fuera una cuerda y ya
47 asociada a esa microfibras. Si es una escala, estamos hablando de
48 diez micras. Ustedes ven un microorganismo que ya colonizó esa

1 microfibra y ven dos esferas chiquitas que son bacterias que ya
2 han asociado esa microfibra. O sea, esas fibras se vuelven en un
3 universo de comunidad.

4
5 Estos plásticos asocian otros componentes químicos. Para la
6 producción de plásticos ustedes saben que se usa mucho el bisphenol
7 y este es un disruptor de la actividad reproductiva. ¿Sí? Tanto en
8 especies marinas como incluso en mamíferos. Entonces, bueno, ahí
9 queda una pregunta, si esto no está asociado a una disminución de
10 actividad reproductiva de carrucho, sobre todo en la parte Norte.

11
12 Siguiendo. Con las Tortugas muy rápidamente lo mismo. Heces de
13 Tortugas obtenidas en fondo marino y en playa. Aquí les muestro
14 nada más dos fibras encontradas en esas heces, ¿no? Una de ellas,
15 que nos está dando una serie de picos, y en su composición química,
16 pues ahí podemos detectar cloro, en la de abajo flúor. Esos picos
17 de cloro y de flúor están asociados a dos tipos de polímero, uno es
18 el PVC y otro es el PVF. Uno está asociado a todo lo que se fabrica
19 con el PVC, y el otro está muy asociado al uso de nuestros autos.

20
21 Bien, como conclusiones. En primer lugar, de este análisis, ¿de
22 qué existe de microplásticos en el Caribe? Pues tenemos en
23 dieciséis países del Caribe, al menos hay un estudio sobre
24 microplásticos, que aparecen el país con algún color. Los países
25 en grises es que no tienen ningún estudio sobre este tema. Como
26 siguientes conclusiones, todos los autores que han trabajado en el
27 Caribe con esta con este tema, independientemente playa, en agua
28 o en alguna especie Marina, todos reportaron la presencia de este
29 contaminante.

30
31 ¿Sí? Obvio que falta una estandarización rápida, eficiente sobre
32 el análisis de microplásticos en el Caribe, pero al mismo tiempo
33 es una oportunidad para proponer un curso en la región Caribe que
34 después nos ayude a hacer estudios a nivel de la región. Y estos
35 métodos no invasivos se han vuelto útiles y sobre todo hoy en día
36 que hasta en las revistas científicas piden todas estas cuestiones
37 éticas de, pues no, maltrato, etcétera, no sacrificio a especies
38 marinas, terrestres, etcétera.

39
40 Bien, la otra conclusión es con la información reportada en la
41 literatura. Este es el mapa que construimos con el análisis de
42 sedimentos y con la concentración de microplásticos en sedimentos,
43 donde podemos ver que hay una mayor concentración cúmulo de este
44 contaminante en la parte Oeste del Caribe y en el Norte, respecto
45 a la parte oriental.

46
47 De los pocos trabajos que se han hecho con alguna especie Marina,
48 lo que más se ha abordado son peces, que ya lo dijimos, que es

1 trabajos hechos en Colombia, algunos en México. Muy poca
2 información sobre los invertebrados. Y en este mapa ustedes pueden
3 ver, por ejemplo, los estudios que han sido realizados con peces.
4 ¿No? Igual aparecen en color azul los países en los cuales han
5 hecho un estudio con estos dos temas, microplásticos en algún pez.
6 En todos los demás países del Caribe, no tenemos ninguna
7 información de esta contaminante en peces, que son la base de la
8 alimentación.

9
10 Otra conclusión importante de este estudio es que aquellos autores
11 que logran determinar el polímero de microplástico son tres tipos
12 de polímeros, polietileno, polipropileno y poliestireno. Esos tres
13 plásticos están asociados a esas tres cosas que consumimos tan
14 fácilmente. Las bolsas de plástico, los envases de plástico que
15 usamos una vez y tiramos, como son esos que están representados,
16 y no sé cómo le llamen aquí, el poliestireno, que son estas esas
17 blancas que guardan de foam que guarda el calor o el frío, que
18 también muy fácilmente y desafortunadamente en todo el Caribe,
19 usamos tan fácilmente. Pues, la mayoría de contaminación de
20 plásticos en la región Caribe, pues viene de estos tres plásticos.

21
22 ¿Cuál es el impacto de estos canijos microplásticos? Pues que se
23 asocian, son verdaderas esponjas, de lo que se le llaman los
24 contaminantes orgánicos persistentes, los POPs, Persistent Organic
25 Pollutants. Entonces, la fibra de plástico absorbe cantidades a
26 veces hasta un millón de veces más alta de estos POPs que lo que
27 hay en el agua. Entonces, se convierten en esponjas que captan
28 este contaminante. Estos POPs son generalmente los organoclorados,
29 los insecticidas, los pesticidas, los fertilizantes y son
30 altamente tóxicos. Y, obviamente, pues, esos microplásticos con
31 esos POPs, pues se van acumulando en esa cadena trófica y, pues
32 más temprano que tarde, llegan a nosotros a través de lo que
33 consumimos.

34
35 Bien, algunas-- no algunas, una recomendación surgida de este
36 trabajo sería en la parte de investigación, podría considerarse
37 realizar ahora un estudio de microplásticos presentes en varias
38 especies marinas comerciales, como algunas han sido citadas aquí,
39 por ejemplo, los Snapper, ¿sí? Y obviamente cada vez más nos van
40 a exigir tener un código de trazabilidad de lo que se captura, y
41 de lo que se vende. Y cada vez más, los microplásticos va a ser
42 una exigencia sanitaria.

43
44 A título de ejemplo, quiero señalar que, en Yucatán-- varios de
45 ustedes conocen la península de Yucatán --se instaló una de las
46 fábricas más grandes de cerveza a nivel mundial, la Heineken. Se
47 instaló ahí por el agua, el acceso al agua. Y ustedes saben que
48 hay un slogan de la Heineken que dice "lo que lo que lleva nuestra

1 cerveza es agua," obviamente, su cereal es la malta, ¿no? Pero la
2 esencia es el agua. Entonces, instaló por el acceso al agua. Y
3 bueno, esta cervecería nos solicitó, pues que le determináramos
4 qué cantidad de microplásticos tiene su agua y la cerveza que sale.

5
6 Yucatán es también un productor de miel a nivel mundial, y Alemania
7 es el principal consumidor. Y Alemania hace años le dijo a Yucatán,
8 a ver, yo quiero una certificación de que no me la adulteres con
9 azúcar. Y en algún momento se adulteró y se frenó esa exportación.
10 Ahorita Alemania le dijo, yo quiero que me certifiques el nivel de
11 contaminación de microplásticos de tu miel. Entonces, este
12 contaminante es algo que más temprano que rápido nos van a estar
13 solicitando en lo que capturemos y en lo que vendamos o en nuestra
14 producción.

15
16 Bien. Y la otra cosa que ya en algún momento lo había compartido
17 con los directivos del Consejo del Caribbean Fisheries, es poder
18 armar una exposición sobre este tema de la contaminación de los
19 microplásticos, que se le denomina ahora también como la
20 contaminación invisible. O sea, no la vemos, pero la tenemos. Y en
21 esa exposición asociar, transmitirle a esta a esta ciencia
22 ciudadana, lo mismo a nuestros pescadores, a nuestras comunidades
23 pesqueras, que nuestro modelo de consumo está ligado a este tipo
24 de contaminación invisible. De tal manera que, en esta ciudadanía
25 en su máxima palabra, quede asociada esta línea de abajo. ¿Sí? Tú
26 usas la botella esta de agua tan fácilmente, pues se va a hacer
27 pedacitos, no se va a desaparecer, no es biocompostable, ¿sí? Y
28 más temprano que tarde va a ir a alguna especie marina, y va a
29 llegar a tu plato. Esa exhibición me parece que sería muy necesaria
30 en nuestra región.

31
32 Y obvio para vivir así, y no así, pues tenemos que pararle a esta
33 sopa de plásticos, ¿sí? Y asociar, obviamente, acciones de
34 educación, de divulgación, acciones sostenibles, ¿sí? Y termino
35 con esta frase de Eduardo Galeano, que me gusta mucho, dice "Mucha
36 gente pequeña, ¿sí? Haciendo cosas pequeñas, pues puede hacer
37 grandes cosas."

38
39 Y pues muchas gracias por este tiempo y por esta invitación.

40
41 **MARCOS HANKE:** Muchas gracias a usted. Tremenda presentación. La
42 verdad que cada vez que usted presenta, impresiona el mensaje y de
43 la manera tan elocuente por la cual usted lo lleva. Le voy a pedir
44 de por favor que-- nos estemos tenemos que ir al almuerzo por el
45 horario del almuerzo y entonces en el regreso, serían las preguntas
46 tres. ¿Como no? We are going to break for lunch because we need to
47 go for lunch here for the presential attendees. We will be back at
48 1 o'clock.

1
2 (Whereupon, the meeting recessed for lunch on April 20, 2022.)
3

4 - - -
5

6 APRIL 20, 2022
7

8 WEDNESDAY AFTERNOON SESSION
9 - - -
10

11 **MARCOS HANKE:** Let's restart the meeting. Thank you everyone again.
12 It's 1:09PM. We have follow-up questions for Dalila from the
13 presentation before lunch. Any of the Council members or members
14 that would like to make a question? Tony.
15

16 **Questions/Comments**
17

18 **LOUIS ANTHONY BLANCHARD:** I don't really have a question, to be
19 honest with you. I think it was a hell of a presentation. It had
20 a lot of details to it. And the break down as to where the plastic
21 goes and how it goes there. It was impressive. Now, to be honest
22 with you, I don't know how we will fix this problem, but at least
23 we know exactly what breakdowns are and that's a starting point.
24

25 **MARCOS HANKE:** Dalila, more than a question and observation, you
26 can count on the Council and on the members that are here pretty
27 much if you need any assembling our support to any future efforts
28 to new research or whatever. Will be more -- the fishermen of the
29 Caribbean, a great amount of them, will be more than happy to
30 support you. I'm pretty sure. Nelson?
31

32 **NELSON CRESPO:** I just want to make a comment. It's a reality that
33 the plastic issue is killing us, especially in the water. Recently,
34 I have reports from fishers that are catching mahis with the
35 stomach full of plastic. That is something that's scary, you know.
36 You can count on our association for any help you need okay.
37

38 **MARCOS HANKE:** Dalila, I have a question that is connected to your
39 presentation but is not specific to. The same dynamic that we see
40 on the marine environment, we can expect on land, on the other
41 sources of food that we get. In agricultural activities, on smaller
42 or bigger scale is this is also the same thing with the
43 microplastic going through the food chain on land too?
44

45 **DALILA ALDANA ARANDA:** Si, también. Y podemos poner como ejemplo
46 un alimento tan común como es el pollo, la carne de pollo. El pollo
47 que el humano come a nivel planetario es a través de granulados,
48 de un alimento prefabricado. Y en ese alimento prefabricado

1 obviamente hay una introducción de plásticos de diferentes
2 fuentes. Lo que yo estoy convencida es que los pocos alimentos
3 silvestres que le quedan a la humanidad, uno de ellos es la pesca.
4 De manera muy próxima, van a ir exigiendo-- estoy pensando en el
5 mercado europeo, pero yo me imagino que Estados Unidos va a hacer
6 lo mismo --va a ir pidiendo en su regulación sanitaria, un
7 certificado con la cantidad de este contaminante por unidad de
8 gramo, etcétera. Es una norma sanitaria que se va a ir
9 implementando.

10
11 Yo les hacía el comentario de la miel, de Yucatán, que es uno de
12 los principales países exportadores de miel al mercado europeo, y
13 como el mercado europeo, en este caso de Alemania, ya exigen ese
14 certificado. Con el agua de la cerveza de Heineken. Y como he
15 estado en este tema de los microplásticos, he visto también por
16 ejemplo que, China, con las peculiaridades que tiene China y los
17 chinos, muchos de sus alimentos de almejas, en el bloque de
18 seafood, están llevando a cabo una determinación de sus
19 microplásticos. Y ese momento alguien me decía, "Oye, ¿en las heces
20 de nosotros, o sea, en el popo de nosotros los humanos, nos pueden
21 determinar la cantidad de microplásticos que ya traemos?" Y la
22 respuesta es, sí.

23
24 La ventaja de trabajar con los microplásticos es que no requieren
25 de un procesamiento para conservar las muestras. Nosotros cuando
26 recibimos una muestra que puede ser el estómago, puede ser un
27 tejido, pueden ser el contenido estomacal, o las heces, lo primero
28 que hacemos es degradar toda la materia orgánica. Tenemos que
29 eliminarla de la muestra. Entonces, si obtenemos una muestra con
30 el apoyo de pescadores y esa muestra se va descomponiendo, se va
31 pudriendo, para efectos del estudio de microplásticos no nos
32 afecta. A los microplásticos no les va a pasar nada. No necesitamos
33 refrigerarla. No necesitamos añadirle un químico especial para
34 conservarlo. Es una gran ventaja trabajar con microplásticos.

35
36 Y la información que nos da es infinita. Ese mundo microscópico a
37 mí me ha maravillado.irme metiendo a las tripas de esa microfibras
38 que ya está desgastada. Ir haciendo determinaciones químicas en
39 esas rupturas de las fibras con respecto a una parte que esta lisa
40 de una microfibras de veinte micras. Es un mundo realmente
41 fascinante.

42
43 Entonces, la respuesta, querido colega amigo es, sí. Si hay una
44 transferencia de microplásticos en la cadena alimenticia.
45 Prácticamente, todo lo que consumimos, desafortunadamente, trae ya
46 una carga de microplásticos. Y para contestar, ahorita
47 verbalizando se aclara la mente. Fíjense ustedes, el agua. El agua
48 que todos tomamos, que casa ves más, hablo del Caribe, la tomamos

1 en botella, ya sea de este tamaño o en Méjico se usa mucho la
2 unidad de veinte litros, es una de las fuentes de mayor
3 contaminación de plásticos que tenemos en nuestros alimentos
4 cotidianos, el agua. ¿Sí?

5
6

7 Si ustedes googlean "microplásticos agua" hay algunas imagines muy
8 interesantes, muy lúdicas en donde nos muestran que, por ejemplo,
9 el agua de del tubo, del grifo, que seguramente algunos de los que
10 estamos aquí sentados todavía tuvimos el privilegio como niños de
11 abrir la llave y tomar esa agua. Hoy por hoy, esa agua tiene menos
12 microplásticos que el agua embotellada. Entonces, esa es la
13 situación.

14

15 **MARCOS HANKE:** Yo le agradezco. Era solamente para redondear su
16 presentación y abrir el campo de visión, verdad. de que las
17 técnicas que usted está trabajando y la pertinencia de su trabajo
18 va mucho más allá que la pesquería. Así que muchas gracias, muchas
19 gracias. Bueno, son las. La 1:17 yo--

20

21 It is 1:17 and in order to speed up the agenda, Carlos and I have
22 a report on recreational fishery summit that--

23

24 **LIAJAY RIVERA GARCÍA:** Marcos, Wessley is online.

25

26 **MARCOS HANKE:** Yes, I'm going to go with him.

27

28 **Recreational Fisheries Summit— Marcos Hanke/Carlos Farchette**

29

30 **MARCOS HANKE:** It is very, very short. Basically, the report is
31 that Carlos and I attended this meeting. The meeting was with all
32 the nationwide recreational fishermen and the interaction and
33 connection with the wind farm and aquaculture. And when we went
34 there, they gave us a good perspective of the implications of those
35 developments and what is happening around the nation, but we also
36 supported the presentation by giving the Caribbean perspective and
37 peculiarities of our habitats and fishery and fishing community
38 and so on, and by adding the concept of -- sorry for the repetition
39 -- but the value, the secondary value of a system of aquaculture.
40 I don't want to go into the weeds with that because eventually we
41 are going to have time to explain it, but this is what Carlos, and
42 I did on the Recreation National Summit. You agree, Carlos,
43 anything quick to add?

44

45 **CARLOS FARCHETTE:** Our esteemed Chair was a panel member as you
46 see on the screen.

47

48 **MARCOS HANKE:** Well, thank you for the picture. Yes, Andy?

1
2 **Questions/Comments**
3

4 **ANDREW STRELCHECK:** Yeah. I had the opportunity to also attend. A
5 couple of takeaways from me that I think are relevant also for the
6 Caribbean. One, there was some discussion about the Federal Fishery
7 Management process and needing to more nimble, move faster.
8

9 It was really kind of apparent based on some of the things that
10 are happening on the East Coast of the United States right now
11 with climate change and shifts in fisheries, you've been hearing
12 some discussion of that in terms of potentially shifts in fisheries
13 here, deeper water, changes in migration patterns. So, certainly
14 something I think Russ Dunn will explore as an outcome of the
15 meeting.
16

17 And then the other is, we've talked some about recreational
18 fisheries of this meeting the need for defining that universe and
19 identifying that through a federal permit or some other mechanism
20 to quantify fishing effort for recreational fishermen, and so I
21 think that'll be also a priority of the agency going forward.
22 Thanks.
23

24 **MARCOS HANKE:** Thank you very much. And due to some class, that he
25 has to teach and other compromises, we're going to go with Wessley
26 Merten on dolphin fish presentation.
27

28 **WESSLEY MERTEN:** Hello, everyone. Can you hear me?
29

30 **MARCOS HANKE:** Yes.
31

32 **WESSLEY MERTEN:** Excellent. So, I don't know if I'll be sharing my
33 screen or not or if you guys will be driving the presentation. How
34 should we do this?
35

36 **MARCOS HANKE:** One second Wess. We will answer that in a second.
37

38 **GRACIELA GARCÍA-MOLINER:** Okay. You're set to go. Check to see if
39 you can share your screen or if it's us driving.
40

41 **LIAJAY RIVERA GARCÍA:** Do you see our screen? Your presentation?
42

43 **WESSLEY MERTEN:** Yeah. I see the PDF that you just shared.
44

45 **LIAJAY RIVERA GARCÍA:** Okay. Thanks.
46

47 **WESSLEY MERTEN:** Should we just do it that way? I'll just tell you
48 to click forward.

1
2 **LIAJAY RIVERA GARCÍA:** Did you prefer to share your screen, Wesley?
3
4 **GRACIELA GARCÍA-MOLINER:** Yes.
5
6 **WESSLEY MERTEN:** If that's possible, it'd be great. But I know
7 there's been some technical glitches here and there.
8
9 **LIAJAY RIVERA GARCÍA:** It is. I will make you cohost.
10
11 **WESSLEY MERTEN:** Okay. Yeah. It's just having to enable my screen
12 sharing on my end. Thanks.
13
14 **LIAJAY RIVERA GARCÍA:** Now you can share.
15
16 **WESSLEY MERTEN:** Okay. Excellent. So, let's see. Let's go here.
17 okay. Please verify that you could see my screen.
18
19 **MARCOS HANKE:** We can. Go ahead.
20
21 **LIAJAY RIVERA GARCÍA:** Yes.
22
23 **WESSLEY MERTEN:** And it's just the actual whole slide. You don't
24 see the presenter notes. Correct?
25
26 **MARCOS HANKE:** Correct.

27
28 **Dolphin Fish Studies on FADs—Wessley Merten**
29

30 **WESSLEY MERTEN:** Awesome. Alright. Well, thank you all. I feel the
31 suspense has really been mounting with this presentation. Thank
32 you for the flexibility and shuffling things around. My students
33 would have loved to have class canceled today, but the Dean
34 definitely would have liked that.

35
36 So, with that being said, good afternoon, everyone. I really wish
37 I could have been there, you know, in the room with you time
38 around, but I just couldn't at the end of the semester and
39 everything. okay.

40
41 So, the title of my talk today is preliminary results from eight
42 years of the Puerto Rico FAD system. And it really highlights the
43 research we've been doing since 2014 with relation to the FADs
44 deployed off the North Coast to Puerto Rico. But, you know, full
45 disclosure here, obviously, this is meant to give you comprehensive
46 update, but we are limited on time. So, I'm going to try my best
47 to present the information. That I've prepared.
48

1 So, this research was and is funded by the Puerto Rico Department
2 of Natural Environmental Resources, and the Federal Aid and Sport
3 Fish Restoration Dingell-Johnson program of the United States Fish
4 and Wildlife Service.

5
6 So much like the December presentation at the Council meeting, I'm
7 going to follow a very similar approach. So, my objective here is
8 to provide you an update, a comprehensive update on the research
9 we've been doing with relation to the FADs. I'm going to use a
10 case study approach just like in December. But first, I'll start
11 with some quick program statistics which will kind of get us
12 thinking about this topic. And then that'll lead into our first
13 case study, which will be on catch and effort and that will take
14 the majority of the talk. And then there will be some additional
15 case studies that we will look at, one, on vessel census, which
16 was our first published paper back in 2018, and then two iterations
17 of that given now that there's a push to deploy submerged FADs. So
18 that's case study 2A and 2B. And then we'll finish off today's
19 presentation with a look at tagging studies and talking about size
20 frequency of dolphin tagged at FADs within the Caribbean Sea. And
21 then a short little segment on Wahoo versus dolphin.

22
23 So, some quick program statistics. So, since 2015, there have been
24 22 FADs deployed within the Puerto Rico FAD system. There are
25 currently six actives. Our group has logged 2,149 catch and effort
26 reports since we started monitoring vessels. And as of December
27 31st, 2021, there's been 547 dolphins tagged at FADs within the
28 U.S. Caribbean Sea. Of those 22 FADs, 16 surface FADs were
29 deployed, and all of those surface FADs have been actual loss.
30 They were they were lost due to ship strikes or equipment failures
31 or due to storms. And then there's been six subsurface FADs.

32
33 So, in June of 2019, due to just personnel constraints, we weren't
34 able to continue to gather the catch reports per trip, but we were
35 able to continue gathering the effort. So, we have logged 2,779
36 trips. So, that component remains, but obviously, it's a very time-
37 consuming process to communicate with anglers on all their outings.
38 And I was doing that by myself a few years ago, but I'm trying to
39 ramp this back up with a small staff that we're starting to put
40 together.

41
42 So, with the funding through this FAD research, we've deployed 31
43 satellite tags, 27 have been deployed on dolphin, three on Wahoo
44 and one on a silky shark. We've involved 34 vessels with the
45 pelagic data system vessel tracking unit. So, that's kind of like
46 a baseline of our participation in terms of gathering catch and
47 effort reports or just effort reports. But we also interface with
48 a lot of anglers through fieldwork, and there's definitely boats

1 that we have involved that we don't have the vessel tracking device
2 on, due to either funding issues or just logistical issues.

3
4 So, we published one paper. We have one currently in review of
5 History Science and one in prep, and that in prep paper is the one
6 that is the first case study today that I'll start with here in
7 just a second. But based on the conversation yesterday when Rachel
8 presented the working group report from WECAFC, I just wanted to
9 update you all with some quick program statistics on deployments.

10
11 So, this was a table I submitted to DNER last March. Basically, it
12 just shows, you know, the different deployment events for the
13 surface FADs. So maximum longevity of those surface FADs was 1,249
14 days, which is about 3.4 years. The minimum amount of time, one
15 was in the water was 12 days. So, it's likely that FAD either got
16 hit by a tanker or there's equipment malfunction. The average
17 longevity of the surface FADs is quite low, 453 days or about 15
18 months.

19
20 Average time to actually redeploy in the same location was 8.8
21 months. And these deployments were being led by Legado Azul. And
22 that 8.8 months could have been for a host of different reasons,
23 which I'm not sure are, but, you know, obviously, getting the barge
24 back outfitted with equipment, funding, and stuff like that. So,
25 if you use smaller FADs, you can redeploy in the same sites faster
26 because, generally, as far as I understand, once you have a permit
27 for a location, you can deploy there based on permitting needs and
28 requirements.

29
30 Okay. So, hopefully, that got you thinking about this topic now,
31 and we'll get into the first case study. So, one of the things
32 that we wanted to do right off the bat was just trying to see how
33 these boats are utilizing these FADs. And so, obviously, collecting
34 catch and effort is kind of a paramount method to use to do that.
35 And so, one thing that we are, kind of, intitling this work, is
36 vessel trip histories. And so, the study purpose is really to
37 compile quantitative examples of FAD use, catch and effort using
38 vessel tracking systems. With the overall objective to kind of
39 determine the temporal and spatial variation and FAD use and
40 performance.

41
42 And so, we're using the Pelagic data system, vessel tracking
43 devices. We're working with charter boats recreational boats, and
44 small artisanal anglers, and we're mounting these devices on the
45 boats and collecting the tracking data. The devices, they're solar
46 powered, they're extremely durable, they're water, heat and wind
47 resistant. They have a dynamic sampling rate, so when the boat
48 slows down, there are more points that are collected, when it

1 speeds up, there's less points. It basically communicates with
2 cellular networks. Has upload frequency of every six hours, and
3 they're extensible. So, you can actually add on additional sensors
4 which is something we would love to do in the future.

5
6 So, I didn't know if I was going to be able to share my screen or
7 not, so I put this slide in here to bypass that. So, there are
8 some really cool methods if you're into that type of thing, but
9 I'm going to bypass this to save time. But I'm happy to answer
10 questions if needed later about those methods.

11
12 But for today's talk, basically, I'll maybe presenting four
13 separate vessel trip histories when we started monitoring these
14 boats back in 2016 and 2017. And with each of these examples, I'm
15 going to present this Gantt chart, which basically on your x-axis,
16 you have time, on your y-axis, you have the different units out in
17 the water, whether it be the FADs or the actual boats. So, the
18 gray box here is highlighting the actual boat that we're
19 monitoring. And these colored rectangles represent the deployment
20 of either the vessel tracking devices in the case of the boat or
21 the deployment of the actual FADs. So obviously, the red bars
22 indicate the first deployment event for these FADs. Some Fads were
23 deployed the second time, which is yellow. And then some files
24 were deployed a third time, which is green.

25
26 So, these really give you kind of situational awareness in terms
27 of, you know, where the boat is with relation to what FADs are in
28 the water. So, with this particular charter boat, is a large 32-
29 foot charter boat based out of Dorado. We started monitoring this
30 boat in October of 2016. So, with these vessel trip histories, you
31 can start to look at, you know, what this boat is doing over an
32 expansive time. And so, for this particular boat, the first 21
33 trips, you know, this boat spent time at the FADs nearest to where
34 this boat was based, which is Dorado. So, that's FAD F and FAD E
35 were the closest.

36
37 So, we're collecting, you know, back when we first started this,
38 we're collecting the catch and effort and the captains would report
39 their catch as FAD associated, which was defined as caught within
40 a mile of the FAD, or non-FAD associated. And so, for the first 21
41 trips here, this boat, you know, caught 13 dorado and released two
42 blue marlins associated with the FADs. Non-associated catch was 11
43 dorado, one wahoo, and one sailfish. Away from the FADs. But,
44 obviously, with these types of data, you can rasterize it and so
45 this roster actually depicts the time of fishing activity per 1.2
46 squared kilometers. And with these FADs, FAD F and FAD E in the
47 area, you could see that the colors, the yellows, and the reds,
48 and the oranges indicating where the boat was spending more time.

1
2 But with these devices, obviously, you can collect a lot of cool
3 statistics. So, we were looking at, you know, average time per
4 trip, average distance traveled per trip, the range offshore, and
5 the total area covered. And you can see those statistics here. But
6 the point I want to make is that the next 44 trips that we were
7 monitoring for this boat, FAD E and FAD F had been lost and so
8 this charter boat basically shifted its effort towards the next
9 closest FAD, and which was FAD G, off of Vega Baja. And during
10 that time, that shift in effort towards the FAD led to, you know,
11 the catch of 32 dorado, the release of one white marlin and one
12 wahoo was caught. Away from the FAD, the boat only caught eight
13 dorado, released two blue marlins, a yellowfin tuna, blackfin, and
14 a sailfish.

15
16 So, a higher diversity of species away from the FADs. But at that
17 FAD, it was quite successful, which obviously can help this boat,
18 please the clients and help, you know, obviously, maybe acquire
19 tips and help the bottom line for the business.

20
21 In terms of trip statistics, all trip statistics increase for this
22 charter boat due to the loss of the FAD nearest its home port.
23 With a 34 percent increase in area covered for this boat because
24 FAD F and FAD E were not in the water. And so, this was just, you
25 know, the expanse of about, you know, 40 or 65 trips when we
26 started monitoring this particular charter back in 2016-2017.

27
28 So now on to the next example. So, this is a near short charter
29 boat based in San Juan Bay. So, it's a small 22-foot center
30 console. So, basically, a lot of the time this boat is fishing
31 within San Juan Bay and the different channels in the back bay.
32 And the FADs nearest this vessel are FAD C and FAD D at this time,
33 which were distributed off of El Morro. And so, the interesting
34 aspect of this type of charter example is it allows you to see
35 when this vessel shifted offshore to actually target pelagic
36 species versus, you know, staying in shore to fish the near shore
37 habitat.

38
39 And for this particular boat, over the first four months that we
40 were monitoring it, at the FADs, the vessel caught 17 dorado it
41 released a marlin and two sailfish. Away from the FADs, only seven
42 dorado and one yellowfin tuna. So, obviously, you could see the
43 roster showing a lot of time that this boat is spending at FAD C
44 and FAD D just basically going straight there. And I haven't looked
45 at the weather with respect to these trips, but it likely coincided
46 with nice days when conditions really permitted for the boat to
47 take clients to that location. But the point is this vessel was
48 shifting effort away from near shore habitat. But three times as

1 many trips were in shore, and about 40 different species were being
2 caught near shore with tarpon, jack crevalle, and snook being the
3 top three species. And so, that just is another unique aspect or
4 vessel trip history for that particular boat.

5
6 And so, we move on to a commercial example. So, this boat was
7 active based out of Manatí, and we actually started monitoring
8 this boat in the summer of 2018. There were no FADs present when
9 we started monitoring this particular small scale artisanal
10 angler. And during the first 14 trips, this boat did not do very
11 well in terms of landings. They did have fun though. They released
12 three blue marlins. Obviously, it's a thrill whenever you hook
13 into a blue marlin. But they obviously were out there trying to
14 land fish for, you know, obviously, to make money. They only caught
15 one blackfin tuna during those two weeks. So, not good fishing for
16 this boat during the first two weeks.

17
18 Then on July 21st, 2018, FAD F was deployed off of Dorado, and this
19 boat basically started to shift effort directly towards that FAD.
20 And then the next 14 trips, the boat caught 37 dorado and released
21 one blue marlin at the FAD. And with the presence of that FAD now
22 off Dorado, the boat also started to use new techniques in terms
23 of targeting live bait near shore, going straight out to the FAD,
24 and then, you know, chumming and fishing with live bait. And on
25 this particular outing and early of September 2018, caught this
26 really nice yellowfin tuna. And then another trip about a week
27 later, targeting and live bait near shore, and then heading
28 offshore and getting a pretty nice catch of dolphin.

29
30 So pretty unique example to see there with this commercial boat,
31 obviously showing kind of different tactics than some of the
32 charter boats. In total, over the first 28 trips we monitored of
33 this commercial boat, the vessel caught 56 dorado at the FAD, and
34 away from the FAD only 18 dorado, with only one of those trips
35 offshore actually producing 14 of those fish. So, they got lucky,
36 and they found a floating pallet or something. So, basically, this
37 vessel was putting a lot of effort towards fishing that FAD when
38 it was present.

39
40 And lastly, just a recreational example from a boat off of Arecibo.
41 And so, this vessel, we've monitored for quite a while. Actually,
42 we're still monitoring it to this day. And the unique aspect of
43 this boat, though, is that there's no FADs within range, really,
44 of this boat. The closest was FAD H, when FAD H was present off of
45 Manatí, which is about 20 miles away. But, you know, you could see
46 just the wide range that this boat would fish to obviously enjoy
47 an outing on the water. What this boat did was quite successful.
48 It caught 308 dolphinfishes during these first 81 trips that we

1 monitored and released a host of different marlin and caught some
2 wahoo and stuff too. But so, the question becomes, how does this
3 type of effort and catch change if you actually have a FAD or a
4 surface FAD present off of Arecibo. And so that's something that
5 we're working to try to address moving forward.

6
7 And so, just to summarize here, what you can do with these vessel
8 tracking devices is you can actually look at the time of departure
9 for these boats. And with the near shore charter, generally, they
10 were departing, two times a day and leaving at 06:37, in another
11 trip in the afternoon, 01:30, and 2:00. At times, this boat was
12 shifting effort offshore to fish the FADs. The bigger offshore
13 charter, generally having two trips per day as well, right around
14 the same times, and this offshore charter was shifting effort
15 towards the nearest FAD when those FADs were present. The
16 commercial boats, they were leaving, or this particular commercial
17 boat was leaving as early as 03:30 to get out to the FADs as early
18 as possible to, obviously, get fish before the charter boat or the
19 recreational anglers. And then the recreational angler would leave
20 once a day and generally FADs, 20 miles away, were out of reach.

21
22 But in conclusion with this particular case study, you know, these
23 vessel fishing trip histories, they provide quantitative estimates
24 of FAD and non-FAD use on different temporal spatial scale. So, it
25 basically tells us a story of how these anglers are using the FADs,
26 which is something that is important for fishery science and
27 important for fishery management if we acquire enough of these
28 examples. And this method, can be used to assess, use and
29 performance on FADs by sector, which is definitely the approach
30 we're trying to take.

31
32 Now I've been using this technology for six years, so there's a
33 lot of issues and situations and problems that can arise. So, these
34 devices need to be assessed daily, in terms of their device health
35 and status. But they're pretty robust pieces of equipment.
36 Obviously, the catch and effort results are only representative of
37 when captains actually report the catch and trip data. And we had
38 about an 85 percent catch report acquisition rate. So, meaning
39 that only 15 percent of the trips we weren't able to get a solid
40 report from the anglers. So, it does represent a good kind of phone
41 survey and way to integrate catch and effort with these devices.

42
43 And results can also be used to examine other socioeconomic trends.
44 So, we actually started working with a seafood restaurant we are
45 monitoring their products that they were buying in terms of
46 seafood, the boats that were supplying it. Which offers a really
47 unique aspect into that type of economic data. In terms of, you
48 know, local caught fish. And so, that program was a pilot program,

1 but we basically were able to do it because of these devices.
2
3 These devices are really pretty cost effective. They cost about
4 500 dollars per device, and they offer about two years of data
5 service. And, obviously, there's going to be additional cost for
6 data management and analysis. But like I presented in December,
7 when you, by virtue of having captains involved in this vessel
8 tracking research, it affords new opportunities to monitor
9 offshore resources during, like, anomalous weather or sargassum
10 episodes. Which is the manuscript I presented in December that's
11 currently in review.
12
13 So that was the first case study and then the following case
14 studies I'll present are much shorter in duration. And so, with
15 that being said, I'll just continue here.
16
17 And so, this next study was the first one we published in 2018. It
18 was basically using video monitoring to quantify spatial and
19 temporal patterns and fishing effort across sectors at these FADs
20 off Puerto Rico. And so, in terms of the purpose, was really to
21 provide, like, a rapid fishery independent assessment of
22 multisectoral FAD use off San Juan during the first year of the
23 program. And the objective is to determine the temporal and spatial
24 variation in FAD use.
25
26 And so, here, we are using these Brinno timelapse cameras. So
27 pretty cheap, a couple hundred dollars per camera, weather
28 resistant housing, and we were just duct taping it and strapping
29 it to the FADs. The cameras take a pretty good resolution, 1280 by
30 720. They basically have about a 35-millimeter lens field of view.
31 We programmed the cameras to take an image once every 30 seconds,
32 and we set the timer from 05:30AM to 07:30PM, and we did seven
33 three-week deployments between three different FADs.
34
35 And using this approach, we're able to get some pretty cool data.
36 So, I'm just going to bypass this slide because I didn't know if
37 I'd be able to present with my screen. But this is what the actual
38 data looks like. So, the I used a couple different video editing
39 software to label the actual data. But basically, you're seeing
40 the raw data and the labels that we would put in. And so, here's
41 a bird. Obviously, lots of bird activity can present obstruction
42 views for the lens at times. But there's the first boat on this
43 particular day. Obviously, you see the time stamp, you see the
44 date.
45
46 These boats can approach really close, so you could see the number
47 passengers. You'd see, you know, what gear they're using and
48 different aspects. The power of the engine and stuff like that.

1 And so, this boat ends up coming fairly close here. There it is
2 right there. You can see the number of rods, the different anglers,
3 there's two onboard there. So, we didn't look at this paper in
4 terms of number of anglers per boat, but here's obviously a larger
5 probably, I don't know, 35, 40-foot boat. So, you know, multiple
6 boats active at the FAD at the same time.

7
8 And then at times, you even have the opportunity to see actual
9 fish at the FAD. So, here's a dorado right here in the bottom of
10 your screen. See, the cameras can sense and see wildlife at times.
11 And using this camera data, we're able to classify a hundred and
12 58 unique boats and actually name them unique boats. This is
13 Rodolfo Abrahams, which obviously is a commercial angler that a
14 lot of you know. And here's Bill Fish, which was a charter that
15 was active back in the in the day. And, obviously, spear fishing,
16 you can see that happening. And then some of the boats that didn't
17 have a name on the whole, we would just name just a random name.
18 So, this I just called Blank Boat. But this Blank Boat was active
19 a lot and they used unique techniques in terms of live baiting and
20 stuff at the FADs.

21
22 But so, in terms of descriptive statistics, we basically collected
23 139 FAD camera days. Just over 233,000 images, which represented
24 about 22.1 percent of a year. We had 158 unique vessels
25 characterized, and there was basically a 2.4 percent vessel
26 detection rate, but 0.7 percent of the vessels were kind of too
27 far out of the range to ID. And we did an ID test and we found
28 that 500 meters was kind of the ID range. So, so pretty unique,
29 you know, type of data collection using these cameras.

30
31 And so, in terms of results, we use a logistic regression to
32 analyze the data, and we found that there were significant
33 differences by time of day and by day of week, which probably isn't
34 shocking at all. But statistically, that's what the results told
35 us. And, you know, using this fancy contrast matrix, we're able to
36 show that by time-of-day interval, which is on your y-axis and the
37 activity level on your x, we're able to show that the weekends you
38 have a huge spike in activity at these FADs. And generally, kind
39 of an increasing trend through the week. With early morning hours,
40 which is the time period b of each day, generally having the
41 highest amount of activity.

42
43 So, another aspect of this work was to work with QuanTech which is
44 a company that interfaces with NOAA on a lot of survey protocols.
45 When I was living in DC, I went down to their office and I spoke
46 to them, and we put together this cost benefit analysis comparing
47 the video sampling to the other types of methods used by NOAA and
48 other consulting firms. Long story short, you know, it's pretty

1 cheap to put the camera out and to record the data, and to some
2 extent, it's cheap to analyze the data too, compared to having
3 personnel at ports sampling. Nonetheless, you lose a lot of-- you
4 don't gather any demographic data from the video sampling. You can
5 have lens issues, battery, and power source issues. But when you
6 couple these types of monitoring protocols, you can glean a lot of
7 information.

8
9 So, in conclusion on this case study, you know, we conducted a
10 fishery independent assessment of multi-sector fishing effort
11 using video monitoring. It's a pretty cost-effective approach to
12 assess fishing activity at the FADs. You know, a FAD is there,
13 just strap a camera to it and see who is using it and how. Results
14 really kind of serve as like a baseline estimate of FAD use,
15 especially if you deploy the camera right when the FAD is deployed.
16 So, you could then, you know, look at FAD activity expansion or
17 contraction. Results are only representative of daytime fishing
18 efforts. So, we only programmed them for the day. But we need to
19 match these types of data with port surveys. So, that would be
20 helpful to see who is actually fishing the FAD and we could even
21 cross verify. Obviously, with AI, there's opportunities to
22 automate vessel detection through image recognition.

23
24 And so, this study, obviously, was done with surface FADs. So, now
25 there's been this big push to deploy submerged FADs. And so,
26 obviously, you can't put a camera at the surface with the submerged
27 FADs. So, what we've done and is something that a lot of
28 researchers that have presented to the Council these past few days
29 have done with different aspects of marine life monitoring is use
30 these loggerhead hydrophones, and we're using these to detect
31 vessels. And so, this is a recently deployed submerged FAD off of
32 Puerto Rico. This is the Camino Del Mar FAD. And so, we're putting
33 these hydrophones on these on these FADs.

34
35 And just to kind of give you a lay of the land right now with where
36 these FADs are. Camino Del Mar is Northwest of El Morro, about
37 seven miles. And then you have El Morro FAD, basically, due North.
38 And then last week, Legado Azul deployed two more submerged FADs
39 in this cluster. But so, the actual hydrophone that I'm going to
40 speak to for this brief little segment is on the El Morro FAD.

41
42 And so, this is a spectrogram which a lot of the researchers in
43 the room that are listening are probably familiar with. I actually
44 consulted with Tim Rowell, who used to be a student of Doctor
45 Richard Appeldoorn's, and he's used this extensively with some of
46 his research. And he's actually a NOAA employee based out of Woods
47 Hole. But Tim and I spoke last week, and he helped set me up on
48 this.

1
2 So, this is a spectrogram. The blue right here showing not much
3 sound activity. This band towards the right side of the spectrogram
4 shows an increase in sound. This next spectrogram shows, a lot of
5 this this green indicating higher sound levels. And so, by virtue
6 of having captains, you know, having these vessel trackers, we
7 were able to act the ground truth that this was an actual visit
8 from this charter boat at the FAD. And the time stamp here is
9 October 26, 2021. So, just several months ago at 04:01 in the
10 afternoon. That coincides with the time stamp of the spectrograms,
11 and this vessel actually caught two nice dorado, making these
12 passes. But by virtue of having the captain with that vessel
13 tracking device, it gave us a unique signature of when this boat
14 was visiting the FAD, which allows us to compile events and then
15 compare to locations where we don't have the vessel tracking
16 devices deployed. So, this is ongoing work. We've gathered three
17 months of sound data, so we have to analyze it, and we're re
18 redeploying those hydrophones. So, we hope to present in the future
19 more about this.

20
21 Now the other iteration here of the case study is using these
22 underwater cameras. And I think Doctor Reni García presented
23 something really interesting with cameras. I'm wondering if we're
24 using the same housing. It's like really cool housing for GoPro.
25 Could be deployed super deep. Nonetheless, this is one of the
26 favorite photos I've ever taken, and I actually didn't pull the
27 trigger, I just set the camera to record. But as you can see,
28 there's a dorado here looking down at the lens. You see a nice
29 school bait fish and some other unidentified fish right here close.
30 But we are now gathering this imagery to be able to assess vessels,
31 visiting, and also marine life.

32
33 And right now, we have Marissa, our fisheries data analysts,
34 analyzing the data. And she says she's able to count over 300
35 individual fish in this image. So obviously, you could use this to
36 count individual fish, and you could assess the number of counts
37 per image by time of day. Because we have these cameras recording
38 throughout daytime hours. And so, you could start to get an
39 assessment of how bait changes by time of day, and whether bigger,
40 pelagics are more active at certain times of day.

41
42 And to that end, this is a pretty cool image showing two dorado
43 going up towards the surface, possibly interacting, and then
44 another school of looks like some sort of bait fish kind of moving
45 away. But, you know, this really gets me giddy, looking at this
46 type of imagery. I mean, this is the wild out there, and we're
47 seeing images of the wild and so I really am pretty excited about
48 this stuff.

1
2 So, to the last case study, I think maybe I'm going a little long
3 here, but nonetheless, this is a quick one. So, in terms of tagging
4 studies, I spoke a little bit to this during the December meeting.
5 But yesterday, during Rachel O'Malley's talk, there were some
6 questions, I think from Tony, about what's the size of fish being
7 caught with these FADs. And so, this is the size frequency of fish
8 tagged and released at Caribbean FADs. And this image right here
9 shows Julien Brossel, one of our big taggers out of Guadalupe.
10 And, typically, he tags a fish takes a quick picture and sends it
11 to us, and that's kind of his style. And so that's kind of the
12 size of the fish that he typically is tagging at the FADs off of
13 Guadalupe. But you know, 24 percent are less than 20 inches for
14 fork length, which 20 inches fork length is the minimum size for
15 dolphin on the Eastern Florida shelf and on up to South Carolina.
16 33.8 percent are less than 23.5 inches fork length. And 24 inches
17 is kind of the idea being floated for a minimum size in Florida.
18 And also, I've heard of a lot of people within the Caribbean Sea,
19 just anglers, tell me that they would be comfortable with that
20 type of a minimum size. And that's just from their point of view.

21
22 So, yeah, that kind of gives you a distribution of the tagged and
23 released fish associated with our program. So, this is Guadalupe,
24 Virgin Islands, Puerto Rico, and Dominican Republic, and the
25 Caymans is really where this data is taken from.

26
27 Lastly, this is an update since December. So, we've been starting
28 to tag wahoo around the island of Puerto Rico. Super it about this.
29 This tag surfaced between now and the December meeting. It was a
30 short duration event though. We only got 7.4 days on this wahoo,
31 which is a 47-inch wahoo. It moved about 60 miles Northwest from
32 buoy 6. So, we actually tagged it at a near shore buoy, which is
33 like a FAD. And the tag popped up 14 miles off of Punta Cana.

34
35 This scatter plot shows the depth use, and this is in absolute
36 depth. So, meters are on your y-axis, and time is on your x. The
37 cool thing about this scatter of thought is it shows extremely
38 deep diving behavior during the daytime. During the nighttime and
39 crepuscular times, this fish was much more about the surface. And
40 then you contrast that with dolphin. It's very different than
41 dolphins. Obviously, they're serving different ecological niches.
42 But you see the top three scatter plots with dolphin monitored
43 around Puerto Rico. Their diving behavior you see on the kind of
44 outer sides of these scatter plots is deeper during the night,
45 shallower during the day. So just gathering some pretty cool
46 ecological data on these species.

47
48 And the last point I'll make here is that this was a geolocated

1 dolphin that we tagged a few years back, and it was recaptured at
2 a FAD South of La Romana. And when you compare the movement
3 trajectory of this geolocation track towards Punta Cana, a very
4 similar trajectory it took as that wahoo, if you go back and look
5 at that wahoo movement. So, not sure if it is that these fish are
6 using this corridor through here, through the Mona of passage. I
7 noticed some of the depth data that Doctor García presented earlier
8 showing kind of some of those fathoms, those different fathom
9 lines. So, maybe currents are kind of guiding fish this trajectory.
10 Nonetheless, off Punta Cana, there's a lot of FADs, reports
11 estimate of 2,500 FADs around this part of the D.R.

12
13 But then, you know, just a few weeks ago, we tagged a dolphinfish,
14 and the tag went the full interval, two weeks, and the fish ended
15 up way down here South of D.R. So, you know, obviously, you know,
16 what percentage of fish are making that trajectory through the
17 Mona passage versus bypassing D.R. completely. And those are big
18 time questions that are really hard to answer with relation to how
19 FADs are affecting migration.

20
21 Okay. So, we're here at acknowledgments. So, I'd just like to
22 acknowledge Puerto Rico Department Natural Environmental
23 Resources, and U.S. Fish and Wildlife for funding this research.
24 Huge thanks to Doctor Nilda Jimenez, Damaris Delgado, Kelvin
25 Serrano, Omar Collazo, Johanna Gutierrez, Doctor Craig Lilyestrom,
26 and Doctor Richard Appeldoorn, for getting me involved in FAD
27 research back in the day. And these are all the boats that we're
28 participating with. So, thank you to all those Captains, and I'll
29 take any questions.

30

31 **Questions/Comments**

32

33 **MARCOS HANKE:** Thank you for an excellent presentation and for
34 adapting to our time constraints. Questions from the members. Andy?

35

36 **ANDREW STRELCHECK:** Thank you for the presentation, really
37 impressive research. I'm curious with vessel tracking system
38 devices you're using. What are you using? You implied obviously
39 that they're fairly reliable and fairly inexpensive. I'm curious
40 kind of how that compares to some of the vessel monitoring systems
41 that are applied in other regions in the United States?

42

43 **WESSLEY MERTEN:** Yeah. So, we're using the Pelagic data system
44 vessel tracking devices. So, obviously, these are not VMS units.
45 So, they can be tampered with. Anglers can take them off the boat.
46 So, you know, they're not the gold standard of vessel monitoring.
47 But in terms of monitoring small scale fisheries, the ability to
48 not have them wired to the boat is huge. So, I could just show up

1 at a dock and have some boxes in my luggage and fish with these
2 boats and strike up a relationship and a conversation and say,
3 "Hey, would you like to participate in our research? I've got this
4 solar powered device. We can cable tie it to your bimini top."
5 It's happened that way. Like, we just start to integrate our
6 research with anglers on that quick of a basis.

7
8 You know, one thing that I can do with the Council, or any group
9 can do with the Council is really to have a specific meeting with
10 anglers to expose them to this type of research and the ease of
11 integration and also kind of what we want to do with the data. And
12 by virtue of the Council's ability to reach a lot of anglers and
13 obviously integrate with NOAA, it could spawn a very big program
14 on the island. Whether it would be representative of all the
15 sectors, that's obviously, another question.

16
17 I've used a grassroots approach, and I've gathered 34 users,
18 essentially. But we could I could potentially get more. So, the
19 devices are strong though. Some of them withstood hurricane María
20 on these boats. I mean, they are wind and rain and destruction
21 proof.

22
23 **MARCOS HANKE:** Thank you, Wess. A question in terms of the vertical
24 migration between the wahoo and the dolphin. In general, I couldn't
25 see or understand well. On the wahoo, there is a night vertical
26 migration going deeper. And the mahi, if I understand correctly,
27 they have a more variation closer to the surface that they go up
28 and down during day and night, how can I read that?

29
30 **WESSLEY MERTEN:** Yes. So, I don't know if you can see this on the
31 screen again.

32
33 **MARCOS HANKE:** I do.

34
35 **WESSLEY MERTEN:** Can you see it?

36
37 **MARCOS HANKE:** Yes.

38
39 **WESSLEY MERTEN:** Yes. So, all of the black ovals on this plot shows
40 a depth by time for this fish. So, and on the x-axis, you have
41 midnight to midnight. So, basically, on the left side's midnight
42 from one day, you know, obviously, to the next. But they're all
43 kind of aggregated into just time throughout the record. And so,
44 whenever you have these ovals closer to the surface, that means
45 the fish is closer to that location or this depth at that time.

46
47 So, you'll see this kind of clustering at noon. If you look at
48 noon, right in the middle of plot and then you go down, you see

1 all those ovals, that's 50 to 150 meters at noon that that fish
2 was at. If you go up to the actual x-axis below noon between
3 basically 09:30, 10:00 until 3:00, that fish was absent from the
4 upper part of the water column during this monitoring period. Now
5 remember, this is only one fish, this is only 7.4 days, but it is
6 drastically different than what we see with the dolphin. That's
7 the point I was trying to make here, when you go to noon with
8 dolphin. Look at all those points right up at the surface with
9 dolphin. So, using different predation techniques, obviously,
10 because they serve ecological niches that are different.

11
12 And so, this is ongoing research. We have a geolocating tag on a
13 wahoo that's supposed to report actually here coming up, hopefully.
14 And so, I hope to continue to update you with this type of
15 comparison as we move forward. So hopefully that addressed your
16 question.

17
18 **MARCOS HANKE:** Yes. It did. Thank you very much. Anybody else?
19 Online, we have any questions?

20
21 **LIAJAY RIVERA GARCÍA:** Marcos, we have questions in the chat.
22 Should I read them?

23
24 **MARCOS HANKE:** Yes.

25
26 **LIAJAY RIVERA GARCÍA:** Okay. Michelle Schärer. Can you say how
27 much more effective the CPUE is with the FAD? Number two. Which
28 method is more effective? i.e., live bait, Avnea or trolling.

29
30 **WESSLEY MERTEN:** Of course, Michelle, would give me the doozies
31 here. So, in terms of the CPUE question, I mean, the problem with
32 our research is that we don't have enough replicates per sector
33 visiting the same FAD to really start to make that stretch to the
34 CPUE world, which is why I presented it from the standpoint of,
35 you know, trip histories. So, unfortunately, I cannot say that,
36 you know, catch per unit effort is higher at the FAD at this
37 current day. In December, I presented that component where some of
38 the boats bypassed the FADs because there were these huge sargassum
39 lines 15 miles out, and they were just going straight there, and
40 they were doing great at that, you know, that natal habitat, you
41 know. So, yeah, I'll just say that I cannot address that one.

42
43 In terms of the most effective method, you know, I spent a lot of
44 time fishing for dolphin and, you know, these fish will be finicky,
45 and they won't eat anything that you present to them at times. So,
46 you could live bait them, throw everything you have in terms of
47 live bait, at them, troll, even getting in the water and try to
48 spear one, and they're gone.

1
2 So, you know, what method is more effective? For yellowfin tuna,
3 what I hear amongst many of the anglers fishing the FADs is that
4 live bait is prime for those yellowfin tuna. But for dolphin, it's
5 really kind of dependent on other factors that are outside of my
6 current knowledge at this current date.

7
8 **MARCOS HANKE:** Yes. Thank you very much, Wess. And just to add to
9 those variables, it also will depend if you are the first one on
10 the FAD or the second or the third or the-- because the fish, once
11 they are fished or have some pressure, the behavior of the fish
12 changes and those catchability rates or how easy it is to catch or
13 not to catch with live bair or any of those gears will change too.
14 That's just one comment based on my experience.

15
16 Thank you very much for your presentation. I don't see any other
17 question.

18
19 **LIAJAY RIVERA GARCÍA:** Yes.

20
21 **MARCOS HANKE:** We do?

22
23 **LIAJAY RIVERA GARCÍA:** We have questions from Yamitza Rodríguez.
24 She says, do you think that our fisheries will sustain the number
25 of FADs proposed? how will you monitor the usage of so many other
26 FADs?

27
28 **WESSLEY MERTEN:** This is another very big, high-level question
29 that is kind of outside of my real ability to answer. Because, you
30 know, the future is kind of unknown in terms of a lot of different
31 factors in fisheries. What I will state is that the Dominican
32 Republic, the latest paper that came out last year, the estimate
33 is that there's 2,500 FADs deployed within their waters. Their
34 landings of dolphinfish have been increasing through the last six
35 to seven years. So, you know, one could argue that those FADs are
36 leading to better landings for dolphin. But in the long term, how
37 is that going to affect their dolphin fishery? That's one question
38 that I've been scratching at for a while. And, obviously, I mean,
39 how are we going to answer that? We can't answer that today.

40
41 But so, you know, with the Puerto Rico FAD system, there's been 22
42 deployed and there's only six active. In Guadalupe, they've got
43 probably, I don't know the exact number, but they've got a lot of
44 FADs. Dozens 30, 40, 50. Yeah. I don't know the exact number. That
45 paper probably states it actually. So, yeah, that's a tough
46 question that Yamitza presented to me. That I can't answer fully.

47
48 And then in terms of how one would monitor the usage of the FADs.

1 Well, that really just comes down to funding because there's a lot
2 of FADs being deployed with no equipment on it, in terms of sensors
3 or monitoring. And to me, that's just a missed opportunity. These
4 are biological platforms that can be used to assess this
5 environment. So, if a FAD's being deployed at the least, we should
6 be deploying some basic sensors to gather data. And that truly is
7 a funding issue.

8
9 **MARCOS HANKE:** Thank you, Wess. Is there any other question online?
10 No? To wrap up, I want to mention that I have the experience on
11 the FAD Working Group and collaborating with Wess, talking to
12 fishermen. I want to mention that the work the Wess is doing, it
13 will allow us to be very informed for better management on the
14 fishery in general, especially related to FAD. And he is on the
15 top of the iceberg in terms of knowledge and technology on this
16 kind of study, which is essential to keep our fishery healthy and
17 to understand the fishery better with the evolution that have been
18 happening related to FADs.

19
20 On that regard, thank you very much, Wess, for your leadership on
21 this and on a very, very important approach to FAD fisheries
22 studies and know how. Thank you very much.

23
24 **WESSLEY MERTEN:** Thank you very much Marcos and thank you all, the
25 entire Council. Look forward to seeing you guys in the future.

26
27 **MARCOS HANKE:** Thank you. We're going to go to the next
28 presentation, Alida Ortiz.

29
30 **Outreach and Education Report— Alida Ortiz**

31
32 **ALIDA ORTIZ SOTOMAYOR:** Yes. I'm here. If you have my presentation
33 there, that would be great. Can you put it wide? Great. \ I'm going
34 to give a very short presentation of what we have been doing at
35 the Outreach and Education Advisory Panel.

36
37 First of all, I am very, very happy to hear yesterday and today
38 the participation of the fishers in almost all the research, all
39 the work that it's being done for getting information for the
40 management measure for the Council, everything. And I heard
41 yesterday, the word fisher scientist and I think we should take a
42 look at that and talk to the people who are working with the
43 scientists. The scientists who are working with the fishers to see
44 if we can do something like that. But I'm not going to touch that
45 again today.

46
47 Next, please.

48

1 I'm going to concentrate my presentation to what we received in
2 December for this Caribbean Council five-year strategic plan. And
3 when we read that document, one of the goals is to engage, educate,
4 and inform a variety of audiences to improve public understanding
5 and participation in the Council process, and that means almost
6 everything.

7
8 So, with objective 20, we are going to be taking care of objective
9 20, 21, and 22 now, but that doesn't mean that those are the only
10 objectives of the strategic plan that we are going to keep track
11 of in the outreach and education. Practically all areas of Council
12 work have to do in one way or another with outreach and education.
13 Either to bring information to the Council or to get information
14 to from the Council to the stakeholders.

15
16 So that objective 20, that is to use a variety of communication
17 tools for social, cultural, and economic characteristics. That's
18 the one that covers some of the research. But the strategic, the
19 strategy that they put is, to maintain the content of the Council's
20 website to enhance its utility to a variety of users.

21
22 We have already, since December, have meetings with the liaisons
23 from each one of the islands to see what is the information that
24 is generating in each one of their areas that should go into the
25 website. Also with the DAP, liaisons and DAPs to get all that
26 information. So, we are working on designing the web page, the way
27 that it can be informative, consistent and attractive, so that
28 people won't go there to get information.

29
30 Next.

31
32 In that same objective, they have variety of communication tools
33 social, cultural and economic characteristics. And it says to
34 coordinated with management, partners, commercial, recreation,
35 coastal businesses, to get that audience that is not just the
36 fishers. That's why we have had all the meeting with liaisons,
37 DAPs and other people. One of the things that is being recommended
38 is the use of radio and TV to announce the activities of the
39 Council. Remember that we have three different targets. We are
40 Puerto Rico, that has one way of doing things. Saint Thomas/Saint
41 Johns another way and Saint Croix another way. So, we keep working
42 in getting the information to have the best and the widest
43 distribution of information from the Council.

44
45 Next.

46
47 The objective 21 is to promote the participation of a variety of
48 stakeholders. And it says, to develop a newsletter or somebody to

1 highlight the Council. That, we are already started having the
2 CFMC meeting highlights and we make a summary, a very, very concise
3 summary of everything that is discussed in the meeting and then
4 put it in the website and also make the recommendation that for
5 more information, they can go to different other areas in the
6 website, to the verbatim, to the presentations that are kept as
7 record in the website.

8
9 And we're also working in terms of the free stuff for the entire
10 region, Puerto Rico, U.S.V.I. with the marine protected areas. In
11 the last meeting that we had in February, for the Council, we made
12 a presentation, specially making emphasis that the stakeholders
13 are not only the fishers, but it's practically all the community.
14 Fishing and seafood are important for all our people from the
15 mountain to the sea, and that's something we are working on.

16
17 Right now, we're working on the booklet, the illustrated booklet
18 on MPAs. The importance of those MPAs and also where are those
19 MPAs, not just the ones that Council has jurisdiction but also the
20 territorial ones.

21
22 Next one, please.

23
24 Objective 22 is to improve public and a stakeholder understanding.
25 The strategy that the plan recommends, is to support the MREP, the
26 Marine Education Program, and to develop a specific approach for
27 each one of the islands. That's something that we are doing, that
28 we have been doing all the time. We are part of the MREP steering
29 committee. So, we participate in the development of the curriculum
30 that is going to be used for the workshops and the people who are
31 going to work. So, we are constantly supporting MREP.

32
33 Also, at this time, we are going into a project with the department
34 of education of Puerto Rico, where a curriculum for marine
35 sciences, but not just marine biology, marine sciences, is going
36 to be part of the general curriculum for intermediate schools. We
37 will have a pilot project with Para la Naturaleza, with the new
38 school group in the department of education that works with the
39 Montessori schools. This school is in La Parguera. So, we are
40 having meetings. We are selecting materials. We will have workshops
41 with the teachers, so that the students from ninth to twelfth
42 grade, not only see the ocean as the current and the organism that
43 live there, but also as part of the social and cultural part of
44 their history, especially Parguera.

45
46 So, we will be giving more detailed information on this in the
47 next meeting because we are having meetings every two weeks to
48 select materials and to see the way they are going to be presented.

1
2 Next, please.

3
4 I have presented before in the other meetings the placemats and
5 the posters that we have produced for the species, underutilize
6 species or other species that are not the ones that are always
7 asked in Puerto Rico, Saint Thomas/Saint John, and now we are
8 working with the Saint Croix placemats. This one that you see here
9 is the one that we produce with Ruth for Saint Thomas/Saint John,
10 and they have been distributed in the restaurants there.

11
12 Also, the Council is collaborating with Sea Grant to put signs in
13 front of those marine protected areas that we are talking so much
14 about them but when you get there, there's no sign, there's no
15 information. We don't know what is there. So, they're going to be
16 working now with the signs for La Parguera, the Natural Reserve
17 for La Parguera, and the Tres Palmas marine reserve.

18
19 And the liaisons from each one of the islands have been going to
20 each one of the islands to see where are those reserves and then
21 take photos so that we can see what is in that sign, what other
22 information should be there.

23
24 Next.

25
26 These are material that you have for the thing. This is the one
27 that we prepared for Saint Thomas/Saint John with the collaboration
28 of Ruth Gomez, Julian, and the liaison. And those are already
29 produced. They have them there. And the placemats were distributed
30 also.

31
32 Next.

33
34 We have all been working with the Puerto Rico touristic company
35 with their seminar that we are giving once, whenever the tourism
36 company asks us about the sustainable, the responsible
37 consumption of fish and seafood. This is directed to the tourist
38 guides and where they bring their clients and what information
39 should be around so that they understand the information that we
40 have in those posters.

41
42 Next.

43
44 That's part of the distribution that we are doing with the
45 placemats. And this one, Marcos distributed them in Fajardo.

46
47 Next one.

48

1 The other ongoing outreach and education projects that we're
2 working with is the recipient book which will finish by the end of
3 this fall, by the August meeting. And then complete the illustrated
4 booklet on the MPAs and begin with the climate change and U.S.
5 Caribbean fisheries. That has been already discussed, and we're
6 working on the art and the text. And we should have fact sheet
7 stickers and info graphics for each one of the Island-Based Fisher
8 Management Plans because even though they are not out, they have
9 been approved and by the time they get out, it will be good to
10 have the same information, but in a way that all the stakeholders
11 can understand it. The best way is to have the most important
12 aspects and put them in simple and easy to read, easy to understand
13 language.

14
15 And then the integration of the concepts of marine fisheries in
16 the U.S. Caribbean to the regular education curriculum. I am
17 interested that the students from intermediate school, especially,
18 that Parguera pilot project that they learn to swim. That they
19 learn to live in the water. Many of them are children of families
20 that are fishers, but they don't get too close to the water. And
21 that they see that natural area that they have around them as part
22 of their cultural, of the social, and life that they have.

23
24 Next.

25
26 This is what we have been doing. If you have any questions or if
27 you have recommendations, I have taken notes today of every
28 presentation that says, fisher participation, fisher contribution
29 because that's part of the things we want to do. Any question?

30
31 **Questions/Comments**

32
33 **MARCOS HANKE:** Thank you for an excellent presentation, Alida. I
34 just want to mention that I spoke to Stacey Williams about the
35 die-off of the diadema, and she will get in touch with you and
36 with Cristina and Miguel to help her out to spread the word and to
37 see how they can coordinate efforts to attend this problem.

38
39 I believe she will post some of this information on the chat for
40 people to contact her, whoever is interested to collaborate with
41 her effort to address the diadema. Anybody else have a question or
42 comment?

43
44 **ALIDA ORTIZ SOTOMAYOR:** That'd be great.

45
46 **MIGUEL A. ROLÓN:** From the chat, Michelle says that many fishers
47 listened to VHF Radio on specific channel, and she suggests
48 considering this method for very specific needs by the OEAP. In

1 addition, Alida-- Yes?

2
3 **ALIDA ORTIZ SOTOMAYOR:** Yes. We will do that. I'm going to take
4 that information out and I'll bring it to the Outreach and
5 Educational Advisory Panel.

6
7 Actually, I forgot that in July, we have a meeting of the Outreach
8 and Education Advisory Panel to take a look at the Fishery
9 Ecosystem Plan and the way we can do outreach for the information
10 that they will need to give the people. And this is part of this.

11
12 **MIGUEL A. ROLÓN:** Okay. The other thing is that from the
13 presentation of the Dalila Ortiz this morning, we would like to
14 connect both of you so you can work together to see how we can
15 assist in disseminating the information that she proposed this
16 morning. So that will be a project that can be undertaken under
17 the OEAP activities.

18
19 **ALIDA ORTIZ SOTOMAYOR:** Yes. That's very important. We can.

20
21 **MARCOS HANKE:** Thank you, Alida. I don't see any questions.
22 Cristina, your presentation, please?

23
24 **Social Media Report—Cristina Olán**

25
26 **CRISTINA OLÁN MARTÍNEZ:** Buenas tardes. Good afternoon. My name is
27 Cristina Olán, and I manage the social media platforms for the
28 Caribbean Fishery Management Council.

29
30 I will be quick. I just want to share with you some updates with
31 our social media. Those are the numbers of followers in each
32 platform, Facebook, Instagram, Twitter, YouTube.

33
34 The content that we usually share is related to seasonal closures,
35 meetings, workshops, educational materials, videos and content
36 produced by other organizations and agencies, local and federal
37 and of course the CFMC monthly bulletin. And now that we can go
38 outside again, I can start again making videos such as the one
39 that I recorded with Nelson Crespo. So, I would like, here, to
40 invite other members of the different panels to do the same thing
41 and I will be more than happy to collaborate and to record those
42 videos. Or in the case of the people in the V.I.s, they can send
43 me material and I will share that material in our social media
44 platforms.

45
46 Inbox and direct messages in Instagram and Facebook. Those are
47 wonderful. The amount of people that are contacting us is
48 increasing a lot and they are very interested, recreational and

1 commercial fishers, on different topics, but the main ones are
2 fish identification, documents, regulations, workshops, and
3 fishing license.

4
5 This is this is an example of monthly bulletin. In that bulletin
6 from February, we highlighted Joshua Quetell.

7
8 We continue sharing Repaso de PEPCO. That is the material that
9 Wilson presents in the commercial fisher's education program that
10 we use the same material and we put that material on the social
11 media platforms.

12
13 Also, I want to highlight again Ita and Ta. WAPA-TV went to their
14 house, and they recorded an interview and also, they cooked for
15 the program and for the presenter Lionfish. Because they appear on
16 TV, our numbers in the YouTube channel increase a lot again. Those
17 videos have been very inspiring for many people, including kids.
18 For example, I was in a workshop a month ago and I met this family.
19 This kid that was very impressed with Ita, and he loves to watch
20 the videos because he sees another kid cooking there.

21
22 **MIGUEL A. ROLÓN:** Cristina.

23
24 **CRISTINA OLÁN MARTÍNEZ:** Mh-mm.

25
26 **MIGUEL A. ROLÓN:** What is WAPA-TV?

27
28 **CRISTINA OLÁN MARTÍNEZ:** WAPA-TV is a local TV station in Puerto
29 Rico and it's one of the main local TV stations.

30
31 I also want to highlight J.J. fishing adventures because, again,
32 I have been very impressed on how kids can feel compelled with the
33 material that we share and their families too. J.J. and I know
34 that some of you know him. He is from Saint Cro and his mom has
35 been always encouraging him to fish and to publish material in his
36 social media. His mom manages his page and J.J.'s favorite video
37 is the one of a fisher of Saint Croix. And every time that he and
38 his mom shared a video, people watch the video over and over again.
39 He's lovely.

40
41 Also, I want to talk about Ita and J.J. because, again, it's the
42 way that we reach also children and what children can do and how
43 they feel when they see the content and they are the present and
44 the future of fishing too.

45
46 We recently opened an ISSUU account. Now we will have a document
47 available for the public, the documents are also in the web page.
48 But now we have that this platform and people can download the

1 documents too and also, we can share the documents easily in our
2 social media platform such as Facebook and Twitter, for example.

3

4 **MIGUEL A. ROLÓN:** Cristina, what is ISSUU?

5

6 **CRISTINA OLÁN MARTÍNEZ:** ISSUU is a platform that allows
7 organizations or individuals to upload documents and also videos
8 too. You can also allow the people that followed you to download
9 the material from there. One of the advantages of ISSUU is that
10 you can, when you share the material in social media, people can
11 also read that material from their social media platform. Also,
12 you can organize the material by topics, and it improved the way
13 that you can reach that material in the web.

14

15 WhatsApp. Wilson and I for more than a year, we have been preparing
16 material, messages and also posts, that we share through WhatsApp,
17 through a broadcast list. I want to thank Wilson for his effort
18 that almost weekly we have been sending information to the fishers
19 through WhatsApp. All the fisheres have been very impressed, and
20 they like what we send. Also, they comment to Wilson, and they
21 have been very thankful for that effort too.

22

23 And thanks to all our collaborators and if you have questions I'm
24 here. If not, now you can make some questions again or comments.
25 And again, feel free to share with me your ideas to continue
26 producing material for the social media.

27

28

Questions/Comments

29

30 **MIGUEL A. ROLÓN:** Not a question, but a suggestion by Vanessa
31 Ramirez for both, Alida and you. She suggests that we should
32 produce more information material, outreach and education material
33 for fishers regarding lobster, conch, and snapper. We have already
34 posters and all that, but that's something that she suggested for
35 Alida and you to take into consider.

36

37 **CRISTINA OLÁN MARTÍNEZ:** Thank you, Vanessa.

38

39 **ALIDA ORTIZ SOTOMAYOR:** Ya. Ya yo le contesté a Vanessa también.

40

41 **MARCOS HANKE:** On the same lines, maybe exploring the presenters
42 that we had today that are doing a study on deep-water snappers to
43 connect the scientists with the fishing community to whatever
44 preliminary that can be public already, that they feel like it, to
45 support you and to share material for those purposes.

46

47 **CRISTINA OLÁN MARTÍNEZ:** I totally agree. I have been very
48 attentive of what researchers have been sharing during this

1 meeting. And there is a lot of material that we can use and
2 translate for the people, so that they can reach that material in
3 a language that they can understand. And, of course, thank you.
4 Thank you very much.

5
6 **MARCOS HANKE:** Thank you very much, Cristina. We are going to go
7 for Liaison Officer Report. Cristina, can you help me out with the
8 people online, the ones that are going to present? Who is online?

9
10 **CRISTINA OLÁN MARTÍNEZ:** Yes. Nicole Greaux is online.

11
12 **ALIDA ORTIZ SOTOMAYOR:** Nicole. I see Nicole is online, and Wilson.

13
14 **CRISTINA OLÁN MARTÍNEZ:** She is. Wilson is also in the room. He
15 has a presentation and Nicole is going to talk.

16
17 **ALIDA ORTIZ SOTOMAYOR:** Mavel, I don't see her at all.

18
19 **CRISTINA OLÁN MARTÍNEZ:** No.

20
21 **MARCOS HANKE:** Okay. Nicole, go ahead. Thank you for your
22 presentation or participation.

23
24 **Liaison Officers Reports**
25 **St. Thomas/St. John-Nicole Greaux**

26
27 **NICOLE GREAUX:** Hello. Good afternoon, everyone. I am Nicole
28 Greaux, the Saint Thomas/Saint John liaison for the Division of
29 Fish and Wildlife and CFMC. I would like to start off by saying
30 that my counterpart, Marvel Maldonado, is taking care of some very
31 serious personal issues right now. I do want all of us to just
32 think good thoughts for her. She is just having a little bit of an
33 issue that disabled her from being on this call. I do not have a
34 presentation, but I am going to give a brief report on activities
35 that have taken place since January, which is when my last
36 presentation was.

37
38 Currently here on Saint Thomas, I have been asked to do education
39 outreach for the Division of Fish and Wildlife with the material
40 that they have available, in regard to the fisheries and also the
41 different species of fish that we have here, and one Eco-School
42 has asked for a fish identification course, which I'm really happy
43 about.

44
45 Also, I was asked by the upward bound and by the cultural division
46 of the University of the Virgin Islands to try to get [inaudible]
47 involved with things like cultural aspect of our fisheries, whether
48 it is building fish nets or repairing fish nets, building traps,

1 and also the skinning of our most popular fish here, which is the
2 triggerfish or the old wife. I've produced a video on that that
3 will be released shortly given to the Council first and then given
4 to the Division of Fish and Wildlife to use in our education and
5 outreach there.

6
7 With the Other programs that are happening around the island.
8 Unfortunately, COVID kept us pretty much secluded, now with our
9 ban lifted, I'm very excited to join in with DPNR and DFW to do
10 more outreach and have more gatherings and hopefully have a chance
11 to do education not only to our schools, but also to the local
12 fishers. It has been announced and requested that we are going to
13 get together, the liaisons as well as the department heads, with
14 our main fishing association, which is the Saint Thomas Fishers
15 Association to talk about and discuss better ways to getting
16 information both educational and informative to the local
17 fishermen that we have both here on Saint Thomas and Saint John.

18
19 That's it for my report. Thank you all very much.

20

21 **MARCOS HANKE:** Thank you for your report. Wilson.

22

23 **Puerto Rico—Wilson Santiago**

24

25 **WILSON SANTIAGO:** Yes. Good afternoon, everyone. My name is Wilson
26 Santiago. I am the Puerto Rico Fisheries Liaison.

27

28 The next one.

29

30 So, for my report. On this couple of months, we have been
31 continuing the educational program for commercial fishers, we
32 named it PEPCO. This year, we started with the face-to-face program
33 again. So, the first one was last month in Puerto Real, Cabo Rojo.
34 My other participation as a liaison is supporting Cristina Olán
35 with the CFMC social medias for Repaso de PEPCO. She talked about
36 that in her presentation.

37

38 We are participating in the MREP committee meetings for the next
39 workshop in August. We are sending, like Cristina said in her
40 presentation, we're sending educational post via WhatsApp. I want
41 to make a parenthesis in this one and thank Cristina Olán too. She
42 is wonderful making those educational posts. Like she said, the
43 fishers have been very grateful and because of that, I am seeing
44 a lot of what we are talking about, that that the fishers are
45 helping more in scientific studies and everything. I think that
46 the WhatsApp broadcasting educational post are a good target for
47 those fishers because they are they are starting to cooperate more
48 in the scientific. Okay? So, the fishers as well are joining the

1 all the meetings, the CFMC meetings, and all the workshops. So,
2 the WhatsApp broadcasting list, has been a very huge advance in
3 the outreach for the fishers.

4
5 Another participation. As liaison, we have been supporting the
6 fishers with issues and information in the local and federal
7 agencies. We have given educational material for the fisher and
8 fishing communities. We are now, since the last year, given the
9 recreational fishers educational program, that is a virtual one.
10 We haven't started the face-to-face one because of the COVID, but
11 we are giving it virtual.

12
13 Next one, please.

14
15 So, here's a photo of the PEPCO we made last month. The program
16 completely-- for those of you who don't know a lot of the program.
17 We talk about a lot of educational and informative topics. It is
18 a three-hour workshop. In this workshop, I invite Jannette Ramos
19 from the Sea Grant program. She gave us a very good topic about
20 the lionfish and another fisheries topic. And in all the workshops
21 we invite someone different, with different topics. Okay. In this
22 PEPCO, we have 17 fishers who participated. For all the
23 participants, we gave them a certificate of completion.

24
25 The next workshop is going to be next week in April 27, it is going
26 to be in Aguada with the partner Joel González.

27
28 Next one, please.

29
30 Okay. For the educational program, for recreational saltwater
31 fishers, on March 31st, we gave the first virtual workshop of 2022.
32 The topics were laws, regulation, marine species, and area
33 management in state and federal waters. All these was for the
34 recreational fishers. I want to do a special thanks to Helena
35 Antoun and Cristina Olán, they always support me in this workshop
36 and in other ones.

37
38 Next one, please.

39
40 Okay. So, as a liaison too, I've been collaborating with Alida
41 Ortiz and the CFMC, the OEAP. I have been working with the MPAs.
42 The last two Saturdays I went-- Cristina, the next one, please.
43 This is a map that you can find in the USDA website and their book
44 about the natural reserve in Puerto Rico. So, the last two
45 Saturdays I have been around the island taking pictures of the
46 bulletin boards that are in the natural reserve and the MPAs in
47 jurisdictional waters and land. Okay? So, we have 22 protected
48 areas that have a bulletin board, with information about the about

1 the MPA's or the natural reserve.
2
3 Next one, Cristina.
4
5 I'm not going to mention all this. But in this one there is a total
6 of 22 of them. The ones that I didn't find any bulletin boards--
7 there are 17 of them that I didn't find, in any of the areas, the
8 informative board. Okay? So, that is for the record. I am
9 collaborating with Alida with the handbook of the natural reserve
10 and MPAs in jurisdictional waters.
11
12 Next one.
13
14 Okay? So over here now, I gave them in the December meeting. This
15 are the 17 MPAs in Puerto Rico that have management plans.
16
17 Continue and the next one too.
18
19 Okay? So, these are some photos that I took this one from the web.
20 Participation of the community and the DNER in some of the MPAs
21 jurisdictional of the MPAs.
22
23
24 Next one.
25
26 Okay? Some of the of the bulletin boards that I found in the
27 different areas. Next one. This is more of them. Some of them, I
28 found in the web, like, Caja de Muerto, in Culebra I didn't have
29 the chance to travel in those areas because I have to take a boat.
30 So, I got them from the web.
31
32 Next one.
33
34 Okay. For the Puerto Rico fishers issues. We continue with the
35 issues of the commercial fishing license, with the DNR. This has
36 been resolved little by little. The office of the licensing and
37 the DNER are working in all matters to fixing this problem. There
38 are new fishers that have misinformation about the closure,
39 statistic reports, license and permit. That is one of the focuses
40 of the PEPCO program, educational program. We are planning, every
41 month we are giving one in different area of Puerto Rico. I have
42 been coordinating this next week in Aguada, the other month is
43 going to be in the East Coast, North and South.
44
45 Okay? Fisher's issues, like always, low enforcement to watch the
46 closures and illegal commercial fishing in state and federal
47 waters. That is an issue that every time-- it is a big issue for
48 the fishers, you know? The fishers need support with different

1 funding opportunity too. For that, Jeannette Ramos and other
2 agencies are working with them, directly with them, and helping
3 them with finding the funding opportunities.

4
5 Okay? Next one, Cristina.

6
7 Okay. For my next step, continue with the PEPCO face-to-face
8 workshop. Continue with the recreational program workshop. We will
9 continue supporting the CFMC social medias and the OEAP. We will
10 continue supporting the fishers with their issues, visiting
11 fishing villages, fishing communities, and giving them educational
12 materials, and everything they need.

13
14 Okay? So that is my report. If you have any question, that is my
15 contact information, my phone number, email? Any question?

16 17 **Questions/Comments**

18
19 **MARCOS HANKE:** Thank you, Wilson. Go ahead, María.

20
21 **MARÍA LÓPEZ-MERCER:** Thank you. Maria López, NOAA Fisheries. It is
22 not a question. It's just that I want to say, thank you, Wilson,
23 for always being available for any time that we have questions
24 about regulations or gear types or anything that you're always
25 available and doing a great job as a liaison. Thanks.

26
27 **WILSON SANTIAGO:** Yeah. Sure. Thank you. I want to say something
28 else for Doctor Dalila. If you need any help finding fish for you
29 for your research or anyone finding fish, or contacting fishers,
30 you can contact me. I have a lot of contacts with commercial and
31 recreational features, okay? I can do this portion.

32
33 **MARCOS HANKE:** Nelson?

34
35 **NELSON CRESPO:** Thank you, Wilson. Excellent presentation. Wilson,
36 it is evident the lack of knowledge that the enforcement agencies
37 have, are you planning to establish a permanent education program
38 for the enforcement agencies?

39
40 **WILSON SANTIAGO:** Well, yes. A couple of years back, before the
41 pandemic started, we were making a workshop with the port sampler
42 Jesús León from the East Coast. He has given some of those
43 workshops for the FURA agents and the vigilantes of the DNER. So,
44 yes. Right now, I'm not having any talks about giving those
45 workshops, but yes, we can make them work again. Thank you, Nelson.

46
47 **MARCOS HANKE:** Following up, Wilson, on a historic happening. I
48 just was able to continue 12 years of effort with the US coast

1 guard assisting them on fish ID and support the effort that U.S.
2 Coast guard does here. Originally, DNR participated on that. For
3 the next year, let's pay attention on the date and to see if we
4 can include the vigilantes on those activities and maybe we can
5 also include the NOAA OLE on it because we have that experience on
6 the back. I think the whole team being there is also an opportunity
7 for the enforcement agents to coordinate and to create those
8 bridges that are so necessary. Go ahead Nelson.

9
10 **NELSON CRESPO:** Marcos, if you need cooperation with fish samples
11 or whatever you think I can help you with, you can count on me.

12
13 **MARCOS HANKE:** Thank you very much. Thank you, Wilson. Thank you
14 all. We're going to take a break of five minutes, a quick break.
15 There are some snacks on the back of the room for the people
16 present, and we come back to try to catch up on the agenda. Thank
17 you for the cooperation.

18
19 (Whereupon, a brief recess was taken.)

20
21 **MARCOS HANKE:** The break is over. We are ready to get to the final
22 stretch of the meeting. Everybody's tired, ready to finish the
23 meeting and we have just a few items on the agenda. Please take
24 your seats. And eliminate the background noise on the back, please.
25 The next presentation is me. [laughter]

26
27 Now I have to do it quick. Waiting for the presentation to be up
28 there.

29
30 **Fisher-Scientist Concepts—Marcos Hanke**

31
32 **MARCOS HANKE:** Good afternoon, everyone. Before I start, I want to
33 say that the first word on that presentation is very much used on
34 the conversations between many stakeholders, especially between
35 fishermen and scientists. Take note of that. And also, the format
36 of my presentation, everything that is on red is extremely
37 important for you to focus your eyes on it because there is a
38 follow-up implication to it.

39
40 My name is Marcos Hanke. I am a B.A. marine biologist from UPR
41 Humacao, Charter operator for about 30 years on the East Coast of
42 Puerto Rico. And I have, as add on to my charter operation,
43 something called 787Fishing Research Projects, which is private
44 initiative.

45
46 Next slide.

47
48 Special thanks to all the people that are listed in there. Note

1 that the first list are the people that directly helped me to shape
2 this message up and with some technical support. Also, the
3 recognition of the industry expert, highlight "experts," Nelson
4 Crespo, Roberto Silva and Tommy Forte. I consulted with them if
5 they saw the event that I'm going to report to you guys today. And
6 they confirmed that it was not being described. They never saw
7 based on their experience.

8
9 And also, the same for the experts on the academia and scientists
10 that are listed below, my professor in UPR Humacao, malacologist,
11 Cedar García, Evan Tuohy, Graciela Garcia-Moliner, Juan Cruz
12 Motta, Martha Prada, Megan Davis, Michelle Schärer, Jim Franks,
13 Jesus Rivera-Hernández.

14
15 I want to read also to be sharp on my presentation Edgardo Ortiz,
16 Virginia Shervette, Richard Appeldoorn, Diana Beltran, Aida
17 Rosario. Thank you to all of them. And that mental picture that
18 you have there, is the way the Caribbean functions. We need those
19 stakeholders and those participants to work together.

20
21 Next slide.

22
23 Just for context, Charter observation background. Once we are in
24 the water as a charter-- please, once I mentioned my charter, I
25 put my hat there as a commercial fisherman or recreational
26 fisherman because the same will apply, because there is time in
27 the water that is very valuable in terms of observation.

28
29 On this case, I'm going to speak for myself. I'm a charter
30 operator. Home port in Fajardo; Fishing area on the East Coast of
31 Puerto Rico. Pioneer on light tackle, and tarpon fishing for over
32 30 years. Collaborator on multiple research data collections. But
33 due to the recent interest in documenting lane snapper age, growth
34 and reproductive biology across the U.S. Caribbean, rack carcasses
35 are saved, are fillet and donated to Doctor Shervette's team and
36 to the fishery lab of DNR. I thank both of them for allowing me to
37 collaborate with them.

38
39 Usually, fish carcasses are fed to the tarpon at the cleaning
40 station, but since we started donating the snapper carcass to the
41 research, we developed filtering techniques and other procedures
42 to match the need or to increase the use of those incidental or
43 samples that I can produce from my day-by-day in the water, the
44 same can happen with the commercial fishermen.

45
46 And you're going to see that in my presentation has a lot of things
47 written. I will try to run over them. The reason I made the
48 presentation like this is because I want for anybody that wants to

1 go back to it and read it to really fully understand what I'm
2 talking about, after my presentation.

3
4 As consequence, of more careful treatment of the lane snapper and
5 paying attention on August 28, 2021, I first observed a small conch
6 in the stomach of the lane snapper. Immediately, I called Graciela
7 and I said "Listen. I just saw this. This is really weird. I've
8 never seen this before." But I started paying, really paying close
9 attention to it.

10
11 Lane sapper are very abundant and a preferred target species for
12 consumption for my clients as part of the sustainable fishing
13 campaign of the Council. Lane snapper availability has been stable,
14 and the abundance has increased over time. In Puerto Rico, on the
15 East Coast, there is no direct lane snapper fishing nowadays. The
16 landings are mostly--

17
18 if you can eliminate the bar in below. No? It's okay. I know what
19 it says. No. Don't worry.

20
21 It is not a target fishery like we had on the past, nowadays it is
22 basically done by traps and nets and incidental catch, not a direct
23 target fishery.

24
25 Next slide.

26
27 In order to protect the information that I'm going to present and
28 protect the resource and the value of what I observed, I will
29 share, just for you to know where my home port is and have a
30 general idea. I will not present the specific area of the
31 observations.

32
33 Next slide.

34
35 Well, science does talk to the fishermen. And this is something
36 that we need to promote. One of the most important references is
37 Randall, in terms of basic biology on fishery and different other
38 aspects, stomach analysis and so on. Randall didn't, on that list
39 of-- Let me read it. One of the most definitive, broadscale studies
40 of Caribbean fish feeding, only mentions queen conch strombus gigas
41 documented in stomachs of the following snapper species: mutton
42 gray, dog, yellowtail. Note, no lane snapper there. Note too, that
43 estimated conch size where 70 to 80 millimeters. Pay attention to
44 the red.

45
46 Strombus Gigas are also found in the stomach of grunt species like
47 white grunt, striped grunt. Overall, conch was not common in the
48 stomach of fish samples examined and only tissue was noted. This

1 is observations and information by Randall. This is extremely
2 important. On the end of this slide, there was no shell found on
3 the guts of the fish when Randall made his observations.

4

5 Go to the next slide, please.

6

7 Note the very important thing, no lane snapper there, on the list.
8 And Randall made a hypothesis that whatever he saw inside of the
9 Lane snapper that was parts of the conch was an opportunistic
10 feeding. And no shells found on the guts. Highlight that again.

11

12 Go ahead.

13

14 Talking a little bit about lane snapper even though about everybody
15 here in the room knows, but there is public outside of the room
16 that should know just to put it in the right context. On my charter,
17 lane snapper is one of the most common snapper species along the
18 East Coast of Puerto Rico. It is very abundant in inshore waters
19 and all year-round. Occur on a diversity of depth and habitats.

20

21 This is one of the lane snappers that was donated to the stock
22 assessment that is coming up. It was a 38.8-centimeter total
23 length, right? Lane snapper. And there you have also a citation
24 below about lane snapper and the movements and how important it is
25 in terms of the fishery.

26

27 Next.

28

29 Charter observation. 15-years of observations from fishing efforts
30 on lane snapper presence and abundance in Area-1 and Area-3 --
31 Highlight every time I mention an area, be mindful that there are
32 two different areas. --on the East Coast of Puerto Rico. Area-1,
33 lane snapper presence/abundance appears to be related to tidal
34 period, color of the water, wind speed, and wind direction. On
35 Area-3, lane snapper presence or abundance is consistent and
36 continuous year-round, does not seem to correlate with any of the
37 things I listed before. Time of the day, moon phase, tide stage,
38 or season. Definitely for me as a fisherman, there was a big
39 difference between one area and the other.

40

41 There is information below about the size of maturity of lane
42 snapper. Males, 147 millimeters. Females, 185 millimeters. Another
43 reference. In inches three to nine inches or 10 to 23 centimeters
44 when they mature. Just to give a reference to the public.

45

46 Keep going.

47

48 Voila. First observation, August 28. First conch, small conc inside

1 of the stomach of a lane snapper, probably was eaten during the
2 day because I caught this fish like mid-morning. There are no signs
3 of predigesting is had a very vivid color.

4
5 Next slide.

6
7 Second observation is still on Area-1. Note that what I observed
8 was piece of an operculum attached to some tissue and the external
9 part when the conch is walking or displacing itself, is the part
10 that I am collecting. Right? I observed it on those fish. And
11 something extremely important in all this data it was totally
12 opportunistic. I'm not looking for this. Those are regurgitated at
13 the boat. okay? This was just part of my day-by-day with my
14 clients.

15
16 Next slide.

17
18 Now on area three, the other area. From January 16 to February 25,
19 2022, five of eight fishing trips included lane snapper with
20 remains of conch present in the stomach or regurgitated at the
21 boat. It's not a stomach analysis study. It's just that by
22 accident, I was able to observe pieces of conch. Images of the
23 operculum from the conch species regurgitated on the boat were
24 found on the stomach too. Once we were cleaning and processing the
25 fish, there are some images there.

26
27 I want to highlight that the images with the different operculum
28 on the part below was one day of 57 lane snappers being caught.
29 Some of them were kept on the cooler and they regurgitated those
30 when I went to clean them because it is just lane snappers that I
31 keep for my clients to eat. They regurgitated on the icebox, right?
32 I was able to count six opercula at that time.

33
34 Next.

35
36 Area-3. Lane snapper with conch part in the stomach are
37 regurgitated on the boat. Those fish are observed with light
38 barotrauma aided in expelling stomach content via regurgitation.
39 There is a light expansion of the abdomen, and the fish are
40 regurgitating on the water column coming up, but some of the
41 content stay inside of the fish. I have more images. That's very
42 important because the numbers that I'm seeing there, most likely
43 could be higher if the fish didn't expel part of the stomach
44 content on the way up.

45
46 Next.

47
48 I was really intrigued because all I received was, "Oh, this

1 information is not recorded. It's great anecdotal information. And
2 let's see, on the best scenario, what you can do in the future."
3 But I couldn't stay with that because I knew there was something
4 different on those observations. I need to find out what it was.

5
6 I talked to one of my captains that is a diving instructor. We
7 went to the area, proceeded with a transect, with the GPS location
8 from point A to B. The diver went through a straight line. No slack
9 on the buoy. Conch count was made at one meter in each side of the
10 transect. On the first transect, we tried to make video
11 observation. It was a test. It didn't work out.

12
13 The diver, which was Captain Juan, listed at the beginning of my
14 presentation, used, at that time, two square meters of the end of
15 that transect to count the amount of conch on that little area to
16 see how many of them were alive and how many of them were dead or
17 empty. Right? And the characteristics or the situation in terms of
18 the shells, if it was crushed or any other observation. What he
19 found, was total of 13 conchs in two square meters. 11 of them
20 alive and two empties.

21
22 Next slide.

23
24 Remarkable density observation. Three diving transects. The first
25 one I just described to you; the other ones were just a straight
26 line to count the amount of shells that were there. We didn't
27 address how many were alive or how many were dead. But we have at
28 least a preliminary little data of that ratio, right? Just to give
29 you a little sense of what is going on. At least we know that not
30 all of them were dead or not all of them were alive and there is
31 more research needed.

32
33 Anyway, in three transects there were 208 small conchs in 172.8
34 square meters. That was the sample, which would make 1.2 conch per
35 square meter. When I'm talking conch, I'm talking about any of the
36 three species, okay? I don't pretend to say one species at this
37 point because there are more studies needed. Again, the 13 conchs,
38 11 alive, two empties.

39
40 If-- and this is the part that comes from the naiveness of a
41 fisherman, right? If the density is evenly distributed, on the
42 whole area with a similar habitat and depth, which the area is
43 there, the extrapolation would be 343,029 conchs, present at this
44 place on Area-3. This is remarkable. But there is a study-- thank
45 you to Richard --a study in La Parguera in which it was documented
46 that just 11 percent of the area is where those conchs or species
47 of conchs gather and there is a higher concentration. The size of
48 the conchs that they documented matched the size of the conchs

1 that we documented. The density that they documented was 0.14
2 conchs per square meter. Note, that my number was 1.2 conch per
3 square meter, much higher.

4
5 Next.

6
7 On the continuation of the remarkable density. On Area-3, lane
8 snapper charter fishing ground, the area that I go fishing, where
9 the three transects were made, was an area that is just 2.5 percent
10 of the total area, which is 10,360 squared meters. This area
11 probably could contain, if you used the same density of 1.2, 12,432
12 small conchs if density are extrapolated from transect findings.
13 If we assume that 1.2 per square meter in 11 percent, like in the
14 Lucarillo Bay reference, we are talking roughly around 45,000
15 little conchs.

16
17 I don't pretend these to be final numbers. Please, scientists don't
18 itch yourself. I just want to show you that we also have, as an
19 industry, the interest to find numbers and to develop research and
20 create preliminary data to understand what is going on in our
21 environment. More research is needed.

22
23 Next.

24
25 Relevant observations. Lane snapper with evidence of conch species
26 consumption. This is the range of the size of all of them was
27 adult. Small conch species from all transects, 1.2 per square
28 meter. Conch parts from lane snapper mainly consistent of soft
29 tissue close to the operculum. This part of the conch extends out
30 of the shell and is potentially vulnerable to nipping. This is
31 part of my hypothesis, and there are a few things that I would
32 love to share with some scientists to find out what's really going
33 on here.

34
35 Double and triple conch clusters was observed during the transects,
36 it was not individuals randomly distributed. You could see pairs
37 and triples together during the transect. No conch shells or
38 fragments were observed inside of the lane snapper stomachs, if
39 that was the case, that will support the idea that a nurse shark
40 or a bigger fish crashed the shell and they ingested and some of
41 those good parts and that will have fragments of conch on it.

42
43 We didn't see that, which is consistent with random. No sig-- which
44 is what I say below. Most of the conch individuals observed on
45 Area-3 are strombus pugilis, identified to species using conch
46 shell diagnostics then released specimens alive. And thank you to
47 all the scientists that help me out to identify the most common
48 species by using the shells.

1
2 And I want to comment that the operculum of the small conchs about
3 the same size I saw, some of them have a soft surface on the edges
4 of the operculum, others have serrated edge, which is one of the
5 things that is used to distinguish between the species. More study
6 is needed to make sure that besides strombus pugilis, what else is
7 in there?

8
9 Next.

10
11 Area-1 versus Area-3. Area-1, in 62 fishing trips, I observed in
12 two trips conch pieces, regurgitated at the boat, 3.2 percent
13 probability to see conch on this area opportunistically
14 regurgitated at the boat. Area-3, eight fishing trips, five trips
15 I saw that event happening, 62 percent, which means that 19.3 times
16 more likely to see opportunistically conch being regurgitated at
17 the boat on Area-3 versus Area-1. That's a very strong number right
18 there, right? And probably can guide us on future efforts to really
19 put a method there to answer more questions.

20
21 Next.

22
23 Questions answer. This is the part that when I was thinking about
24 it, I saw how cool it was to do this effort and to dedicate time
25 money and effort to do this because I feel that I'm representing
26 the capacity of the fishing industry on producing important
27 information to support ecosystem-based management.

28
29 Lane snapper, lutjanus synagris, directly feeds on conch species
30 in the waters of the East Coast of Puerto Rico? Yes. That's new.
31 Documenting lane snapper predation on conch species providing
32 important information about ecosystem interaction? Yes. The main
33 species of conch observed so far in Area-3 is Strombus pugilis?
34 Again, thank you very much all the conch specialists that confirmed
35 the conch species by the shell. Thank you to those experts. This
36 is a bridge that cannot be related just because Marcos is a
37 Chairman or a guy that calls people. This is something that needs
38 to be available to all the people from the fishing industry when
39 they want to be supported by scientists.

40
41 Next.

42
43 Questions to be answered. How or in what matter does lane snapper
44 feed on conch species? Which conch species are consumed by lane
45 snapper? Which species of conch occur in Area-3? What factors drive
46 the relatively high density of conch in this area? Trophic relation
47 relevance? Are there temporal/seasonal shifts in density of conch
48 species in Area-3? What are the habitat characteristics of Area-

1 3? There are other questions, these are just the ones that I could
2 come up with.

3
4 Next.

5
6 Historical dilemma. This is an opportunity that this Council in
7 front of us, we have to find the new doors, the new ways of
8 addressing speed on data, engagement, education and capacity
9 building for this area.

10
11 A historical dilemma is when you treat an anecdotal information
12 versus scientific information and to make the bridges and the
13 connections in between them. The definition in Oxford language
14 says, not necessarily true or reliable, because it's based on a
15 personal account rather than facts and research. Please don't
16 forget that definition. At the end of the presentation, I'll have
17 a message related to that. That's what anecdotal is. That's
18 correct, right?

19
20 Too often we hear from the fishermen, can you help me to document,
21 record, corroborate my observation? I've seen this happen for 30
22 years. What happens is that it's not on the cycle of research,
23 it's not the priority at this moment and that opportunity gets
24 lost. In the Caribbean, we have a high demand for data. We need to
25 do a better job on this.

26
27 Fishmen need to be more participative. This is a call for the
28 fishermen, and this is a call for the scientists.

29
30 Next.

31
32 Ecosystem-Based Fishery Management. How can ecosystem-based
33 management work better? Must include the best scientific
34 information, tools, models, and data development. In order to do
35 that, new mechanisms to corroborate industry expert observations
36 utilizing rigorous scientific-based methods have to be developed.
37 I call these the doors. Where are the doors that we can knock and
38 be participative on the development of new information based on
39 science? We need to develop those doors.

40
41 Pursue new scientific input from all stakeholders for model
42 development and in the decision-making process. This means that
43 industry contributions should not only be limited to anecdotal
44 information. That ends happening that is not so important. It is
45 informative, but it's not so important because the industry doesn't
46 have the same capacity and opportunity to prove their points with
47 a scientific method or to pass through the process.

48

1 Next.

2
3 Hope is the way to do it. Find scientists that truly recognize
4 your knowledge and experience are valuable. Discuss with the
5 scientists how to move forward starting the data collection and
6 process. Make yourself available to collaborate in scientific
7 study. We heard that today on this room many, many times. Continue
8 requesting support and industry engagement. Participate in formal
9 scientific data collection, especially the ones you recognize the
10 importance and that you can dedicate your time.

11
12 New momentum. New momentum is currently related to establish NOAA
13 Caribbean Fishery Branch, current interest in support of fisheries
14 data collection improvement and engagement with the stakeholders.
15 That's an opportunity. I see that, and that's why I'm doing this
16 presentation, because I want to reinforce the need and to reinforce
17 that opportunity.

18
19 Make your expert observation count and be part of the scientific
20 process. This is the only way to ensure rigorous and meaningful
21 ecosystem-based management on the Caribbean. When I put that
22 priority of NOAA, Southeast Fisheries Management Center, if you
23 noted, in data collection there is a NOAA ship and a drone. There
24 is not much something elusive to fishermen collaboration or fish
25 dependent data collection. There's probably a new bubble that would
26 need to be put right there. I know they can follow through some of
27 those bubbles, but I see as a very important bubble to be there,
28 another circle that should be there. Graphically or in terms of
29 concept.

30
31 Next.

32
33 Recommendations. Create a task force and allocate resources at
34 local and national level to guide fisherman on how to collect,
35 document, record and store initial relevant information from
36 fishermen's perspectives. Support fishers in the design of forms
37 and other digital tools to collect initial data. That doesn't mean
38 that that data is going to end in a full-blown data collection,
39 but at least we have a startup that once the opportunity arrives,
40 we are in better position to start. There's no promise, right? We
41 don't have money for everybody. We don't have people for everybody.
42 But we have to start some way somehow.

43
44 To facilitate the engagement of fishermen with researchers, cut
45 costs, and speed up research tasks, propose establishing a list of
46 future potential fishermen scientific collaborators. Industry task
47 force. The list would potentially include information provided by
48 each fisherman on their boats, licenses, target species, areas of

1 expertise, and specialized skills and license, insurance,
2 etcetera, etcetera. My experience is that most of the researchers
3 spend six months to a year before they make the right content and
4 identify collaborators to do research in the Caribbean. That's
5 something that we can support the system by creating an industry
6 class force.

7
8 Must report the research results to industry collaborators. So
9 many times, we are taxis. We take people out there they do the
10 job. We don't receive feedback from the results, And that's the
11 story. The fishermen need to be considered on those results and
12 receive feedback of the results because that's capacity building.
13 You are making them understand what is going on.

14
15 Include fishers on future studies in all developmental steps of
16 fisheries-related scientific investigations. For example, include
17 fishing associations, use independent fishers, fishing villages
18 and others. Less anecdotal and more meaningful information is the
19 important thing.

20
21 Now remember when we talk about the definition of anecdotal. I'm
22 going to read this very careful because it took up many hours for
23 me to try to put this in the right measure. For me, anecdotal
24 information observations just waiting to be verified and proven
25 true or reliable. These are based on many years of personal
26 observations or professional observations and generations of
27 knowledge rather than facts or research that also change and evolve
28 over time. Just like the anecdotal, right? The anecdotal can change
29 because it's not solid, but science also can change because that's
30 the evolution of life.

31
32 Both complement each other and are essential to building the best
33 information available for ecosystem-based fisheries management.
34 What I'm trying to say is that there is no friction here. It's
35 just a need for coordination between the sectors and between the
36 concepts.

37
38 Next, this is the citations. Next.

39
40 Very briefly, I didn't know if I needed to put that out there.
41 Most of the people that revised this told me to do it just because
42 I wish more charters and commercial fishermen can follow those
43 steps and do a private initiative like this. 787Fishing Research
44 Project is a private initiative from my charter. Our mission is to
45 opportunistically collect preliminary data from day-by-day in the
46 water. Making observations available to researchers, graduate
47 students, agencies for the future research projects to speed up
48 the process due to our high data need, information need that can

1 guide us better.

2
3 The initiatives nowadays are, barotrauma, deep-water squid that we
4 presented at this Council. We just had Fuede y Vergilla distributed
5 to everybody. Recently, I'm collecting bait fish in relation to
6 the sargassum influx. That's coming up, that will be my next
7 presentation, hopefully, to this to this Council. Lane snapper and
8 Strombus species field observations presented today.

9
10 Note that these initiatives are grassroots, private donation of
11 time, effort to support science development follow-up, formal
12 research effort are conducted in collaboration with the research
13 and agencies.

14
15 And thank you for your patience and understanding my emotion, my
16 drive to do this. This is not a criticism; it's just trying to lay
17 it out there, opportunities of engagement and opportunities of
18 doing a much better job in terms of how we collect or have access
19 to new information.

20
21 Next slide. Questions? Kevin and Nelson.

22 **Questions/Comments**

23
24
25 **KEVIN MCCARTHY:** Thanks, Marcos. Really nice presentation. I was
26 having flashbacks to years ago when I used to work on conch when
27 you were going through all the all of that work. I really
28 appreciate your emphasis on collaborating with the fishers. As
29 I've mentioned in a couple of my presentations, we have some CRP,
30 cooperative research programs kind of things going on both with
31 the gear selectivity, with the-- You know, even with working with
32 fishers in the port sampling, you know, to make sure that when we
33 have people out there, they're doing the best job possible and
34 they can move things through.

35
36 One of the ways we like to approach this is that in-- you know, I
37 like the idea of having conversations right at the beginning, so
38 that we can understand and learn from the fishers in various
39 aspects of designing a project. Right? There are things that the
40 fishers bring to the table. There are things that the scientists
41 bring to the table. And getting all of that expertise together I
42 think is a really nice way to start a project. In addition to going
43 out on the water and doing all of that work.

44
45 But right from the beginning, talking to one another, and learning
46 what the fishers know, making sure that as scientists we're
47 explaining, "here's what we're trying to do. This is what the
48 project's supposed to do." And then most importantly, at the end

1 of it, coming back and reporting out. Right? "Here's what we did
2 together. Here's what we learned." So, I think that's really
3 important.

4
5 I like the idea of the way you use the term "capacity building"
6 because a lot of times when we talk about capacity building, we're
7 talking about building more labs or getting more lab space and
8 thinking about capacity on the science side. But I like the idea
9 as well and that terminology of capacity for having a group of
10 fishers that are willing and able to participate in the actual
11 work on the water. So, I think that's a great use of the term. And
12 I really appreciate your presentation. So, thank you very much.

13
14 **MARCOS HANKE:** Thank you very much. Nelson.

15
16 **NELSON CRESPO:** Thank you, Marcos. Excellent. We are connected in
17 mind. We are on the same page. We are seeing that the interest of
18 fishermen in contributing to the management of fisheries is growing
19 day by day. I think that it would be of great benefit for both for
20 both parties, the scientific and the fishery community.

21
22 I suggest studying the possibility of creating a bank of fisher
23 scientists for P.R. and the U.S.V.I., trained to support the
24 scientists when they are going to do investigations. Instead of
25 looking from somebody else, they can check on a list of fishers
26 and call them. They can be trained to know how to take otoliths,
27 make measurements, process samples, how to collect info, etcetera.
28 The advantage of this is that the fishers can bring support with
29 knowledge to the field and be involved in the process.

30
31 That would be really beneficial for everybody because the fishermen
32 are going to have a stronger trust on the scientific support and
33 then the support is going to have more valid information because
34 it is coming straight from the field. I think, you know, we can
35 take a good advantage of this.

36
37 **MARCOS HANKE:** Thank you, Nelson. Basically, in other wording, I
38 presented the same. Thank you very much for restating that. I want
39 to -- I'm going to give you the word, Julian. I want to highlight
40 this. Today, during this meeting, we have nassau grouper
41 representation by Evan, deep water presentation by Stacey
42 Williams, the work with Reni García, Wess Merten, all of them with
43 a strong emphasis on the fish industry or fishermen participation
44 and the need of more of that participation. I want to highlight
45 that this is already happening and that's something good that talks
46 good about our region and our Caribbean Council. Julian and Andy.

47
48 **JULIAN MAGRAS:** Julian Magras, for the record. Excellent, excellent

1 presentation. For the years I have known you, Marcos, you have
2 come a long way. You've been putting a lot of really, really good
3 presentations and creating a lot of new avenues for the fishers
4 and the community.

5
6 I've been preaching this for a very, very long time with my
7 counterparts, Nelson and Ed Schuster. With the fishermen
8 involvement, I think we can accomplish a lot, lot more and gather
9 a lot more information to fill in those boxes that need to be
10 filled in. I think with the proper training that our work can be
11 validated and be sound I think you can create, like Nelson said,
12 a nice group of individuals, it could be fishers, it could be
13 fisher families, because a lot of the fisher's wives work very
14 close with the fishers also.

15
16 I really, really think this is a move in the right direction. I
17 hope that we can continue the discussion. Not only the discussion,
18 but implement this, so when that future comes in, when we sit down
19 to do an assessment, we would have the information that the
20 scientists need in order for them to do their job because we were
21 able to collect it in a timely manner. Thank you.

22
23 **MARCOS HANKE:** Thank you, Julian. Andy?

24
25 **ANDREW STRELCHECK:** So, Marcos, I commend you on your presentation.
26 Clearly showed your passion not only for fishing, but fisheries
27 management. And so, I appreciate that.

28
29 A couple of thoughts here. I fully agree with many of your
30 recommendations. Right? I love the idea of a bank of fishermen to
31 support fishery managers, scientist, others in terms of the work
32 that needs to get done. As you and I think would agree, there's
33 millions and millions of questions that could be asked. There's
34 lots and lots of gaps in information. And so, anytime you're
35 working toward, kind of, addressing those questions, you really
36 want to be very thoughtful and strategic in terms of specific
37 questions. What would be asked or evaluated an answered and then
38 more importantly, kind of, setting expectations. How's that data
39 going to be used? What could it be used for if collected in the
40 right manner? So, I think that's where Kevin and his group at the
41 Science Center come in.

42
43 But I also see a huge opportunity here where this really needs to
44 be well coordinated. In the South Atlantic, they have a citizen
45 science program, a coordinator that sits at the South Atlantic
46 Council. I'm not suggesting that's the option right here, but it
47 puts the emphasis on that person to help work with industry and
48 coordinate an ask these specific questions that then can feed into

1 the scientific process. Here, you have the liaisons. We just got
2 liaison reports. Maybe there's some bandwidth or opportunity there
3 to work with them as well.

4
5 But I think the key to all of this obviously, kind, of being very
6 specific in terms of questions that can be asked and kind of
7 sequencing that and building the program, right, and building the
8 buy in and support. So, I really love your comments and I look
9 forward to kind of expanding upon this and how we can really
10 improve working relationships.

11
12 **MARCOS HANKE:** Thank you very much. I really appreciate all the
13 support you can give us into the future and we're going to keep
14 for sure the conversation. Richard?

15
16 **RICHARD APPELDOORN:** Yeah. Two things. First, a follow-up,
17 specifically on Nelson's comments.

18
19 What he was talking about is exactly what the SSC had as one of
20 its bullet recommendations. It was to train fishermen to be able
21 to be the collectors and to be able to do the monitoring certainly
22 in ways and in intensities or coverages that most programs can't
23 do, you know, without their help.

24
25 The second thing, just to go on. So, Marcos, did contact me about
26 this and of course it combined two of my favorite things, conch
27 and connectivity. So, he had me rather captive and I was glad to
28 drop whatever boring thing I was doing probably SSC work.
29 [laughter] And, you know, help him out with this. And, you know,
30 one of the questions was, I think, what somebody mentioned, "Well,
31 how do we use this?" How can this actually serve something the
32 Council really needs to know about? And so, you know, on the one
33 hand, you've well documented that the fish are feeding on these
34 species, and you already have enough for a short scientific note
35 to that regard.

36
37 There are other questions, like you said, "Well, how do they
38 actually do this?" That's, outside of watching hours and hours of
39 video, hoping to capture one, I'm not sure how you would do that.
40 But one of the things I had mentioned was, you have two systems
41 here that gives you kind of a replicative comparative systems,
42 because they're not exactly the same, but they're looking at
43 important aspects of connectivity. These fish move around. They've
44 found a resource that's in these bays. You know, how important is
45 the bay to their feeding and the species of the bay? Where are
46 they taking that energy to? Because they'll go someplace and then
47 they'll defecate and urinate and supply nutrients to someplace
48 else.

1
2 So, this is the kinds of things, from an ecological point of view,
3 that are important in EBFM. Of course, there's lots of other things
4 too. But to me, that's where the scientific value was. And if I
5 was not retired and banned from the sun, this would be something
6 I'd really be excited to pursue.
7
8 So, you really opened up an exciting avenue, I think, and I'm
9 hoping that we can find somebody that pick that up?
10
11 **MARCOS HANKE:** We can follow-up on that. The whole idea is for the
12 information to come through, right? For us all to get informed.
13 Thank you. Cristina.
14
15 **CRISTINA OLÁN MARTÍNEZ:** John Walter is waiting for a turn to
16 speak.
17
18 **MARCOS HANKE:** John Walter, the floor is yours.
19
20 **JOHN WALTER, III:** Okay. Hopefully, my video works. Can everyone
21 hear me?
22
23 **GRACIELA GARCÍA-MOLINER:** Yes.
24
25 **JOHN WALTER, III:** Good. I'm sorry that I can't make it this week
26 to the meeting. I'm really glad that Kevin is able and representing
27 the Center.
28
29 Marcos, Mr. Chair, your presentation really resonated with me
30 having spent most of my master's degree cutting open fish stomachs.
31 I share your passion for figuring out what they eat and making
32 sense of it. So that was it's really neat to see. And I think what
33 also really resonated with me was your comment about reaching out
34 to the science community, and it's a two-way street for us to be
35 able to make progress. So, I think Kevin is there; reach out to
36 Kevin. You've got other great scientists that have been very
37 involved in the fisheries and in research. I think that that two-
38 way street between collecting and using the information and
39 knowledge of fishermen and working with science to turn that into
40 actionable management is, I think, the key.
41
42 The other big piece of that is the funding to be able to do that
43 because resources are limited. But I will note that there are
44 cooperative research program grant projects that are quite
45 effective in us being able to motivate the funds to address fishery
46 issues. There is also Saltonstall-Kennedy grant program, which a
47 lot of that is to promote fisheries and fisheries marketing and
48 those are going to be announced, actually, today. The FY2022 S-K

1 grants. So, those are ones that can specifically be used to
2 motivate a lot of this kind of work. I just want to call those
3 people's attention.

4
5 And thank you again for the great presentation and acknowledging
6 our Center's commitment to the Caribbean with our new branch that
7 Kevin leads. Thanks.

8
9 **MARCOS HANKE:** Thank you for your timely participation. Thank you.
10 Yes, Miguelsl

11
12 **MIGUEL A. ROLÓN:** Thank you. I believe that, not at this meeting,
13 but I would encourage Marcos, Graciela, and Richard, to put your
14 minds together and come up with a study that can be of significance
15 out of the list of topics that the SSC put together. Maybe we can
16 identify a study that will have the participation of U.S. Virgin
17 Island fishers, Saint Thomas, Saint John, Saint Croix, and Puerto
18 Rico, of something that is doable. We can start this year. And for
19 that, we can set aside some money. We don't have a lot of money,
20 but we can set aside some money.

21
22 If we can follow this with an example of a survey, of a study that
23 will engage the fishers, this would be an example that can be used
24 for other years, so we can allocate funding. It was mentioned
25 before, we have S-K and other sources of funding.

26
27 In addition, yesterday, you mentioned that there is a new, let's
28 say, fishery or new use of fish traps around Puerto Rico. We need
29 to have that information ready for the Council to make any
30 decision. Remember, in the EEZ, you are not allowed to use trap,
31 but there is still the use of traps. I was talking to Reni and,
32 for example, outside Ponce they were doing a survey of the fauna
33 associated to the with the outflows of sewage at a very deep depth,
34 in deep waters, and they couldn't dive there, so they used traps.
35 All of the traps came full of fish. So, there's an interest of
36 having this.

37
38 So those two projects. Two opportunities. One project that Marcos
39 and Richard and Graciela can put together with the help of anybody
40 else that is able and willing to join, could be followed this year,
41 to start it this year. And I believe that you should also check
42 with the liaison officers, with the Chairs of the DAPs to see if
43 we can put together that project with the participation of those
44 fishers.

45
46 And thank you for your presentation. I believe that it is timely.
47 Thank you.

48

1 **MARCOS HANKE:** Thank you to all for your patience and all the
2 questions. I feel very honored to have this opportunity. I really
3 do. Graciela.

4
5 **GRACIELA GARCÍA-MOLINER:** So, one request would be to make sure
6 that we have the support of the Office of Science and Technology
7 or something like that, because for the deeper water traps,
8 etcetera, we would really like to look at what's in the bottom.
9 What are the habitats that we would be impacting. So, the Nancy
10 Foster was recently here for two missions, you know, mapping and
11 using of an ROV. We do keep in contact with the other NOAA Offices
12 that deal with mapping and habitat descriptions, etcetera. So, I
13 think that we should really find like a point, a person of contact,
14 that can be working with us doing these projects, especially for
15 the deeper water technology that we need.

16
17 **MARCOS HANKE:** We have another item on the agenda and we're going
18 to keep going. We have no other questions. We have enforcement
19 report. I'm going to start with Puerto Rico.

20
21 **DAMARIS DELGADO:** Hello?

22
23 **MARCOS HANKE:** Hello, Damaris. Happy to hear your voice. How are
24 you?

25
26 **DAMARIS DELGADO:** I am good. Nice to hear you too.

27
28 **MARCOS HANKE:** Go ahead.

29
30 **Enforcement Reports**
31 **Puerto Rico-DNER**

32
33 **DAMARIS DELGADO:** Nice to see you. From our part since December
34 2021. We have been acquiring new equipment for rangers for the
35 maritime units. Within that equipment, there are three new utility
36 cards, these are what we call 'cuotas,' for the Maritime units.
37 And we are waiting for six jet skis that would be arriving at any
38 time now. There has been acquisition of vehicles as well. Rangers
39 have been taking trainings, including the ones of skills for
40 interventions, right interventions.

41
42 DNER has identified funds to establish a new ranger school, what
43 we call 'Academia' for the rangers, so we can recruit many more
44 rangers as employees. Efforts of patrolling and surveillance in
45 coasts, ramps, docks, and coastal waters around Puerto Rico were
46 conducted. An intervention was carried out with hawksbill turtle
47 that a person was found with one of these species in Aguadilla,
48 and the case was submitted to the legal office.

1
2 There have been at least two referrals to Borges, Agent Borges,
3 because these people had taken mackerel species without permits,
4 without the HMS permits. Also, I have one illegal taking of 36
5 queen snappers without a license. This was also in the Northwest
6 side of Puerto Rico; this was in Aguadilla as well.

7
8 So, this is the report that I have for now. If you have any
9 questions.

10

11

Questions/Comments

12

13 **MARCOS HANKE:** Thank you, Damaris. Nelson.

14

15 **NELSON CRESPO:** Hola, Damaris. Qué bueno verte. Just a
16 recommendation about the Ranger's Academy. If it's possible, I
17 would like to request to include ID species identification and
18 federal law update for all the new rangers. All we know is that
19 there is a lag, they don't know all the regulations implemented
20 and sometimes that causes a problem, a misunderstanding with
21 fishers and the Rangers. That's my recommendation.

22

23 **DAMARIS DELGADO:** Thank you very much. So, as Yamitza was
24 explaining in the chat. We have been giving training to the rangers
25 with regards to the law, fisheries law and regulation, and on
26 identification of species.

27

28 So, I think, you know, continuing education is always good. Maybe
29 we can try to standardize the times for these type of training
30 with the coordination of the head of the rangers. We could try to
31 do that. As of now, it has been spontaneous. Whenever we our
32 resources, internal resource within DNER, can make it, they
33 coordinate the trainings. But we could try to do something more
34 standardized, like to make sure that, I don't know, maybe two times
35 a year or whatever is needed is conducted.

36

37 So, I'm open, you know, to that to those discussions. As a matter
38 of fact, when it was suggested in the chat. I touched base with
39 the director of the Rangers, and I asked her what she would think
40 about it, in terms of more of an official type of training
41 continuing education to the to the rangers being instructed from
42 the head of the rangers. Instead of efforts through our offices
43 within the Secretary of Conservation and Research, and the Bureau
44 of Fish and Wildlife.

45

46 **MARCOS HANKE:** Thank you so much.

47

48 **DAMARIS DELGADO:** So, maybe I could help to gather more rangers

1 taking the training, maybe. So, thank you for the recommendation,
2 Nelson.

3

4 **NELSON CRESPO:** Thank you.

5

6 **MARCOS HANKE:** We keep in touch with you offline to support any
7 effort you need from us. We're going to have the report from Manny
8 Antonaras, OLE.

9

10 **NOAA Fisheries Office of Law Enforcement**

11

12 **MANNY ANTONARAS:** Thank you. Alright. Good afternoon, everybody.
13 My name is Manny Antonaras. I'm with NOAA's Office of law
14 enforcement. I got a few updates for the Puerto Rico and U.S.V.I.
15 field offices since the last meeting when we presented.

16

17 Next slide, please.

18

19 These are just a couple highlights of some patrol activity and
20 complaint response that our special agent in Puerto Rico Miguel
21 Borges, and Alex Torero, he's the officer in Saint Thomas.

22

23 So, first slide I have here is for Puerto Rico. We responded to a
24 couple of complaints of illegal fishing in Bajo de Sico. So, Miguel
25 along with Alex Torero set up a patrol operation targeting these
26 areas and they actually worked in conjunction with CBP air marine
27 out of Puerto Rico. During that patrol, they conducted boarding
28 with eight vessels. One of those boardings resulted in summary
29 settlement offer that was issued for harvest of yellowfin tuna
30 without the required HMS permit. Another vessel was issued a
31 written warning for having paying customers on board. That vessel
32 had an HMS permit, it was just an incorrect permit. So, Miguel
33 opted to issue a written warning for that particular incident and
34 helped the captain obtain the correct HMS permit.

35

36 Special agent Borges has also initiated an HMS investigation that
37 was a result of a social media post involving a fisher that
38 harvested yellowfin tuna. After making contact with that fisherman
39 and determining that there was actually a violation, Miguel also
40 documented that with a written warning and helped that fisher come
41 into compliance.

42

43 We had a complaint that came in into the Puerto Rico field office
44 involving some more HMS compliance harvesting yellowfin tuna
45 without HMS permits. And after that case was initiated, a follow-
46 up investigation was conducted with some field interviews. A
47 summary settlement offer was also issued in that particular case.
48 And that one was for a thousand dollars. And then following that

1 summary settlement, we helped the fisher come into compliance by
2 obtaining the appropriate HMS permit.

3
4 Next slide, please.

5
6 This is just a few pictures that I pulled out of our weekly report.
7 These top two pictures were from Puerto Rico incidents and actually
8 all of them, but the one in the middle was out of U.S.V.I.

9
10 Next slide, please.

11
12 This particular one. Okay. So, this is just a follow-up on the
13 Puerto Rico recap. We had another investigation involving a social
14 media post. This complaint came into the San Juan field office as
15 well and involved individuals that appeared to be swimming with
16 dolphins. And so, dolphin harassment has been an issue throughout
17 the Southeast, and we have been receiving reports in Puerto Rico
18 and the U.S.V.I. So, in this case, also provided compliance
19 assistance. The agent was able to contact the tour operator that
20 offers cruising and beach tours and provided outreach education in
21 an effort to deter that activity in the future.

22
23 We're also following up on other legal, actually illegal feeding
24 of dolphins. These are specific to Puerto Rico, and the agent in
25 Puerto Rico is working with our office of protected resources at
26 the regional office to address those. We've got a few ongoing
27 investigations. We're also doing outreach education and posting
28 signage when possible. We have in the past worked with some marinas
29 to post signs. I believe I gave an update on one of those incidents
30 during to last meeting.

31
32 The last bullet I have here for Puerto Rico was a joint effort
33 with customs border protection, and they offered opportunity for
34 the agent to come in during their custom border protection trade
35 week. The agent provided a brief on our mission authority and sorts
36 of things we do. They CBP has actually been very helpful. They've
37 offered us opportunities for patrols. They they've assisted with
38 providing air assets upon request. And so, we maintain that
39 relationship along with relationship we have with P.R., DNER, and
40 DPNR and U.S.V.I.

41
42 Next slide, please.

43
44 A few updates on the efforts in U.S.V.I. So, as I mentioned
45 earlier, we have enforcement officer Alex Torero assigned to Saint
46 Thomas. During the past couple months, he worked with U.S. Coast
47 Guard, they initiated two patrols in the EEZ, and this was
48 following some complaints of foreign vessel incursions from the

1 North. They patrolled North of Saint Thomas and Saint John. No
2 targets during that particular patrol.

3
4 Also worked with Howard Forbes group, the officers with DPNR to
5 respond to a complaint of dolphin harassment in U.S.V.I. They
6 conducted some patrols on two separate days and areas harassment
7 was being reported, and those are still being monitored. Note,
8 nothing in terms of actual vessels or subjects documented during
9 those visits.

10
11 Then there were-- Let's see. A couple patrols were done. One was
12 a joint patrol with DPNR looking at HMS charter fleet, monitor
13 those. There were three separate land patrols. Again, ensuring
14 compliance with the HMS charter fleet. And then there was also
15 dockside patrol looking at commercial fishery offloads.

16
17 And the last bullet I have there involves a complaint that came in
18 that impacted, but the complaint that came in was that folks were
19 interfering with a sea turtle nest habitat. So, the officer in
20 U.S.V.I. responded with DPNR biologists to the area and worked to
21 put up some signage there, you can see along the beach access, in
22 an effort to deter any future harassment. And as you can see there,
23 that sign also post the potential fines for damaging sea turtle
24 nests.

25
26 Next slide, please.

27
28 I wanted to just briefly touch on our SIMP and CITIES activities.
29 So, for those that don't know, we have a growing priority for SIMP
30 enforcement. That's a Seafood Import Monitoring Program. And
31 CITIES, which is actual actually something that the U.S. Fish and
32 Wildlife takes the lead on, but it's something that applies when
33 we're doing our inspections of product that's coming into U.S.
34 ports.

35
36 So, we have begun looking at seafood product coming into Saint
37 Thomas and U.S.V.I. And as you can see there, SIMP, Seafood Import
38 Monitoring Program, establishes reporting and record keeping
39 requirements for all imports of specific seafood species. There's
40 13 of them. And the intent here is to combat IUU or illegal
41 unreported and unregulated seafood product that are caught and/or
42 misrepresentation or falsely labeled from entering into the U.S.
43 So SIMP provides additional protections for things like our
44 national economy, global food security, sustainability of our
45 ocean marine resources.

46
47 So, there's, like I said, 13 different species groups, the first
48 11 were implemented in January of 2018. And then there were two

1 other groups that were added, that's the shrimp and abalone that
2 came online in December of 2018. So, of those 13 groups, there's
3 1,100 unique species that are included in the SIMP program. And
4 those are determined based on the species that are most vulnerable
5 to IUU fishing, seafood fraud, or both. And as you can see here,
6 SIMP covers about half of all seafood imports into the United
7 States.

8
9 And so, for those 13 species groups, that they're a part of SIMP
10 right now that includes things like-- and again, this is a
11 nationwide program, so it's not specific to the Caribbean. But the
12 species that are currently covered under SIMP are abalone, atlantic
13 cod, blue crab, dolphin or mahi, all the grouper species, king
14 crab, pacific cod, red snapper, sea cucumber, shark species, shrimp
15 and swordfish. And the last one is tunas which covers albacore,
16 big eyes, skipjack, yellowfin, and bluefin.

17
18 So, all those species that are coming in are subject to these
19 traceability documents that have to be uploaded and submitted. Our
20 officers and agents use the, it's called the ITDS, International
21 Trade Data System, which is the government single data portal for
22 all imports and exports reporting to trace species back to the
23 point of harvest or production and verify that they were lawfully
24 harvested or produced.

25
26 Next slide, please.

27
28 That concludes the updates. And I have here contact information
29 for Miguel Borges and Alex Torero. And as I usually do, I included
30 the report a violation link on the bottom.

31
32 And let me just add one note before we go to questions. I talked
33 to Marcos about this earlier, but our office is in the process,
34 right now, of doing a five-year priority setting. We do this every
35 five years. So, our current five-year priority is expiring this
36 year in 2022. So, for 2023 through 2027, we are now, you know, in
37 this current year setting in the priority setting process. And
38 what we like to do is reach out to constituent groups, to the
39 Councils, to our partners, our state partners, and federal
40 partners, and ask for input as we set those priorities.

41
42 One thing I'd like to do with the Caribbean Council is extend an
43 invite to the DAPs for Puerto Rico, U.S.V.I., Saint Thomas and
44 Saint Croix and ask for inputs from those DAPs but also from local
45 fishers as we consider priorities and priority setting for the
46 next five years. I know there's been a lot of concern with
47 different things that have been brought up through this Council
48 and we have addressed them as best as we can with limited

1 resources, but the important part of priority setting is getting
2 the information and prioritizing. What we say is "prioritize the
3 priorities" because, you know, everything is a priority to
4 different groups, but we want to do those things as effectively
5 and efficiently as we can in conjunction with our partners.

6 7 **Questions/Comments**

8
9 **MARCOS HANKE:** Yeah. Noted. Sorry to interrupt you. I just want to
10 make sure I don't forget. Please send an email to us to formalize
11 the petition. We took the note from it, and we can coordinate like
12 a virtual meeting with the DAPs Chairs or any other form to do
13 that.

14
15 **MANNY ANTONARAS:** Great. Thanks. And that concludes the brief.
16 I'll take any questions.

17
18 **NELSON CRESPO:** Nelson? Thank you. Excellent. Excellent report.

19
20 First of all, the fishing community have started feeling your
21 presence. I know that because they are driving me crazy asking how
22 to obtain the permits, especially for the HMS species and that's
23 good, because I drive Miguel Borges crazy too with all the question
24 they have. I think that it is appropriate if you, in one way or
25 another, can bring some workshop to the local enforcement agency,
26 especially the DNR rangers. Because for example, two weeks ago,
27 one ranger had an intervention with one fisher and wanted to
28 confiscate their catch because he had tunas. "You don't have the
29 HMS permits." But the tunas he had were blackfin tuna and little
30 tunny, which you don't need to have an HMS permit to carry.

31
32 Lucky for him, another fisherman that knows the regulation asked
33 the ranger, are you sure about what you are doing? And the ranger,
34 didn't weak about that, made some phone calls, but he didn't give
35 up. He said, "I'm going to give you a break. But I'm going to give
36 you a ticket because you don't have a fire extinguisher." But he
37 didn't want to say, "hey, sorry, you know, I made a mistake."

38
39 Also, I think it would be of great help to the fishing community
40 that when Miguel has the time, make an intervention in the PEPCO
41 that Wilson is developing. You can have some talks with the fishers
42 and explain about federal regulation. That would make all the
43 parties be conscientious and work better and try to avoid having
44 problems. Thank you.

45
46 **MARCOS HANKE:** Julian.

47
48 **JULIAN MAGRAS:** Julian Magras, for the record. Great presentation.

1 On behalf of the Saint Thomas/Saint John District, I had the
2 opportunity to sit down for a couple hours and talk with Alex. And
3 his presence has made a big difference in our area also.

4
5 While I was there with him, you know, I gave him a couple of things
6 that I asked him to please look into. I sent in some pictures from
7 a couple of our big food suppliers with mislabeling of species.
8 Within a few days, that problem was corrected. That shows me his
9 passion for what he does. He explained to me what his ultimate
10 goal is and how he wants to move forward and we're planning a
11 meeting coming up here very soon with the Fishermen's Association.
12 I told Manny today, this morning, that we will be inviting him to
13 meet the fishers and his presence and give him give a little
14 introduction and what he's there to do.

15
16 He's also looking into a couple other issues with the undersized
17 lobster tails coming in. And also, I was glad to see that the
18 turtle issue made it up there. I received that call at 3:45 am in
19 the morning, about that turtle nesting from some people that go
20 there to lay off beach chairs for the tourists at that beach. And
21 the guy called me, and he's like, "This turtle is nesting." So, I
22 said, "Don't worry about it." I said, "don't trouble it. Secure
23 the area until I can get the people there." I contacted the turtle
24 people, and I contacted Fish and Wildlife, sent them messages and
25 within an hour, they responded.

26
27 When they responded, they were having issue with one of the guys
28 that was cleaning the beaches, and he was telling them, "You guys
29 have to leave them. We're going to come back and we're going to
30 take the turtle eggs." So that's what prompted them to get
31 involved. And I'm happy that you guys got involved to protect that
32 nesting.

33
34 So, I see great things happening and I look forward to the
35 continual open dialogue. Me and my fishers and whoever else from
36 the U.S.V.I. wants to be involved, I feel that we'd be more than
37 happy and working this five-year strategic plan. I can go back.
38 Since it is going to be the DAP Chair at the meeting, I'll go back
39 and speak with my team and see if any of them have any pressing
40 issues that they would like to make recommendations to that plan.
41 So, thank you again.

42
43 **MARCOS HANKE:** Jean-Pierre.

44
45 **JEAN-PIERRE L. ORIOL:** Manny, just one quick question. Does OLE
46 specifically respond to turtles or other ESA listed species as
47 well?

48

1 **MANNY ANTONARAS:** Yeah. We respond to other, not just specifically
2 turtles, but other ESA complaints as well. Now, we do have, for
3 sea turtles, we have authority and jurisdiction to respond,
4 although we do have a memorandum of understanding with the U.S.
5 Fish and Wildlife service, they typically respond to turtle
6 violations or complaints that are on the beach.

7
8 **JEAN-PIERRE L. ORIOL:** All right.

9
10 **MANNY ANTONARAS:** We respond to those that are on the water. But
11 we can respond to those that are on the beach as well if U.S. Fish
12 and Wildlife isn't present or they've asked us to assist?

13
14 **JEAN-PIERRE L. ORIOL:** So, Puerto Rico and the V.I. are in this
15 unique category where coral is listed as threatened species. I
16 think it's about every week there's a grounding, primarily on the
17 Puerto Rico side. What's the OLE response when there's groundings?
18 Because I know that Coast Guard is usually one of the first ones
19 that are out there just to make sure from a life and safety
20 perspective.

21
22 But a lot of times, particularly with the species that have been
23 listed, these are on the threatened list. I was just curious as
24 to, sometimes we get these large swathes of areas that are damaged.
25 And so, what's OLE's typical response from a grounding perspective
26 because chances are, particularly with *Orbicella* listed, that
27 *Orbicella* has been impacted for the most part. So, I was just
28 curious as to what that procedure would be or how we could ramp
29 up? Because there are a number of groundings that are taking place
30 and now, they're affecting listed species.

31
32 **MANNY ANTONARAS:** Yeah. We typically respond to groundings. Let me
33 let me go back we will follow-up on groundings. This happens time
34 in the Keys, Florida Keys, for example. And when there's a
35 grounding, typically the FWC or the state agency will respond.
36 They conduct a site assessment and then forward those cases to our
37 office for review. There are a couple different avenues that we
38 can pursue for groundings. But there's also and this may be a
39 better question for our legal counsel. Just because corals are
40 listed, it does not mean there are prohibitions in place.

41
42 I'm not sure if Loren Remsberg may be able to address that, if
43 she's online. Do you know Jocelyn, if Lauren.

44
45 **LOREN REMSBERG:** I'm on Manny. Can you hear me?

46
47 **MANNY ANTONARAS:** Yes. Thanks, Lauren.

48

1 **LOREN REMSBERG:** Yeah. That's generally true. I think some coral
2 types are listed as threatened and if there is not a 4(d) rule in
3 place, then there's no actual prohibition on take of those species.
4 But, you know, each grounding would have to be looked into case by
5 case to determine what was there and what the options are.

6
7 **JEAN-PIERRE L. ORIOL:** Okay. And then one quick follow-up.

8
9 So, OLE doesn't have its own, let's say, penalty matrix for direct
10 damage. Like, I know the state of Florida does. We kind of mirror
11 what Florida does in terms of from 0 to 10,000 square meters,
12 there's a set penalty. And then over that, there's an ecological
13 assessment for loss of ecological function. But does OLE have a
14 penalty matrix as well?

15
16 **MANNY ANTONARAS:** The penalty schedules are actually set by the
17 Office General Counsel. So, we would refer the case and then they
18 will review it and if warranted issue a penalty. And so, there are
19 cases that can be issued a penalty following, you know, our office
20 referring that case. But then there's also another route that that
21 can be taken with the-- Lauren, what is the group, if you don't
22 mind, the group that does the assessments for the cases that--

23
24 **LOREN REMSBERG:** The restoration center?

25
26 **MANNY ANTONARAS:** Restoration. Yes. Thank you.

27
28 **MARCOS HANKE:** Thank you.

29
30 **LOREN REMSBERG:** I'll just follow-up also. The Office of General
31 Counsel Enforcement section, our penalty policy is a public
32 document. I can share the link in the in the chat. But we do have
33 a schedule for ESA violations, and it takes into account gravity,
34 injury, lots of factors, as well as culpability. So, I'm happy to
35 share that link. But that's what we would look to in assessing a
36 penalty.

37
38 **MARCOS HANKE:** Okay. Thank you very much. Andy. And we have to
39 wrap up, we have to end sharp at 5:00 because we don't have
40 translation anymore.

41
42 **ANDREW STRELCHECK:** So, I'll follow up with Miguel and the Council
43 staff. So, as mentioned, there's a restoration program. So, besides
44 law enforcement penalties, they're going to go out and assess the
45 damage. They're going to determine the remediation that's needed.
46 The cost will be, you know, borne by the person that created the
47 damage and including obviously just review and surveys and work to
48 assess the damage. So, we have a program that's dedicated to that.

1 We'll get you the points of contact, in case you have future
2 questions.
3

4 **MARCOS HANKE:** Thank you for this life coordination of efforts and
5 clarity. And thank you so much, Howard, for moving his report for
6 the next meeting due to our short time on this meeting. And thank
7 you very much. Okay. The next item on the agenda is other business,
8 Miguel? You're going to—
9

10 **MIGUEL A. ROLÓN:** Tenemos dos cosas de other business. ¿Graciela,
11 ya tu cubriste tu parte de other business o te falta algo? No, no
12 pero para que lo digas ahora.
13

14 **MARCOS HANKE:** If there are any comments in the chat, please help
15 me out. I'm not seeing them. Thank you for the support.
16

17 **CRISTINA OLÁN MARTÍNEZ:** Voy. Michelle Schärer. Is that also still
18 true for the nassau grouper, threatened but no 4(d) rule?
19

20 **ANDREW STRELCHECK:** Yeah. If there's a 4(d) rule for nassau grouper
21 currently. I believe that's the case, that we do not have a 4(d)
22 rule in place for nassau grouper.
23

24 **MARCOS HANKE:** Any other comments? Graciela.
25

26 **GRACIELA GARCÍA-MOLINER:** One comment because I think that the
27 Council would be interested in this. So, Manny, does the SIMP
28 follow the grouper? For example, what they call, we know that is
29 basa, that it is not grouper, that it is some kind of catfish or
30 some homegrown animal, and it actually becomes the grouper
31 specialty in a restaurant. You can tell right from the start that
32 that's not grouper.
33

34 So, there is a mislabeling in international trafficking because
35 most of this doesn't come from the local area. That also applies
36 to other fish and shellfish that we get served at restaurants and
37 we know that they are not real, damaging the local fisheries.
38

39 So, my question is, do you follow this through the SIMP, or how do
40 people let you know that that's happening.
41

42 **MANNY ANTONARAS:** Yeah. Thanks, Graciela. That's a good question.
43

44 So SIMP is only required for the species that are listed. So, in
45 that scenario, if it's truly not grouper then there are no
46 requirements to submit the traceability. That being said, it would
47 still be a violation, a Lacey Act violation, most likely because
48 of the false labeling. If it's an imported product. Yes. So, I

1 hope that answers your question.

2
3 **GRACIELA GARCÍA-MOLINER:** How do we report it?

4
5 **MANNY ANTONARAS:** Report it?

6
7 **GRACIELA GARCÍA-MOLINER:** Yes. So, how do, I mean, the other day,
8 I had Basa at a restaurant and, you know, it wasn't grouper.

9
10 **MANNY ANTONARAS:** Yeah. And that's something that, you know, all
11 of our officers are doing right now. So, Miguel, that's something
12 Miguel could handle right away. So, oftentimes, when that happens,
13 we will do sampling at the ports or wherever the product comes in.
14 Then, the samples get sent to our lab, it's actually a NOAA lab
15 that does species ID for us.

16
17 **MARCOS HANKE:** Thank you. We are going back to other business. I
18 have a note here about S-K Funding. Are you going to say something,
19 Miguel?

20
21 **Other Business**

22
23 **GRACIELA GARCÍA-MOLINER:** Very quick. So, S-K's Cliff Cosgrove has
24 been emailing us because he's coming to Puerto Rico. S-K funded
25 the part of the queen conch hatchery out of Naguabo. They're
26 interested, they had what used to be called territorial science,
27 so usually Western Pacific and us would submit proposals through
28 that venue at S-K. They don't have it separated like that anymore.
29 But they are coming to Puerto Rico and the Virgin Islands to do
30 some outreach to see if we get more proposals, because S-K provides
31 quite a bit of funding, and they're interested in increasing the
32 number of proposals coming from this area.

33
34 They've hosted a number of webinars for how to do it, how to fill
35 out the form, etcetera. Usually, the RFP comes out, the request
36 for proposal comes out in the summer, and it's open for 165 days,
37 so that gives scientists quite a bit of leeway in writing them up.
38 So, I will keep you posted because they would like to do outreach
39 to the Council and to other groups. And through-- yeah. So, we are
40 in contact with them to see if we can increase that. So, as far as
41 S-K, that's one.

42
43 The second thing that I have for other business is that we will
44 have a presentation at the next Council meeting or the December
45 meeting-- I don't know which one --on the diadema die-off that is
46 being reported throughout the Caribbean. So, it happens very
47 quickly. It is being considered as big as the 1980's diadema die-
48 off. So basically, we're just coming back on with the diadema and

1 now it's dying out again. So, we will have that presentation for
2 you at the next Council meeting or the next one after that.

3
4 So, the information, if anyone knows or notices, especially the
5 fishers and the divers who are in the water, the die-off of diadema
6 go to the Agrra.org webpage, and they do have the forms there to
7 fill out and provide the information on that die off.

8
9 They are monitoring it in the Virgin Islands and in Puerto Rico.
10 So, anyone who noticed anything, please let Agrra know through the
11 webpage. You can always also contact me if you have any
12 information, and we'll pass the information along. Thank you.

13
14 **MARCOS HANKE:** Miguel.

15
16 **MIGUEL A. ROLÓN:** Thank you. Thank you, Mr. Chairman.

17
18 At this time, we would like to-- yesterday, we met, and we
19 discussed the membership of the different group that we have, and
20 I have several motions that Diana is going to read for the record.
21 We will start with the SSC.

22
23 **DIANA T. MARTINO:** Okay. It was decided to reappoint the following
24 SSC members J.J. Cruz Motta, Michelle Schärer, Tarsila Seara,
25 Douglas Gregory, Richard Appeldoorn, Vance Vicente, Walter Keithly
26 and Jorge García-Sais.

27
28 **LOUIS ANTHONY BLANCHARD:** So moved.

29
30 **JEAN-PIERRE L. ORIOL:** Second.

31
32 **MARCOS HANKE:** Any discussion? All in favor say, aye.

33
34 **GROUP:** Aye.

35
36 **MARCOS HANKE:** Motion carries.

37
38 **MIGUEL A. ROLÓN:** And then, during the SSC, we would like to
39 announce that Doctor Kevin McCarthy is resigning from the position
40 of the SSC because he is now in a position were he will be passing
41 judgment over recommendations from the SSC and so forth regarding
42 best available information. So, the Center is recommending Doctor
43 Erik Williams. He's an expert in stock assessment. He's very
44 knowledgeable about the stock assessment, the fishes of this area.
45 So, it's a recommendation. I have a letter from the Southeast
46 Fisheries Science Center. If you want to have more information,
47 you can ask Doctor Kevin. But at this time, we'd like to hear a
48 motion.

1
2 The Council discussed it yesterday, and they all agreed that he
3 would be an asset to the SSC. So, we need a motion to appoint
4 Doctor Erik Williams.
5
6 **LOUIS ANTHONY BLANCHARD:** So moved.
7
8 **JEAN-PIERRE L. ORIOL:** Second.
9
10 **MARCOS HANKE:** Discussion? All in favor say, aye.
11
12 **GROUP:** Aye.
13
14 **MIGUEL A. ROLÓN:** I would like to take this time to thank you,
15 Kevin. I know that you said in your letter that you will not be
16 divorcing from us. You will be coming in and out. And I'm sure you
17 will have a seat with us whenever Clay Porch cannot make it. I
18 believe that at this time, we'd like to thank him. Doctor Kevin
19 McCarthy has been instrumental in moving forward the issues, needs,
20 projects for the Caribbean and for that, we are really really
21 grateful.
22
23 **KEVIN MCCARTHY:** Thanks, Miguel. Yeah, you're not getting rid of
24 me that easily. [laughter]
25
26 **MARCOS HANKE:** Yeah, Kevin, I want to say that this is what we
27 hear from the fishermen, and this is what I feel as a Chairman of
28 this Council and as a fisherman too. You represent a balance in
29 terms of the view of really looking for the opportunities to make
30 this better and I really appreciate that. Thank you.
31
32 **KEVIN MCCARTHY:** Thanks, Marcos. I really appreciate that
33 sentiment.
34
35 **DIANA T. MARTINO:** Regarding the Outreach and Education Advisory
36 Panel, it was recommended to reappoint the following members. Alida
37 Ortiz, Ruth Gómez, Vilmarie Román, Andrés Maldonado, Gerson
38 Martínez, Esther Vélez, Jannette Ramos, Kim Iverson and Emily
39 Muehlstein.
40
41 **LOUIS ANTHONY BLANCHARD:** So moved.
42
43 **JEAN-PIERRE L. ORIOL:** Second.
44
45 **MARCOS HANKE:** Any discussion? All in favor say, aye.
46
47 **GROUP:** Aye.
48

1 **MARCOS HANKE:** Motion carries.
2
3 **ALIDA ORTIZ SOTOMAYOR:** I have a question. This is Alida. Diana?
4
5 **DIANA T. MARTINO:** Yes. Adyan Rios?
6
7 **MIGUEL A. ROLÓN:** She's already appointed. You don't have to talk
8 about it at this meeting.
9
10 **ALIDA ORTIZ SOTOMAYOR:** Okay. The other ones were appointed also.
11
12 **MIGUEL A. ROLÓN:** No. This is for the appointment where their term
13 expired. Adyan Rios is a new member her time will expire later.
14
15 **ALIDA ORTIZ SOTOMAYOR:** Okay.
16
17 **MIGUEL A. ROLÓN:** She's a member.
18
19 **ALIDA ORTIZ SOTOMAYOR:** Okay.
20
21 **MIGUEL A. ROLÓN:** And also remember-- but that's a good point,
22 Alida, for the group. And also, we have observers, the three
23 liaison officers are observers. And two members of the OEAP, are
24 from the Gulf Council and the South Atlantic respectively, and
25 both Emily and Kim have been instrumental in helping us shape our
26 team to work on outreach and education panel. Thank you, Alida.
27
28 **ALIDA ORTIZ SOTOMAYOR:** Okay. Great. Now I'll be quiet.
29
30 **MARCOS HANKE:** Miguel.
31
32 **DIANA T. MARTINO:** Regarding the Saint Croix DAP. They recommended
33 reappointing the following members. Tom Daley, Virdin Brown, Mike
34 Fuller, David Gubser, Marcia Taylor, William Tobias, Edward
35 Schuster, Patricia Skov, Gerson Martínez, and Michael Funk.
36
37 **LOUIS ANTHONY BLANCHARD:** So moved.
38
39 **JEAN-PIERRE L. ORIOL:** Second.
40
41 **MARCOS HANKE:** Any discussion? All in favor say, aye.
42
43 **GROUP:** Aye.
44
45 **MARCOS HANKE:** Motion carries.
46
47 **MIGUEL A. ROLÓN:** Two members, Robert Thomas, and Michelle Pugh.
48 In the case of Robert Thomas, we thank him for his participation.

1 There will be a vacancy. During his position, he hasn't shown up
2 to any of the meetings. In the case of Michelle Pugh, Carlos
3 Farchette offered to talk to her about-- she's retiring, so we
4 want to make sure that she can participate and she's willing to
5 participate. Thank you, Mr. Chairman.

6
7 **MARCOS HANKE:** Thank you very much. Is that all for other business?

8
9 **DIANA T. MARTINO:** No. I still have one more.

10
11 **MARCOS HANKE:** Okay.

12
13 **DIANA T. MARTINO:** Regarding DAP for Puerto Rico, it was
14 recommended to appoint Edwin Javier Arroyo, Jose Chaar, Roberto
15 Sánchez González, And Gustavo Alejandro Cruzado Rodríguez.

16
17 **LOUIS ANTHONY BLANCHARD:** So moved.

18
19 **JEAN-PIERRE L. ORIOL:** Second.

20
21 **MARCOS HANKE:** Discussion? All in favor say, aye.

22
23 **GROUP:** Aye.

24
25 **MARCOS HANKE:** Motion carries.

26
27 **DIANA T. MARTINO:** That's it.

28

29

Public Comments

30

31 **MARCOS HANKE:** Thank you very much. We are now in public comment.
32 Is there anybody on the chat or visually for public comment. I
33 don't see anybody on the room for public comment. I saw someone
34 for public comment. I'll go with you, just let me hear from the
35 virtual.

36

37 **CRISTINA OLÁN MARTÍNEZ:** Damaris Delgado. She's commenting in the
38 chat. She says, I would like to clarify that we had five cases of
39 illegal capture of yellowfin tunas in the Northwest Coast without
40 HMS permits that were referred to agent Borges.

41

42 **MARCOS HANKE:** Noted. Thank you very much for the clarification,
43 the Damaris. Not hearing from anybody else on the chat. Julian?

44

45 **JULIAN MAGRAS:** Yeah. Julian Magras for the record. I'm going to
46 step out of my role right now to make a statement.

47

48 And I'm going to make a statement on behalf of the Saint Thomas

1 Fisherman's Association. This statement goes to Mr. Louis A.
2 Blanchard better known as Tony. Tony to the back of the room but
3 on behalf of fishermen of the U. S. Virgin Islands and the people
4 of the U. S. Virgin Islands, we would like to take this opportunity
5 to really thank you for an outstanding job that you have done over
6 the last nine years.

7
8 I worked very closely with you on a daily basis and worked here
9 with you at the table and you have worked, and you have educated
10 a lot of the fishermen, the older ones and the younger ones. We
11 know it wasn't an easy task that you went through, but you never
12 turn your eye, you never turn the cheek, you kept doing what you
13 do best.

14
15 I hope here in the future that, I know you're walking away from
16 this, but we can continue to get your knowledge and experience
17 that you have obtained over the nine years and all the years of
18 fishing. Because you seem to look at things a different way than
19 a lot of us would look at it. Sometimes we might be saying, "Oh
20 well, this is A," but you say, "Wait, we need to look at B also"
21 and it really opens up the door something that could have gone the
22 wrong way and it ended up going the right way because of the way
23 you brought it across.

24
25 So once again, on behalf of all of us from the U. S. Virgin Islands
26 I just want to say, thank you for your nine years of service and
27 I look forward to continuing working with you. Thank you.
28 [applause]

29
30 **LOUIS ANTHONY BLANCHARD:** Now, does this come with a care package?
31 [laughter]

32
33 **JULIAN MAGRAS:** A bottle of water.

34
35 **LOUIS ANTHONY BLANCHARD:** Thanks. I guess I'll take that.

36
37 **MARCOS HANKE:** Nelson?

38
39 **LOUIS ANTHONY BLANCHARD:** Thanks for recognizing the effort that
40 I put forward. Really appreciate that.

41
42 **NELSON CRESPO:** I just want to say, Tony, thank you for all the
43 support that you bring to the fishing community of Puerto Rico.
44 You've been really helpful to us. We are never going to forget
45 that. Thanks a lot.

46
47 **LOUIS ANTHONY BLANCHARD:** Thank you. Appreciate that.

48

1 **MARCOS HANKE:** Well, we are ready to adjourn. Well, we already
2 adjourned virtually, now we're going to close the meeting. Thank
3 you very much for your patience, collaboration and for being so
4 kind to the Chairman at this meeting. Thank you very much, guys.
5 The meeting is adjourned. We need the date, Miguel, for the next
6 meeting.

7

8 **MIGUEL A. ROLÓN:** August 11 and 12.

9

10 **MARCOS HANKE:** August 11 and 12. Thank you.

11

12 (Whereupon, the meeting was adjourned.)