

TABLE OF CONTENT

1  
2 Call to order and Roll call..... 2  
3 Adoption of agenda..... 4  
4 SEDAR 80 Queen Triggerfish Assessments (Puerto Rico, St.  
5 Thomas/St. John, St. Croix)–SEFSC..... 6  
6 Discussion..... 93  
7 SSC Recommendations to CFMC..... 112  
8 SEDAR–Stock Assessment Matrix–Kevin McCarthy, SEFSC..... 168  
9 AM triggered for spiny lobster in Puerto Rico: July 12–September  
10 30 2022 EEZ closure..... 171  
11 Discussion..... 174  
12 Discussion: SSC Research Plan Recommendations to CFMC..... 180  
13 Other Business..... 198  
14  
15 - - -

1 Caribbean Fishery Management Council  
2 Scientific and Statistical Committee  
3 Hybrid Meeting  
4

5 August 1, 2022  
6

7 Call to order and Roll call  
8

9 **RICHARD APPELDOORN:** All right let's get started. Thank you all  
10 for being here. This is the SSC meeting of the Caribbean Council.  
11 Today is August 1st and it is 10:09 AM. Before we get started with  
12 anything else, let's do a roll call really quick. We'll do the  
13 roll call first. We have a new group that [inaudible] will be doing  
14 the transcripts. And so we need to constantly remind them who we  
15 are as they will not recognize our voices as in the past. So  
16 Walter, would you go ahead and start us?  
17

18 **WALTER KEITHLY:** Walter Keithley, SSC member.  
19

20 **VANCE VICENTE:** Vance Vicente, SSC member.  
21

22 **MICHELLE SCHÄRER-UMPIERRE:** Good morning, Michelle Schärer, SSC.  
23

24 **JORGE R. GARCÍA-SAIS:** Reni García, SSC.  
25

26 **ADYAN RIOS:** Adyan Rios, Southeast Fishery Science Center,  
27 Caribbean Fisheries branch.  
28

29 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC Chair.  
30

31 **JUAN J. CRUZ MOTTA:** JJ Cruz, SSC member.  
32

33 **TODD GEDAMKE:** Todd Gedamke, SSC member.  
34

35 **SHANNON CASS-CALAY:** Shannon Calay, Southeast Fishery Science  
36 Center.  
37

38 **NANCIE CUMMINGS:** Nancie Cummings, Southeast Fishery Science  
39 Center.  
40

41 **KEVIN MCCARTHY:** Kevin McCarthy, Southeast Fishery Science Center.  
42

43 **GRACIELA GARCÍA-MOLINER:** Graciela García-Moliner, Council staff.  
44

45 **LIAJAY RIVERA GARCÍA:** Liajay Rivera García, Council staff. Buenos  
46 Dias.  
47

48 **IRIS N. OLIVERAS:** Iris Oliveras, Council Staff.

1  
2 **ALIDA ORTIZ SOTOMAYOR:** Alida Ortiz, OEAP Chair.  
3  
4 **MARCOS HANKE:** Marcos Hanke, CFMC Chair.  
5  
6 **NELSON CRESPO:** Good morning, everyone. Nelson Crespo, DAP Chair,  
7 Puerto Rico.  
8  
9 **JULIAN MAGRAS:** Good morning, everyone. Julian Magras, DAP Chair  
10 of Saint Thomas/Saint John.  
11  
12 **RICHARD APPELDOORN:** Okay, and who do we have on the line?  
13  
14 **LIAJAY RIVERA GARCÍA:** Okay, online, we have Cristina Olán. Carlos,  
15 we don't have a last name for Carlos. Doug Gregory. Erik Williams.  
16 Helena Antoun. Iris Oliveras. Jason Cope. Jesus Rivera Hernandez.  
17 Virginia Shervette. Julie Neer. Kathleen Howington. María López-  
18 Mercer. Nancie Cummings. Nicole Greaux. Rachel Eckley. Sarah  
19 Stephenson. Sennai Habtes. Stephanie Martinez Rivera and Tarsila  
20 Seara. That is all.  
21  
22 **RICHARD APPELDOORN:** Thank you. Graciela, do you have some  
23 announcements on how we're going to proceed?  
24  
25 **GRACIELA GARCÍA-MOLINER:** Okay, so as you mentioned, Richard,  
26 please, this is Graciela, state your name. We only need your first  
27 name. That should be enough. We do have a new company working with  
28 us on the transcription. So that includes anyone who's listening  
29 to us and who will be participating via our- via Zoom. So please  
30 speak up loudly. And we do have two sets of recordings going on  
31 right now.  
32  
33 You do have internet through the courtyard conference, so 7910404.  
34 We have a new feature that Liajay has set up for us, so anyone who  
35 wants to scanMe, you'll go directly to the federal register notice.  
36 We're working on going directly to the meeting, but that's to come.  
37 Masks are not mandatory but highly recommended because of the  
38 increase in COVID positive cases here in Puerto Rico.  
39  
40 For all the SSC members, you have all of the presentations in your  
41 Google Drive so you will have access to that. And everything is  
42 being deposited there for you to look at. And, Richard, we have  
43 your presentation as part of the- instead of the verbatim  
44 transcriptions. So if you want to do that, that's also in the  
45 Google Drive. And I need to make some changes to the agenda, but  
46 I'll wait for you to tell me to do that.  
47

1 **RICHARD APPELDOORN:** Were you suggesting that of the- that in the  
2 verbal transcriptions, I'm giving a presentation?

3  
4 **GRACIELA GARCÍA-MOLINER:** The same one that you gave to the  
5 Council. So that's the one that we sent to everyone. If you need  
6 to do that-

7  
8 **RICHARD APPELDOORN:** Well, that's a different thing. I mean, the  
9 verbal transcriptions are the verbal transcriptions which we have.  
10 No, I didn't think so. Okay. So but we will eventually have.

11  
12 **GRACIELA GARCÍA-MOLINER:** We are working on that, yes.

13  
14 **Adoption of agenda**

15  
16 **RICHARD APPELDOORN:** Okay. I don't think there's a need for me to  
17 cover what we did the last time. I think we can skip that and so  
18 we will go to the adoption of the agenda. And you had a  
19 recommendation there.

20  
21 **GRACIELA GARCÍA-MOLINER:** So a number of things have come up. Kevin  
22 will be giving us a brief presentation prior to the SEDAR 80  
23 presentation by Nancie Cummings. You will have to also look at the  
24 terms of references for SEDAR 84. We've sent you a copy of that  
25 via email and it's in your Google Drive. But we will do the SEDAR  
26 84 after you're done with SEDAR 80. So complete the tasks of SEDAR  
27 80, please, and then after that- so that can be either later today,  
28 depending on how long the SEDAR 80 conversation takes or first  
29 thing tomorrow morning. We put the SEDAR stock assessment matrix  
30 first thing in the morning so that if there is anything from today  
31 that needs to be discussed in terms of the future species to be  
32 looked at during SEDAR, that's in there. And from the Science  
33 Center, we have two updates. And that would be Stephanie Martinez  
34 which will be- Kevin?

35  
36  
37 **KEVIN MCCARTHY:** Stephanie's giving. Sorry. This is Kevin. So  
38 Stephanie's going to talk through the- where we are with the  
39 matrix. And then for our presentation I think it's in the  
40 afternoon. Rachel is going to give an update. So those will both  
41 be relatively brief.

42  
43 **GRACIELA GARCÍA-MOLINER:** Probably Sarah Stephenson will be  
44 covering the AM triggered for Spiny Lobster in the afternoon. No,  
45 in the morning of tomorrow. And those are the updates that I have.  
46 I don't have anything else. I don't know if anyone else has  
47 anything to add to the agenda, but that's-

1 **RICHARD APPELDOORN:** Go ahead, Todd.  
2  
3 **TODD GEDAMKE:** This is Todd. Richard, as you know I've requested  
4 for the SSC. We have a new member on board. Erik, I don't know if  
5 you're there, but it's good to virtually know that I'm in a meeting  
6 with you. Erik has just come on to the SSC, and I think it's a  
7 good time to re re-up a question I've had put in front of our  
8 Chair, Miguel, and the Council staff. And that is do we have a  
9 charter for the SSC? Do we have a charge? Do we have an outline of  
10 how our operating procedures work? I have made this request, at  
11 last count, eight times of the Chair, Council, and the director.  
12 And of those eight times, not one response has been made. So I'm  
13 wondering if Erik, as a new member, does- or, or JJ, others, did  
14 you have orientation material? Do you have anything that was given  
15 to you to explain what is going on in the SSC? I'm seeing no, so  
16 there's apparently nothing going on there. So I was wondering if  
17 someone from the staff could respond to that as part of other  
18 business, and even directly, let's use Erik's appointment as an  
19 example to how does someone get on the SSC, and that's my question.  
20 I've posted it numerous times via email and I would love for  
21 someone from staff to address that. Thank you.  
22  
23 **RICHARD APPELDOORN:** Thank you, Todd. So we will add that to other  
24 business. Graciela?  
25  
26 **GRACIELA GARCÍA-MOLINER:** So in addition to that, at the next  
27 Council meeting in August, it had been included, a discussion on  
28 specifically the CFMC advisory body's membership and code of  
29 conduct and conflict of interest. So in response to working towards  
30 what we need for the SSC and the other advisory panels, that's  
31 already included in the next meeting agenda for the Council.  
32  
33 **RICHARD APPELDOORN:** Okay, I think we still want to discuss this  
34 just to make sure that there is agreement between what is being  
35 asked and what you're saying is going to be discussed at the  
36 Council, and you know, what kinds of things we're thinking. I think  
37 I'm the one who's responded to you on that, and so I think there  
38 are ways to move forward on that and we can discuss those and make  
39 recommendations to the Council.  
40  
41 **TODD GEDAMKE:** I heard it getting bumped to the next meeting. Will  
42 someone address that at this meeting?  
43  
44 **RICHARD APPELDOORN:** No, no, it'll be under the other business  
45 category at this meeting for the Council's next meeting.  
46  
47 **TODD GEDAMKE:** Very good. Thank you very much, Richard.  
48

1 **GRACIELA GARCÍA-MOLINER:** Right. Graciela here, so it will be added  
2 too. It will be addressed here and you can bring your comments to  
3 the Council, and the Council has already included that as part of  
4 the agenda for the August meeting.

5  
6 **TODD GEDAMKE:** Gracias.

7  
8 **RICHARD APPELDOORN:** So with that, any other comments or changes  
9 to the agenda? Sorry, this is Rich. Go ahead, Walter.

10  
11 **WALTER KEITHLY:** Yes, Mr. Chairman, this is Walter. You may want  
12 to delete the approval for verbatim transcriptions since we do not  
13 have those.

14  
15 **RICHARD APPELDOORN:** Yes, I agree with that. Yeah, and I would  
16 point out just from- that's something that Walter can do from where  
17 he's sitting but I can't read that agenda. It's just a little too  
18 small. Unless I study it really hard, I can make out the fuzziness,  
19 but I mean, I have a copy on my computer but-

20  
21 **GRACIELA GARCÍA-MOLINER:** Do you need to see it more or-

22  
23 **RICHARD APPELDOORN:** I can read that, yeah, but we should go back  
24 to like page one.

25  
26 Okay, so without further changes I believe we're going to go to  
27 Kevin now. So if your presentation is ready for the screen, take  
28 it away.

29  
30 **SEDAR 80 Queen Triggerfish Assessments (Puerto Rico, St.  
31 Thomas/St. John, St. Croix)—SEFSC**

32  
33 **KEVIN MCCARTHY:** Thank you. Good morning, everyone. This is Kevin.  
34 I just wanted to go over a couple of slides before Nancie starts  
35 with her presentation for your review of the SEDAR 80 Queen  
36 Triggerfish stock assessment for Puerto Rico.

37  
38 Next slide, please.

39  
40 So just a couple of notes to bear in mind, and I think as time  
41 goes on, you're going to start to see, as a group, a lot of stock  
42 assessment, right? So every time we do an assessment, every SEDAR  
43 is going to be three stock assessments. One per island. So, at  
44 some point during this meeting, we'll have to decide how we and  
45 when we present the results for the two Virgin Island stock  
46 assessments for Queen Triggerfish. So we'll go through Puerto Rico  
47 today and then we'll talk about when we- you know, how and when we  
48 can present the Virgin Island ones. But one of the things I want

1 to kind of stress is, right now, as you all know, except for Spiny  
2 Lobster, everything is managed based on a time series of landings  
3 and expert opinion. You know, where up above or below, the mean  
4 landings for that time period. So we think what we're doing now  
5 with these stock assessments, data-limited though they are, is a  
6 step forward in management advice. So just something to think about  
7 as you review this assessment, that we think it's a solid  
8 assessment and we think it's an advancement. So just putting that  
9 out there for your consideration.

10

11 So next slide, please.

12

13 This is also a good opportunity to start to develop sort of  
14 standard practices. How long is it going to take us to review one  
15 of these things, right? So every time we do it, again, there'll be  
16 three. So as we move forward, thinking about agendas and that sort  
17 of thing for this group. When we come in, as we will, at, I think,  
18 well, we're shooting for your November-December meeting to have an  
19 updated Spiny Lobster. There are going to be three stock  
20 assessments there, so we've got to think about what, you know,  
21 what kind of time is needed in this meeting to get through all of  
22 that. So we'll learn a lot about that today. You've seen the Spiny  
23 Lobster assessment. It's an update. We won't change anything, so  
24 that may go a little quicker, perhaps than a new stock assessment.  
25 But nevertheless, it takes a while to get through the material as  
26 you'll see today, so just as we're going through the process today,  
27 I think it's going to be a good learning experience for all of us  
28 what kind of time and what kind of, you know, how we fit it into  
29 future agendas.

30

31 Next slide.

32

33 One of the things I want to put out there, because often times  
34 during these reviews, new ideas come up. Maybe you'd want to  
35 request some additional analyses, and we certainly welcome that,  
36 but I want you all to be aware of the limitations that we're going  
37 to place on our assessment biologists, in that we don't want to  
38 rush through anything. If it's simple, if we've got time to review  
39 it again tomorrow, great, we'll do it. We'll do it while we're  
40 here, but if it's a significant change or a significant amount of  
41 analyses, I'd rather arrange for a future date to review that. We  
42 already have to meet again for the Virgin Islands work because we  
43 don't want to rush. First of all, we don't- I don't want Nancie  
44 working all night, and it's really easy when you're trying and  
45 rush through something - these are very complicated analyses - to  
46 make an error when you're rushing. So I'd rather not do that, but  
47 if it's simple, you know, straightforward stuff that we can get  
48 done while we're here, we certainly welcome those. And we welcome

1 any sort of suggestion you have for additional analyses. We can  
2 certainly talk about it and again, if it's complicated, we'll put  
3 it forward at a future meeting.

4  
5 Next slide.

6  
7 So you'll see, as Nancie goes through, her presentation, there are  
8 sort of sections. You know, there'll be a data section, and then  
9 there'll be a modeling section. At the end of each of those, I  
10 think it's the best time for questions just for efficiency's sake.  
11 So she'll go through the data.

12  
13 Next slide.

14  
15 You'll see a slide that's colored, you know, that's this blue  
16 color. That'll be the break, and I think that's the best time for  
17 questions. If we stop and question each slide as we go, I think  
18 it's going to take forever to get through the presentation. So my  
19 recommendation is hold questions until the break in each section.  
20 Unless there's something that, you know, doesn't make sense and  
21 you need clarification in order to move forward. But I think it'd  
22 be best if we just went in, in stages otherwise, we can- being on  
23 this committee for a while, I know how we can go down a rabbit  
24 hole sometimes. So, I think that'll be the most efficient way  
25 forward. And that's all I really had and then I'm happy to turn it  
26 over to Nancie.

27  
28 **RICHARD APPELDOORN:** All right, switch. Thank you, Kevin. I have  
29 a comment on your comments. I think you're right to emphasize that  
30 we're starting what we hope will be a new era. This is assessment  
31 number two, if you would count species so Spiny Lobsters and now,  
32 Queen Trigger. For the people on the committee who had been here  
33 a while, we have gone through the whole process of learning how to  
34 do these, not just with the data-poor methods but also the  
35 management strategy evaluations, etcetera. And so we're still  
36 learning those things. So, on the one hand, while, yes, we want to  
37 get an idea of how long this will take I think as we go through  
38 this those review periods should hopefully, become a little shorter  
39 because we will build up familiarity with the methodologies and  
40 things like that. But at the moment, like I said, this is number  
41 two. We're not going to be there quite yet, and I assume there  
42 will be lots of questions. Well, there'll be lots of breaks. I  
43 think that's my first question other than, as you said, if there's  
44 something that is not clear that would keep us from moving forward,  
45 we can ask those questions at that time. So, I'm really looking  
46 forward to this. As I said, it's a new era, and hopefully, this  
47 will put us on a much more solid footing as we're thinking about  
48 what's the status of our stocks are overall. And each new species

1 gives us a different window into that. It's not, you know, looking  
2 at this by species by species, but obviously, the fishery doesn't  
3 operate that way, and we're going to learn a lot through this. So  
4 thank you, Kevin. And, Nancie, if you're ready. Well, wait. Todd  
5 has a question?  
6  
7 **TODD GEDAMKE:** Yeah, just before we get into the PowerPoint  
8 presentation, just a request. Could I get a copy of the control  
9 file and the that file so I can look through that?  
10  
11 **NANCIE CUMMINGS:** The slide. Yes, you can.  
12  
13 **GRACIELA GARCÍA-MOLINER:** Wait, Nancie, you need to use the  
14 microphone. But do you want a copy of the presentation, Todd?  
15  
16 **TODD GEDAMKE:** Excuse me?  
17  
18 **GRACIELA GARCÍA-MOLINER:** Do you want a copy of the presentation?  
19  
20 **TODD GEDAMKE:** Shannon's got me under control. Thank you.  
21  
22 **GRACIELA GARCÍA-MOLINER:** It's on your Google Drive, it should be.  
23  
24 **NANCIE CUMMINGS:** Right. The presentation is in the Google Drive.  
25 I think it's a PDF. So, Graciela, it's going to be in front of me.  
26 In front of me. This is a new process. I think they're trying a  
27 system that-  
28  
29 **GRACIELA GARCÍA-MOLINER:** So Nancie's going to be our Guinea pig  
30 with a new feature that just came up in Zoom. So let's see if that  
31 works, so she should-  
32  
33 **LIAJAY RIVERA GARCÍA:** Nancie, are you connected to the web browser  
34 or [inaudible]?  
35  
36 **NANCIE CUMMINGS:** We can't have the platform on our machines.  
37 There's no one employee.  
38  
39 **LIAJAY RIVERA GARCÍA:** So I do not think-  
40  
41 **NANCIE CUMMINGS:** So then I have to present from my machine?  
42  
43 **LIAJAY RIVERA GARCÍA:** So maybe if you want to share your screen  
44 [inaudible]?  
45  
46 **NANCIE CUMMINGS:** No, I would rather be able to- I don't want to  
47 say next slide.  
48

1 **LIAJAY RIVERA GARCÍA:** So I'll send you [inaudible].  
2  
3 **NANCIE CUMMINGS:** That actually works better because then I don't  
4 have to [crane?] my neck that way. Ahem, excuse me. So apologies.  
5 Nancie Cummings here, and I'll be presenting in a moment as soon  
6 as they give me control.  
7  
8 **LIAJAY RIVERA GARCÍA:** So you should be able to present-  
9  
10 **NANCIE CUMMINGS:** Okay. Let's see what happens. This is- okay, so  
11 are you seeing my screen right now? Let me move this slide. Yep,  
12 that's not working yet. Let me just check and see if she's made  
13 me- I'll go to the participants' window. I'm a co-host, so I should  
14 be able to share to screen shortly.  
15  
16 **GRACIELA GARCÍA-MOLINER:** Here you go.  
17  
18 **NANCIE CUMMINGS:** I'm going to put a different slide. So apologies  
19 for those on the line. We'll be beginning in a moment as soon as  
20 we get a couple of IT things worked out.  
21  
22 **LIAJAY RIVERA GARCÍA:** Okay, so do we have it on full screen? The  
23 PowerPoint?  
24  
25 **NANCIE CUMMINGS:** I can but I just want to move it to-  
26  
27 **GRACIELA GARCÍA-MOLINER:** [inaudible]. Go back.  
28  
29 **NANCIE CUMMINGS:** No, I did. I did. I did. New share?  
30  
31 **LIAJAY RIVERA GARCÍA:** Yeah.  
32  
33 **NANCIE CUMMINGS:** It should be right here under tasks. Yeah. Okay,  
34 so let's see.  
35  
36 **LIAJAY RIVERA GARCÍA:** Yep, there you go.  
37  
38 **NANCIE CUMMINGS:** Okay, great. Okay. Thanks, so let me just get  
39 rid of this over here. Oh. Okay. So, I'm in presentation mode. So,  
40 again, Nancie Cummings, Southeast Fishery Science Center. I'm part  
41 of the assessment group, and I just want to- this presentation is  
42 put together by myself and also with input from Adyan Rios and  
43 Shannon and Kevin. I apologize. So, this stock assessment under  
44 the SEDAR process (Southeast Data Assessment and Review process)-  
45 for Queen Triggerfish and it's for the island of Puerto Rico. I  
46 want to acknowledge the input particularly of Adyan Rios and  
47 Shannon Calay and Kevin McCarthy and all the data providers  
48 throughout the process.

1 So very quickly, an outline of what you'll be hearing will be a  
2 very brief overview of SEDAR 80, inputs regarding the data, the  
3 base model development, fits and results, diagnostics used to  
4 evaluate the base model. And those diagnostics included two types  
5 of examinations that we'll go into more depth in terms of what  
6 they are and what they mean. That's a general analysis and some  
7 profiles that we've done examining influence of various data inputs  
8 on model results. And then we'll talk about benchmarks, the stocks  
9 status as determined from this preliminary base- this base model.  
10 And then finally, we'll go into the initial setups for the  
11 projections, meaning projecting what the catch limits would be the  
12 harvest limits- the harvest amounts or quantities, the setting for  
13 those projections and the results. And then finally, in the  
14 process, we'll be talking about- there will be- at the end of the  
15 assessment session, there will be a slight discussion on the  
16 research- on the discussion of the analysis as well as  
17 uncertainties and so forth. And then finally, we'll finish with  
18 research recommendations. On the right-hand side of this slide,  
19 I'm just giving you the title, sort of a visual of the title page  
20 of the assessment.

21  
22 In terms of an overview. The SEDAR 80, it's an operational  
23 assessment, and it was carried out through the process- The new  
24 development of the operational assessments under the SEDAR process  
25 includes in this new set a series of working group- excuse me,  
26 topical working groups. And for each assessment that is determined  
27 to be by SEDAR and the Council's and the Southeast Fishery Center,  
28 determine to be an operational assessment under the new process.  
29 You can have up to X number of topical working groups. They would  
30 be discussing- there would be sessions that are going to be set up  
31 to discuss certain important elements and processes regarding the  
32 species and the assessment. And for this assessment, we had three.  
33 We had a life history topical working group, indices of abundance,  
34 relative abundance indices, as well as fishing behavior and  
35 retention and selectivity workshop. Also, the later workshop,  
36 topical working group, dealt with economic- some discussions of  
37 economic concerns.

38  
39 The work that was conducted for SEDAR 80 has been described in 11  
40 working papers. There are an additional 18 reference documents.  
41 These are published outside of the SEDAR process. Most of them  
42 were. There may be some that were also previous reports that were  
43 done for SEDAR 30 and also for SEDAR 46. So, those are a collection  
44 of documents, and they're a reference in our stock assessment  
45 report. And I've also given you the link to those.

46  
47 Just as a very, very quick overview, this is a slide- I'll try to  
48 set up each slide for you so that you will know what the slides

1 are about. So, on the top right panel is what we refer to as a  
2 Kobe, Kobe matrix visual graphic. So basically, it's giving you,  
3 on the X-axis, what the biomass per- in the year of the data point  
4 to the biomass- a ratio of the biomass at SPR30 is. And on the Y-  
5 axis is the fishing mortality rate in a year. Each of these is a  
6 general year, and you'll see we've identified the 2019 point. This  
7 would be the fishing mortality in 2019 over the fishing mortality  
8 that's estimated to be at SPR30. And this is just to give you a  
9 sense of the stock status in 2019 is. And the same, similarly, the  
10 colors mean something regarding the status, but we can go into  
11 those later in the results.

12  
13 The bottom graphic is a similar slide, but each of these is just  
14 put into,- you actually just have the points here, and so we  
15 started the Puerto Rico model starts in 1983 and so the ending  
16 point is 2019. And so you see that the sort of green line or the  
17 F-trajectory. We refer to this as a trajectory because it's being  
18 trajected over time of the fishing mortality to the metric, the  
19 benchmark metric. And similarly, the biomass in a year, for  
20 example, 1983 to the biomass ratio at SPR30.

21  
22 The approved SEDAR 80 Queen Triggerfish base model, was developed  
23 with data up through 2019. Where practical, the base model used  
24 the same data sets as SEDAR 30 and SEDAR 46 and we updated those  
25 time series as necessary. For example, we updated the catch time  
26 series. And also, we updated and reviewed extensively the length  
27 compositions. The SEDAR 80 assessment, it also included new data  
28 not available for the SEDAR 30 and 46 evaluations, and it had  
29 additional model parameterizations that impacted- obviously, that  
30 impacted the assessment results. For example, the new data. There  
31 was a new index not previously available to us, and that was  
32 developed from the National Coral Reef Monitoring Program. That's  
33 referred to in the model- in the- in this talk as the NCRMP,  
34 National Coral Reef Monitoring Program visual census survey index.  
35 We also included a newly developed index from the commercial  
36 fishery representing the trap fleet. You'll hear later that we  
37 also tried to develop one for the dive fleet. We also incorporated  
38 the modeling characterization of the size composition that was  
39 referred to in the stock synthesis model as generalized size  
40 composition modeling. Because we had different size of the bends  
41 that was necessary to characterize the RV- the visual census data.  
42 They were different than the composition from the trap data.

43  
44 The base model found that Puerto Rico Queen Triggerfish stock was  
45 experiencing moderate levels of exploitation at the beginning of  
46 the time series, as shown. As you can visualize on this this lower  
47 graphic here. The base model found that Puerto Rico Queen  
48 Triggerfish was not undergoing overfishing because it is below

1 1.0. That ratio that I showed you before, I talked to you about,  
2 and that it's not overfished in 2019. In other words, the ratio of  
3 the biomass, estimated biomass from the model, to the biomass at  
4 the 30% SPR metric is greater than 1. However of note is that  
5 increases in fishing mortality have been observed since 2017,  
6 nearing the level of overfishing. And the SSB has decreased  
7 substantially in the last six years. So very quickly, without going  
8 too far into results, just to let you know that over the past three  
9 years, we've seen increases in F as estimated by the model and  
10 declines in stock biomass.

11  
12 And I just want to refer you to the SEDAR 80 the terms of reference.  
13 You have those in the project folder, if you would go to your SEDAR  
14 30- I mean, excuse me, SEDAR 80 the website and you go to the  
15 project schedule, then you will see these terms of reference. Very  
16 quickly, we're not here to discuss these, but just to say that we  
17 have five, developed a model reviewed the data inputs, and provide  
18 tables and figures of the various inputs, landings, catches,  
19 length/age compositions, life history metrics. Where possible,  
20 consider potential for improvements in the model in terms of  
21 updating the life history characteristics, updating the life  
22 history characteristics- characterized selectivity by gear where  
23 possible. Consider development of one or more index of abundance.  
24 And it was very explicitly laid out that we were asked to develop  
25 a length composition, I would say, set a time series from the coral  
26 reef monitoring visual survey data.

27  
28 Finally, under four and five, this gets more into the outputs of  
29 the model, and that is we want to know what the status is given  
30 the benchmarks that we've been asked to look at. And then where  
31 possible develop projections, and that's- that was referred  
32 sometime- often as the overfishing limit projections; calculations  
33 that are required under the Magnuson-Stevens Act.

34  
35 So please if I talk too fast, let me know. Just kind of give me a  
36 heads up or something. You can wave at me or something. I do have  
37 a tendency to talk fast. And also, because I realize and I respect  
38 that the SSC is under time guidelines.

39  
40 So the stock management and the boundary in terms of what's being  
41 used for this assessment, this evaluation. For management  
42 purposes, there are separate annual catch limits and  
43 accountability measures that are maintained for these three  
44 separate U.S. Caribbean stocks. That's Puerto Rico, Saint Thomas,  
45 and Saint Croix. As you know the Puerto Rico and the Saint Thomas  
46 area, they're on the same one geological platform, but we do have  
47 different management regulations. Stock demographics were  
48 summarized by Saillant et al and also Shervette and Rivera-

1 Hernandez indicating there is high connectivity across the region  
2 with no isolation detected for fish sampled from waters throughout  
3 the U.S. Caribbean. And that was through a dissertation from Antoni  
4 2017. I just want to really quickly; this is a plot and I think  
5 it's from the island-based fisheries management plans. These are  
6 the jurisdictional boundaries of- so we can see the Puerto Rico  
7 and Saint Thomas regions are on the same platform. And Saint Croix  
8 is on a neighboring platform and it's separated by a very large  
9 trench.

10  
11 So to give you a little bit more history or background rather on  
12 the stock range and in terms of the structure, not just the  
13 management. We know we have three separate management  
14 jurisdictions, but in terms of this population structure, the  
15 connectivity, and the phylogeography of- I'm not sure what this is  
16 here. Oh yes, of two Balistidae with high potential for larval  
17 dispersal. Queen Triggerfish is documented homogenous distribution  
18 of genetic variance across the range. The sampled areas, this is  
19 from the study of that- from Antoni. The sampled areas are  
20 indicated in the squares here in blue, and we realized it was  
21 determined rather through the study that there's high connectivity  
22 across the region. The recruitment is very dependent on larval  
23 dispersal from basically 100, you know, kilometers through  
24 thousands of kilometers. The U.S. Caribbean, there's no isolation  
25 that was detected. It's a single homogenous population. And then  
26 of course, again, this information was from the dissertation study  
27 of Antoni.

28  
29 The assessment history. In previous years, there is the lack of  
30 sufficient information to conduct traditional stock assessments.  
31 It required managers to implement various procedures such as  
32 scalars of landings, such as what's done through the only reliable  
33 catch series, Berkson in 2011, and then Carruthers et al., 2014.  
34 And then in terms of management strategy evaluation that we did  
35 for Saint Thomas on Queen Trigger. The SEDAR 80 stock evaluation,  
36 we went a different angle. We went out, specifically trying to use  
37 a more,- an integrated stock assessment model which would allow us  
38 to employ, - I don't want to say attitude - utilizing as much of  
39 the data as we could in a very rigorous and complicated statistical  
40 evaluation. And so that was in the sense that we wanted to get  
41 away from just using landings histories. We wanted to be able to-  
42 very quickly here, I'll finish this. But we wanted to be able to  
43 use not just the landings data but the other components that were  
44 available to us. We've gone a few more years since these earlier  
45 assessments, and so we wanted to say, "Let's try to use the  
46 composition data. Let's try to go back and relook at those  
47 commercial reports and see if we can identify an appropriate  
48 abundance index and then use the new data."

1  
2 And so just quickly this table shows you that for the stock, Puerto  
3 Rico, Saint Thomas, or Saint Croix, the previous methods that had  
4 been used- and they were the main length estimators and then the  
5 reference to those. And so, you know, these are the- under methods,  
6 these refer to a statistical model that was used. The models that  
7 have been used to develop the annual catch limits were based on  
8 just catches, so these were certainly improvements as well. Okay,  
9 so this is just a quick place to take- so hopefully, you've gotten  
10 a sense of where we are and where we're going.

11  
12 So the next segment is going to be just an overview of the data-

13  
14 **RICHARD APPELDOORN:** The method- sorry.

15  
16 **NANCIE CUMMINGS:** Yes, sir?

17  
18 **RICHARD APPELDOORN:** Just a couple of questions- and maybe this  
19 isn't- because I know this was kind of an introductory thing, but  
20 this is where the question popped out. So you're using a lot of  
21 different data now in addition to what catch trends were like we've  
22 done in the past. But the catch trends were also integral to the  
23 analysis, so I am asking whether, for Puerto Rico, the 2005 data  
24 were used or not. Because that's been a problematic issue with us.  
25 I think because we feel the correction factor for that year was  
26 biased coming out of the East Coast which started the whole annual  
27 thing.

28  
29 **NANCIE CUMMINGS:** Right, thank you, Rich. Yeah, thank you very  
30 much. And yes, the 2000 data were- 2005 were used. And we took the  
31 approach to using the decision that was made for Spiny Lobster in  
32 terms of the expansion factor that was applied. So that was- that  
33 would have been a- I believe that was a revised expansion factor.

34  
35 **RICHARD APPELDOORN:** The other question I had was, again, you gave  
36 it as an introductory thing so we'll come back to it, but you  
37 described F as being moderate in 1983. The graph showed it was  
38 pretty darn high. So, the term moderate, that kind of threw me  
39 there.

40  
41 **NANCIE CUMMINGS:** Thank you. Yeah, so before we want to go into  
42 results at this point, but, yeah. And that's- I don't want to say  
43 it's semantics, but, yes, it's high. So we can talk about that.

44  
45 **RICHARD APPELDOORN:** Well, yeah, I guess there's an absolute scale,  
46 a relevant scale in that-

47

1 **NANCIE CUMMINGS:** And this is a ratio, yeah. That's not the actual  
2 level of that which you see.  
3  
4 **RICHARD APPELDOORN:** No, no, I understand it's a ratio. It's a  
5 ratio, you know, amount above whatever  
6  
7 **NANCIE CUMMINGS:** Right. Yes.  
8  
9 **RICHARD APPELDOORN:** Nelson.  
10  
11 **NANCIE CUMMINGS:** But just let me- may I- if I may finish.  
12  
13 **RICHARD APPELDOORN:** Okay, go ahead.  
14  
15 **NANCIE CUMMINGS:** Thank you. That's an excellent- it is a ratio.  
16 We'll get into those absolute scales, but I would say that we  
17 probably want to go through the data and show- get to see where we  
18 got- how we got there.  
19  
20 **RICHARD APPELDOORN:** Yeah, just so- just a reminder to address  
21 that when you get to that point in the presentation.  
22  
23 **NANCIE CUMMINGS:** Yes.  
24  
25 **RICHARD APPELDOORN:** Okay, Nelson, you had a question?  
26  
27 **NELSON CRESPO:** Okay. Thank you, Mr. Chair. I'm curious because  
28 Queen Triggerfish is not a high-demand species in Puerto Rico like  
29 snapper or grouper or lobster. How do you see a high mortality  
30 with the lack of port samplers we have and the lot amount of this  
31 species. I know everybody knows that many fishermen also are moving  
32 to do other type of fishing.  
33  
34 **NANCIE CUMMINGS:** So, thank you, Nelson, for that question.  
35 Regarding, "do we see a high mortality?" could you repeat your  
36 question? And then I have-  
37  
38 **NELSON CRESPO:** Yeah, how do you observe high mortality if the  
39 Queen Triggerfish is not a high-demand species? We don't have as  
40 many port samplers that can, you know, corroborate the landings.  
41 In the island, we only have two port samplers for the whole  
42 islands.  
43  
44 **NANCIE CUMMINGS:** Thank you. Thank you very much. So I'm going to  
45 very quickly without getting into all of the- we don't- it's nice  
46 to get into the results before we've actually gotten to the data  
47 because that's- we can move through real quick. But we had that  
48 really interesting topical working group webinar instead of- it

1 was that three-day webinar, and it was per island. And we heard  
2 repeatedly in there what you just told us, that Queen Triggerfish  
3 it's not a targeted fish. And after discussions that we had- I had  
4 one on one with samplers and also the previous director, DNER in  
5 Puerto Rico. You catch Queen Triggerfish whenever you go lobster  
6 fishing, you know. I mean, it's an indirect by-catch. So, to answer  
7 your question, the way we get the mortality rate is through the  
8 calculations of using of the components that we took into the model  
9 to catch data. The removals are a reflection of exploitation, and  
10 so, yes, we realized that they're not targeted. And we've also  
11 realized that we have some issues and uncertainty in the catch. So  
12 those levels of exploitation have some uncertainty in them. And  
13 so, it's all the components added together, the catches, i.e., the  
14 landings, the indices of abundance, and the size compositions. If  
15 like in the ordinary landings' calculations of removals, if you're  
16 just using landings, then they're going to give you what your  
17 assumed ideas or relative F, measures of exploitation is. In this  
18 case, the relative measures of exploitation are coming from a  
19 combined analysis of all these parts. So, in a moment, you'll see,  
20 as we go through, you're going to see the different parts: the  
21 landings, the catches, the compositions, and the indices. So you'll  
22 be able to see for yourself, in some level, some idea, and get a  
23 sense of the uncertainty.

24

25 May I continue?

26

27 **RICHARD APPELDOORN:** One more question from Julian and then from  
28 Todd. And since this is actually, you know, she just kind of  
29 presented a summary, we will be going through a lot of the details  
30 later in the day. So, keep that in mind when you ask your questions.  
31 Go ahead, Julian.

32

33 **JULIAN MAGRAS:** Yes, thank you, Mr. Chair. Nancie, can we go back  
34 to the slide that was up before with the graph? I think it was the  
35 first slide. Yes. So I, you know, I know this is Puerto Rico, but  
36 it always draws my attention when I see we use the word,  
37 overfishing. It might be nearing the level- we're going down to  
38 the last- we're going down to the last paragraph. From 2017, you've  
39 seen an increase in the harvest of what's being landed. And, you  
40 know, our markets are market-driven fisheries. Puerto Rico don't  
41 really sell all [white?]. You know, I would like to see where it  
42 sits in the top species caught in Puerto Rico. A little market is  
43 being created where there is a certain size of fish, especially in  
44 Puerto Rico, that is being landed that can be sold. So we're  
45 different in Saint Thomas/Saint John shelf. So it just draws my  
46 attention when we start to use the word, overfishing, or maybe  
47 headed that way because due to the fact that it wasn't harvested  
48 before and now a market is being created for it. We need to really,

1 really look at, maybe these numbers are tending to go up because  
2 there's a market being created and it's becoming a demand before  
3 we go into the area of overfishing. And then, in another slide,  
4 you had some of the studies that were done in the U.S.V.I. and  
5 Saint Croix. And just a note, there is a study out there also on  
6 the Queen Triggerfish that was done by the Saint Thomas Fisherman's  
7 Association under Dr. Olsen, where we collected a lot of the  
8 different sizes of that species. So I just want to put it on the  
9 record, so maybe you can pull that information up also. Thank you.

10  
11 **NANCIE CUMMINGS:** Thank you very much, and when we move to Saint  
12 Thomas and Saint Croix in the few months or whatever, then that  
13 information will come in, but thank you. And I would like to thank  
14 you for giving us that new information regarding the new market  
15 that may be developing in Puerto Rico.

16  
17 **RICHARD APPELDOORN:** Todd?

18  
19 **TODD GEDAMKE:** Mine's a broad-based question on this. I think Kevin  
20 said that you take- you guys are taking a different tact on this  
21 and just with going through a statistical catch-and-age model and  
22 going through a different route on it. The word, complicated, was  
23 used two or three times by both of you. Can you explain the decision  
24 to go more complicated given the fact that the data are basically  
25 as uncertain and complicated as they were in previous years?

26  
27 **NANCIE CUMMINGS:** Okay, so thank you. These are great questions,  
28 by the way. And I'm thrilled to get them. I think Adyan, she's-  
29 but I have- I have some responses that I think my division chief,  
30 also she maybe has some input she wants to make. And I apologize  
31 if that wasn't true but basically, the terms of reference have  
32 asked us- and I'll just go back to that. We got our marching  
33 orders, as my mother would say, from our terms of reference. And,  
34 you know, we were asked to use the old- as much of the data  
35 previously had been used and updated. Obviously, there's sometimes  
36 corrections to data. Sometimes, there's whole replacements of data  
37 sets or where are edits to the length data. But we were asked to  
38 consider a new set of data, the NCRMP data. And I apologize, I  
39 don't want to use acronyms if that's not okay with you guys, but  
40 we were asked to use that set of information. It had not been  
41 considered before, and we were also asked, where possible, to  
42 consider obviously the updates to the life history but also can we  
43 try to parameterize selectivity models? So that, in and of itself,  
44 says try to use some more compli- not necessarily- I don't want to  
45 say complicated, but they are more complicated. To try to use  
46 additional analysis. It doesn't mean that we would not go back at  
47 some point and also look at the mean length estimator again. Any-

48

1 **RICHARD APPELDOORN:** Yeah. I think, Shannon, has a comment.  
2

3 **SHANNON CASS-CALAY:** Yes, thanks. So we have tried a number of  
4 different approaches over the years with Caribbean stock  
5 assessments, and, you know, the difficulty always was how do you  
6 most easily get the catch advice from these different approaches.  
7 And so years ago, we worked very closely with Jason Cope and a few  
8 other folks who are involved in the data limited stock assessment  
9 literature, and came upon a recommendation to try this with a  
10 simple SS configuration. And essentially, this configuration of  
11 stock assessment is quite data limited. Essentially, it uses length  
12 composition data, catch, and indices of abundance, and information  
13 about the life history. So we'll review all of that data here  
14 shortly. The advantages of this approach is that we can directly  
15 estimate selectivity of the fisheries. If there were changes in  
16 management, we could directly time-block SS so that we could  
17 accommodate those changes in management. And it produces the OFL  
18 and ABC that, through your control rule, you can use to create the  
19 catch recommendations. So it's by no means the only approach. There  
20 may be other approaches considered in the future. There may be  
21 other management scenarios in the future that don't require a catch  
22 advice, for example. That require something like rate-based  
23 approaches, which opens up another suite of tools. And so this is  
24 simply our most convenient way to produce the catch advice needed  
25 for the tiered controlled rule, but it's not the only approach  
26 that could be taken.  
27

28 **NANCIE CUMMINGS:** So, thank, thank you, Shannon. So I'll just say  
29 one more thing, and that is, it's an integrated model. So it does  
30 allow us- it's very time-consuming, but it also allows us to use  
31 all the data in combination and the processes are interrelated.  
32 And it also allows us to incorporate uncertainty in terms of, you  
33 know, in the modeling. Thank you, Rich.  
34

35 **RICHARD APPELDOORN:** Yeah, Todd?  
36

37 **TODD GEDAMKE:** Okay, so just, just to make sure I get it. In terms  
38 of reference, they told you to use this, and you get the outputs  
39 that you need. My question was what are the data as- are there  
40 data differences that shows this, or is that simply a procedural?  
41 Because the data, you know, and Shannon, I mean, this basically  
42 reduces it to a mean length estimator for all practical purposes.  
43 For anyone that is going to be confused by black box, this is  
44 basically a mean length estimator with tuning based on these other  
45 factors in there. So you got catch, CPUE, life history. These are  
46 basically all of the things that were evaluated in all the previous  
47 SEDARs. And CPUE, for example, in one case was neglected or negated  
48 during one of the SEDARs because we weren't able to get it and do

1 it. So I'm just in- this is my fear and what I feel my job here is  
2 to pick through SS for those that are not familiar with the black  
3 box on this, and make sure that, that these pieces are looked at.  
4 So were there- I mean, you got the NCRMP, which we'll talk about  
5 later. But your catch, CPUE, life history, are these- I mean,  
6 Shervette has done a lot. So my question just is in the other data  
7 components, was there more confidence in the catch series? Was  
8 there more confidence in the CPUE? Was there a new technique or  
9 something, or were these put in and we'll go look at those? Thanks.

10  
11 **NANCIE CUMMINGS:** I would just say that, at this point, that-  
12 again, these are great, stimulating questions. And I sort of just  
13 like to get to show you that. I mean, I'd love to just show you  
14 that, and then it's up to the experts on the SSC, the know- you  
15 guys have the knowledge and to do this, to let us show you what  
16 we've looked at and done and what has changed and what has not  
17 changed, and then you make your judgment. If that's sort of a, a  
18 fair- to me, that's a fair way. It's a good path forward.

19  
20 **TODD GEDAMKE:** My question still stands, Nancie. Are you going to  
21 answer it or are we going to- or should we just move on?

22  
23 **NANCIE CUMMINGS:** I think I have answered it, but Shannon?

24  
25 **SHANNON CASS-CALAY:** Well, we will be going through each of these  
26 data inputs and, you know, specifically and you can look at the  
27 data inputs and the way that they were used. If they were asking  
28 about whether- are you- well, are you asking about- what is  
29 specifically your question, Todd?

30  
31 **TODD GEDAMKE:** My question was what differences in the data put  
32 you down this complicated, complicated, complicated, repeated  
33 road?

34  
35 **SHANNON CASS-CALAY:** So largely, there were new source of  
36 information that became available. You know, we have an index of  
37 abundance now that was not available in the past. In fact, we have  
38 two. We have length, length frequency information from Virginia's  
39 study that, you know, was not available to us, not in the quantity,  
40 certainly, in previous assessments. So there is a big improvement  
41 in the data availability. And the stock synthesis framework allows  
42 us to use all of that data, and also new information that becomes  
43 available in the future can be directly integrated into the stock  
44 synthesis. It is not very- it's an extremely simple configuration  
45 of stock synthesis that does boil down, in this case, largely much-  
46 very similar to what would be used in a mean length estimator. The  
47 advantage here is the direct ability for us to make projections  
48 and get the management advice and the catch recommendations

1 required under Magnuson, which was extremely difficult to do at  
2 the data-limited approach we had used in the past. Because we  
3 had presented several to this SSC, and although they were accepted  
4 as stock assessments, they were not directly used to create the  
5 management advice. The management advice remained catch-only based  
6 on the recent landings history alone. So it's procedural largely  
7 to move to stock synthesis. Like any catch-and-age model, it's  
8 going to be a little bit more complicated and a little bit more of  
9 a black box, but I can assure you that as stock synthesis models  
10 go, this one is configured very simply. And we can look at each  
11 one of the assumptions we've made. And Nancie has- you know, will  
12 look at those conversations in her presentation.

13  
14 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, please say your name. We have  
15 a new group transcribing. They don't know you yet, so say your  
16 name. Second, you have a comment by Jason and I think that Erik  
17 raised his hand. So all SSC members can unmute themselves, but  
18 please raise your hand and I'll let you know by doing this.  
19 Richard, look at me. That you have someone online.

20  
21 **RICHARD APPELDOORN:** Okay. We had comments online from Jason and  
22 Erik, you're saying? And then after that, we'll be running. Okay.

23  
24 **GRACIELA GARCÍA-MOLINER:** Yes.

25  
26 **LIAJAY RIVERA GARCÍA:** Jason's comment is this approach also makes  
27 explicit assumptions being made which aids in exploring  
28 uncertainty.

29  
30 **GRACIELA GARCÍA-MOLINER:** And you have Erik on the line too. I  
31 think he wants to-

32  
33 **LIAJAY RIVERA GARCÍA:** And Erik Williams has a raised hands. Erik?

34  
35 **GRACIELA GARCÍA-MOLINER:** He can unmute himself.

36  
37 **ERIK H. WILLIAMS:** Yeah, can you- can you guys hear me?

38  
39 **RICHARD APPELDOORN:** Yes.

40  
41 **ERIK H. WILLIAMS:** Okay, yeah. I was just you know. Hello all. new  
42 member here. glad to be aboard and glad to be a part of this. And  
43 I realize you guys are getting the first taste of an integrated  
44 assessment in this region. And I appreciate all the concern and  
45 comments about what, you know, what to do with these kinds of  
46 models. I would say - and I think Jason just said it - you know,  
47 one of the ways in which the stock assessment world is headed is  
48 to use these integrated assessment models even when you have very

1 simplistic data. And as Todd mentioned, you know, this almost does  
2 boil down to a mean length estimator in some ways. But the  
3 advantage, I think, as Jason was sending towards, is that it forces  
4 you to be more explicit about all the hidden assumptions that  
5 normally go into, say, something like a mean length estimator. And  
6 that's the power of these integrated assessment models. It seems  
7 to be the trend in modeling now, to do that, to be more explicit.  
8 And then it forces you to explore all those things that you were  
9 fixing, and you're setting, and you're making assumptions about.  
10 You can then explore those to see if your assumptions are correct  
11 or what impact they have. So, I think you know, this is a shift in  
12 direction that the whole assessment world is headed frankly.

13  
14 You know, another example, just to give an example, is production  
15 models, which you use just catch and index information. It used to  
16 be used a lot, but now most folks are steering away from those and  
17 actually putting catch and index information into these integrated  
18 assessment models, and then being explicit about selectivity  
19 assumptions and age-specific, natural mortality assumptions and  
20 all that sort of stuff then that normally would have just been  
21 hidden in the background. So, I just wanted to add that, and  
22 apologies for contributing to the conversation further, right? I  
23 would ask- I don't know. I mean, this is up to the Chair, but, you  
24 know, maybe we should let the presentation go on before we start  
25 [laughter]- we haven't even gotten to the data section yet, and I  
26 know Kevin McCarthy had asked that we, you know, try to hold  
27 questions off at breaks, but I understand everybody's anxious to  
28 comment already. So anyways, thanks for letting me comment.

29  
30 **RICHARD APPELDOORN:** Okay, in light of Erik's comment- Reni?

31  
32 **JORGE R. GARCÍA-SAIS:** Yeah, hello. Well, just a few comments here  
33 regarding the, first, the fishery-independent data. And of course,  
34 me being an NCRMP fish surveyor myself for the last two years I'd  
35 like to say that NCRMP surveys, a lot of habitats which are not  
36 typical Queen Triggerfish habitats, you know. And then it doesn't  
37 survey habitats that are typical of Queen Triggerfish. For example,  
38 NCRMP has a depth limit of 30 meters, and very rarely do we actually  
39 go 30 meters. 99.9% of our dives are shallower than 30 meters. And  
40 then Queen Triggerfish has a lot of habitats that are below 30  
41 meters down to 50 meters actually. Most of the reproductive  
42 population of Queen Triggerfish, we are observing it at depths  
43 that are deeper than 30 meters. On all these habitats, that's where  
44 they are- that's where the adult reproductive populations are  
45 typically found. Actually, I was surprised not to see our  
46 mesophotic monitoring surveys included here, and it's interesting  
47 because what I can recall of it, you know, which is several years  
48 ago, is that actually Queen Triggerfish was one of those species

1 that we found statistical data suggesting that it has increased in  
2 the intensity over time.

3  
4 Regarding the fishery-independent data what I- after, you know,  
5 doing several studies, major studies that are used throughout  
6 methodological approach for surveying fish. I'm going to say that  
7 the very large Queen Triggerfish, it would be very hard for them  
8 to enter the traps because of their structure, of their depth  
9 relative to length. The full adult Queen Trigger it's hard for  
10 them to go into a trap. So I most think that many of those really  
11 big, 40 40-plus centimeter Triggerfishes are likely not being able  
12 to enter a fish trap. So if your fishery-dependent data is very  
13 heavily oriented towards or weighted on fish trapping, you wouldn't  
14 expect the larger Triggerfish to be found there in that kind of  
15 fishery. So those are my comments, you know. I haven't seen actual-  
16 you know, we'll probably go into the, you know, more detailed data  
17 analysis on this, but those are just my preliminary comments, you  
18 know, for you to have in mind. Thank you.

19  
20 **RICHARD APPELDOORN:** Okay, thank you, Reni. Thank you, Reni, for  
21 those comments. Yes, we are going to get into that, and as Nancie  
22 has already said, there's a commercial trap index that's being  
23 developed, so I think we'll hear about that in depth. So let's get  
24 back to Nancie, and in that case, start looking at the analysis  
25 and the data.

26  
27 **NANCIE CUMMINGS:** Thank you, Chair. I just want to say, thank you  
28 those, those two Erik and Jason, for their input. And I just want  
29 to reiterate one really important thing is it's not always just  
30 the convenience of being able to get, oh, your catch limit advice  
31 out, but it's just being able to integrate all these components,  
32 and then to explore, you know, different maybe sensitivities on  
33 those components that you may have more uncertainty on. So sort of  
34 now that we've gotten to the end, and we kind of go back to the  
35 beginning, and we're going to talk about just briefly, an overview  
36 of the data components. And I set you up there on the right-hand  
37 side, there's just a simple graphic and it's showing you the major  
38 components that were included: the catches, the abundance indices,  
39 and the size compositions. These are the primary elements that  
40 we're using in addition to the life history inputs and information  
41 that we've received from these topical working groups.  
42 Particularly, we have the fisher working groups which help inform  
43 us on some of those comments that- questions that you had Reni or  
44 comments really on the selectivity. So, we have the catches. On  
45 the bottom axis, you see the time series. The start year of this  
46 model is 1983, and the end year is 2019. So we had landings  
47 histories on from the commercial trap fleet and the dive fleet for  
48 these for all of these years. And we have abundance indices from

1 one fishery that was used in the base model. There were other  
2 fisheries that were examined but the final model used the trap  
3 fleet.

4  
5 We have an abundance index that is a fishery-independent index  
6 from the NCRMP, National Coral Reef Monitoring Program, the fishery  
7 survey. And we had size composition data from the National Marine  
8 Fishery Service, Southeast Fishery Center, Trip Interview Program.  
9 That's the TIP samples that you've heard about many, many times,  
10 many years for many species, and for the trap fleet and also the  
11 dive fleet. I'll get into a little bit, in a moment, regarding the  
12 other- we had some other minor gears and how were those were put  
13 into the modeling framework. And then we had size compositions as  
14 well from the NCRMP program. These break down in 2001. So again,  
15 just very quickly here, what I've already said, we have fishery  
16 landings and indices from the trap fleet, recreational landings  
17 and discards. I'll show you where we put those. Commercial length  
18 compositions from the dive fleet and the trap fleet. We have one  
19 index from the one fishery-independent index. I'm not used before.  
20 We know where it operates and we'll hear a little more about that  
21 and its depth and that sort of thing later on also. This is just  
22 a very- this is an output from SS, and at a glance, it just gives  
23 you a way, a sense of knowing, for the primary data components  
24 that we're using in the model. What they were and where they're  
25 from. There's other ways to show this tabular- but this is a very  
26 quick, succinct illustration.

27  
28 **RICHARD APPELDOORN:** Nancie, the size of the points is the amount  
29 of data available in each year, correct?

30  
31 **NANCIE CUMMINGS:** Yes, sir. Yes. And I just want to know- I'm not  
32 going to talk about the exploitation history in Puerto Rico for  
33 this species, how far back it goes, but the time series of data  
34 that are available that had been computerized is 1983 forward. We  
35 understand- we have a sense that there's exploitation beginning  
36 before this 1983 point, but this is- that's the critical- that's  
37 the critical point here, is that data were not available prior to  
38 1983. So to get you now more into the modeling framework of what-  
39 of the specifics, again, 1983 to 2019. I'm going to take more time.  
40 I've decided on my delivery of the data because I know that the  
41 model is not- is SS, stock synthesis, excuse me, is sort of a new  
42 element to you folks, and so I'm going to go into more detail. If  
43 I'm going into too much detail, please let me know.

44  
45 We partitioned the data in the model in terms of fleets, the  
46 removals. Where is the exploitation coming from? And these are the  
47 commercial catches, the trap, and dive. The dive catches were  
48 available as were the trap from 1983 to 2019, and, and very

1 importantly, you'll see in a moment when I- when I show you a  
2 history of catch by year. You'll see that the dive fleet, the  
3 catches were- we've assumed that they were zero in 1982. That's  
4 the year before the start of the catch. In other words, we assume  
5 that there was no large-scale diving going on in terms of  
6 exploitation for this- we know it's not a directive fishery, but  
7 we're assuming that catches were almost zero in those early years.  
8 We have very good evidence from the landings history that shows  
9 that the trap fleet was catching in landing Queen Triggerfish  
10 before the start year.

11  
12 The value for the- we refer to it in the stock synthesis as the  
13 equilibrium catch. It's not the stock is not in equilibrium but  
14 it's referred to that way in the model. It was calculated as a  
15 three-year average from 1983 to 1985, and that was the value used  
16 to set the exploitation level in 1982. There are some recreational  
17 catches. The Marine Recreational Information Program was ongoing,  
18 operating from 2000 to 2017 in Puerto Rico. The recreational  
19 catches were added to the trap component, and this was for a few  
20 reasons. First of all, I want to go back up here and talk about  
21 your commercial catches. There were some minor catches from other  
22 gears such as nets, seines. There's even a few bottom-line catches.  
23 Those were added to the trap fleet. Excuse me, I keep saying that  
24 but that's not true. They were purported- proportioned across the  
25 dive fleet and the trap fleet according to the annual distributions  
26 of each of those fleets. Recreational catches were added to the  
27 commercial trap component. The reason being there were mainly hook  
28 and line samples and they're length frequency distributions, and  
29 you'll see those in a moment. Those distributions were very almost  
30 near a little different, slightly different, but they are almost  
31 identical to the trap length frequencies, and you'll see that as  
32 well. The length compositions were from the commercial fisheries,  
33 the trap and dive. The recreational samples, they were very  
34 restricted temporally. Over 17 years, there were only 86 fish that  
35 were sampled, and they're very near in visual perspective to the  
36 trap fleet, and you'll see that. And then we have NCRMP visual  
37 sensor survey length compositions.

38  
39 So take a moment here, especially for the modelers on the call, to  
40 let you know that the early years of the NCRMP sampling- or, excuse  
41 me, surveys. Those samples were- they were bend. They were  
42 identified in five-centimeter intervals. In the later years, when  
43 the NCRMP survey went from the belt transect to the stationary  
44 point transect method, those samples became a bit- were in two  
45 centimeters. In order to handle both the partition that was  
46 available in the trap fleet from the TIP samples, and the later  
47 sampling in the- in the stationary point sampling, we were able to  
48 use the feature- I never used it in SS, and it's referred to as

1 the generalized size composition method. And so, we were able to  
2 take into account the variable bending. And then we had indices of  
3 abundance. We've heard before, and we know we had- we tried to use  
4 the commercial indices back in SEDAR 46. And after- I don't think-  
5 well, at that point, obviously, we didn't have as much data. That  
6 was 2014, I think it was. Now, we have more information, and we  
7 also subjected the commercial data to more extensive and rigorous  
8 examinations, and you'll hear about that later. Then we also had  
9 the visual sensor survey, and that was an index. So, okay, so in  
10 terms of the recreational catches, just to give you a sense of how  
11 much there, there were and also a little bit more about where we  
12 put- they were replaced. Those catches were pretty minor up until  
13 maybe the more recent years, and there has been some increase in  
14 the recreational catch. However, the-

15  
16 **SHANNON CASS-CALAY:** They are not seeing the slides that are behind  
17 you.

18  
19 **NANCIE CUMMINGS:** Hmm, they're not?

20  
21 **SHANNON CASS-CALAY:** They're not seeing that slide you're talking  
22 about.

23  
24 **NANCIE CUMMINGS:** Oh, well that's- is there some- excuse me, on  
25 the phone, the slides don't seem to be moving. I'm supposed to be  
26 in control, so I'm going to talk to the IT folks.

27  
28 **LIAJAY RIVERA GARCÍA:** Is it- are you sharing? Are you still  
29 sharing?

30  
31 **NANCIE CUMMINGS:** I was but who knows what happened? Apologies, I  
32 think a couple of us lost the internet, so I'm going to- I was  
33 told that it was only the- okay, I'd like to know from- in- on the  
34 phone if everybody saw the data slide, the graphic with the data?  
35 So, to give, give us sort of a heads up on that. Hmm, it's not  
36 letting me.

37  
38 **RICHARD APPELDOORN:** All right, everybody, we're going to start up  
39 again. So, your attention to Nancie, please. Pay attention to her.

40  
41 **NANCIE CUMMINGS:** [laughter] Okay, thank- I'm so sorry. I think  
42 the hotel internet kicked me off and I'm told that I'm in a  
43 situation that was non-failing, so. All right, I'm just going to  
44 go back to the overall structure of the data slide that- for the  
45 model. Now, the start year of the model is 1983 to- and the end  
46 year is 2019. It'll be referred to as the terminal year. You will  
47 hear that word, terminal year, frequently. And that the fleets  
48 that were used in the model were the trap and dive fleet. Dive

1 catches were available- and the trap catches were daily- available  
2 from 1983 forward. The catch for 1980- the start year- or the year  
3 before the start year was assumed to be zero, inferring that there  
4 is no exploitation going on for that fleet or very little  
5 exploitation in the early year. The trap fishery was not in-  
6 considered not to be at zero catch in the 1983 year. But the value  
7 for the catch in 1983, which is referred to, in the stock synthesis  
8 model, as the equilibrium catch. It was calculated as the three-  
9 year average. 1983 to 1985. The recreational catches are available  
10 from MRIP survey from 2000 to 2017. And they were actually- the  
11 survey terminated in 2017 during- it wasn't a full year. The  
12 recreational catches were added to the commercial trap component,  
13 and that support was borne through inspection of the visual for  
14 the length frequencies. And I think we have a mic open in the room  
15 somewhere.

16  
17 The length compositions were from the trap and dive fleet. The  
18 recreational length samples are very temporally restricted. Of the  
19 17 years, only 86 fish are sampled. I will show you those  
20 distributions of the samples shortly. The visual survey also has  
21 samples. There were differing procedures used to take those samples  
22 in the early years up until the- for the years where the survey  
23 were conducted under a belt transect method. The samples were in  
24 five-centimeter bends. The other samples we had available by one-  
25 centimeter bends. There were two centimeters that were used in the  
26 model, so we used a different method to incorporate those samples  
27 into the model, and you'll hear about that later. And then we had  
28 abundance indices. If you already heard, we have a trap index and  
29 we had an index from the visual census survey, an independent  
30 index. We explored the dive index but that was determined not to  
31 be useful for the model.

32  
33 Recreational catches, as I said, this is a picture on the lower  
34 left of all the catches. This is the commercial mainly and all  
35 the- until 20- 2000 rather, when we have recreational catches  
36 coming in. So you see that the recreational component was very  
37 small compared to the total component, but there has been an  
38 increase in the estimate from the MRIP survey of recreational catch  
39 in these later years. Of course, those, the number of intercepts,  
40 is also very low, so there's high uncertainty in these catches.

41  
42 I would just want to say that we do have some estimate of  
43 recreational discards, and they include fish released alive. We  
44 call them dead discards often after we apply a mortality rate. We  
45 use a 10% in the model. It was not applied here. We're just showing  
46 you that the amount of discards is extreme- is very low compared  
47 to the total catch. The 10% rate, can be considered a minimal  
48 estimate of mortality.

1  
2 Okay, I'd like to move into the data, the life history section in  
3 terms of the review of the data. And I want to point out something  
4 that we've included in the presentation here on the material. And  
5 that is where we are talking about one of the terms of reference  
6 that we have considered it and also this is taking that into  
7 account. So, we've listed here the term of reference, two and  
8 three, and that is to update and improve the life history  
9 information. So, on the right-hand side, basically, three graphics  
10 showing you weighted length estimates from weight on the Y-axis  
11 and length in centimeters, fork length on the X-axis. Also, the  
12 length at age calculation. This information has been derived from  
13 the estimates of L-infinity, K, the growth factors, growth  
14 parameters, from the study of Shervette and Rivera-Hernandez. And  
15 also, the coefficient variation that was applied in the model on  
16 the old fish and the young fish. And finally, a visual of the  
17 natural mortality. We've opted to use in the model, the Lorenzen  
18 M, which is a vector. It's a function of M and age, and that into  
19 the model. So, we're using age-specific MS, and I've also given  
20 you what- the target M was the estimate from the honing it out  
21 fully recruited fish. That's 0.18, and that's telling you the SSC  
22 min and max. And I just want to point out that the max on the SSC  
23 is incorrect. It should actually be a higher value. I think these  
24 are actually showing to be the same here.

25  
26 So, on the left-hand side of the panel, I'm giving you the data  
27 component, and this could be a comment or decision, but basically,  
28 it's new for U.S. Caribbean and replaces SEDAR 30 and 46 literature  
29 estimates. Those were from the literature. They were not from the  
30 region, so this is considered an improvement. It's coming from a  
31 very extensive study of Shervette and Rivera-Hernandez, and that  
32 information was used as fixed inputs into the model. And that  
33 results in this fit here of weight and length. And finally, the  
34 age and growth, and also the estimates were from the same study,  
35 the Rivera-Hernandez study. Natural mortality, again, I won't  
36 repeat this. It's the Lorenzen M age specific Lorenzen M estimated  
37 using the inputs, the growth inputs from Shervette/Rivera. The  
38 maximum age in the model is 23. It was scaled using the growth  
39 curve from Shervette/Rivera, and that will be working paper 07.  
40 And this is an incorrect statement here. There was no- at this  
41 point, there's been no sensitivity on L-infinity. We've had a lot  
42 of discussion, but we have not decided what to do. I just want to-  
43 in the model, the model outputs, I want to state that biomass is  
44 measured as female body weight, biomass. And the release mortality  
45 was 10% as I noted.

46  
47 Oops, can I just do this? Okay, I've added this. There's a  
48 previous, I think, a previous PowerPoint was distributed. It did

1 not have this pictorial of the growth, the fit to the model. And  
2 so, we've added this to try to give you a better sense for the  
3 model fit. So, what we have here are the females age observations,  
4 and the male. And then we've added- the author added in some  
5 animals from the North Carolina, South Carolina. These are in the  
6 square, the black squares. So, what you see here is that for the  
7 model fit that we have from the Caribbean data basically, it goes  
8 through about 20- 23, I think it is. So, it's- and most of the  
9 data I would say are, you know, from around- they're less than 15  
10 years of age. We do have a few 16s and so forth. I think I have  
11 another table that'll show you that a little better. But in this  
12 SS model, we're using the all-Caribbean data fit, the L-infinity-  
13 I'm sorry, we're using the all-Caribbean with the T-0 fixed. The  
14 T-0 fix comes from the male, the male model. And so, it's the 43  
15 centimeters for length, L-Infinity. 0.15 for K and then 0.585 for  
16 T-0. So that's just to give you- it's a reasonably good fit for  
17 the data on that was available. And it also actually did have some  
18 fish at this younger age, which is- there was kind of- that's kind  
19 of that important because it assessed actually starts- you know,  
20 it assumes once you have the data that was input into the model it  
21 actually assumes a linear fit to get to that lower age, the size  
22 that [a min?] that is how we refer to that.

23  
24 Okay. Continuing on with life history, the maturity. Again, updated  
25 through Shervette and Rivera. The first age that is assumed to be  
26 mature in the model is age one. The relationship is fixed in the  
27 SS model. In other words, we do not have a time-variant change in  
28 mortal- natural mortal- or maturity. The fecundity is equal to  
29 spawning by mass. Again, equal to the combined sexes, SSB, used  
30 for the base model. And just to note the concerns on regarding the  
31 life history- the main concern is the L-infinity and so possibly  
32 a sensitivity could be considered. The L-infinity is the average  
33 size of the oldest fish in the plus group, and that's in the growth  
34 model. And again, these pictorials. Okay, the implementation of  
35 growth in the stocks of SS model, it requires the five parameters.  
36 The length of the youngest age, and that I just have to say that  
37 the study did have a fair number of fish in the lower in the zeros.  
38 So I was able to inform that. Length at maximum age, it's  
39 essentially L-infinity. The max fish size was 43 centimeters. von  
40 Bertalanffy growth parameter is required by the model and some  
41 information on the variability of size, the youngest age. That CV  
42 was 0.18. And similarly, it was the same calculation for the  
43 maximum age. These parameters were taken from Shervette and Rivera,  
44 and that's in the working paper 07 that you have available to you.

45  
46 The length compositions, I just want to note, we did go a little  
47 bit beyond what had been done in the SEDAR 30 assessment and that  
48 was- and the SEDAR 46. And that was the length composition data

1 were subjected to sort of a statistical analysis. We realized that  
2 there were- when you look at the TIP data, we do have some  
3 information- some observations, quite a few observations, that  
4 have both length and weight, so we actually went in. Adyan Rios  
5 was in charge of this analysis, and so we went in and looked at  
6 the length-weight observations and just- and tried to identify  
7 what were basically outliers or unreasonable estimates  
8 observations from the model- I mean from the data set. So, the  
9 model that was adapted was based on an approach that was used to  
10 filter out outliers for Atlantic bluefin tuna. This, you know,  
11 it's not that relevant that it's for bluefin tuna here. It's just  
12 to say that we used that method, and that's where it was developed.  
13 So, the second part of that method it involved identifying outliers  
14 across the TIP samples that did not have associated weight  
15 measurements. In other words, if you didn't have a paired  
16 observation and you still were concerned that you may have had  
17 some outliers in the TIP data then we wanted to be able to have a  
18 more robust procedure- more- something that's not subjective.

19  
20 So the length larger than the maximum length in the data set, 50  
21 centimeters, in 19- that's 19.7 inches, are smaller than the  
22 minimum length, 14.7 centimeters or 5.8 inches retained- of the  
23 retained length/weight pairs were removed. In other words, if they  
24 were outside those bands.

25  
26 Okay, going to further into the data in commercial landings, again,  
27 I want to note that the trap data represented 58%- about 58.2% of  
28 the landings, and the dive, 25.2. So, these minor catches that I  
29 referred to earlier, were 16.6%. And so, some may think that's a  
30 fair amount of removals, not to really- to be able to assign to a  
31 fleet, but there were not sufficient sample to actually go out and  
32 try to develop a selectivity refuction for- or characterization  
33 of selectivity for those other fleets. And that would be the nets  
34 some, some the seines, and some of those minor gears. They are not  
35 minor in terms of the community contribution, but they are minor  
36 in terms of the species in this area. So they were distributed, as  
37 again, I noted that's- this is a mistake. It should be they were  
38 distributed into the trap and the dive fleets according to their  
39 annual proportions. A CV of 0.1 was assigned to the commercial  
40 dive and trap fleet, and that's basically to give us some  
41 uncertainty in the estimates of landings.

42  
43 The commercial discards were assumed to be zero. And we did hear  
44 this morning, I believe it was from one of our, from Julian,  
45 regarding the- you know, there's basically nothing is removed- I  
46 mean, is discarded in the Caribbean, and I also- we had  
47 conversations with some of the port samplers, and that was the  
48 general feeling from those folks as well. And that information was

1 also captured in the - I want to say - the topical working group  
2 on fishers' behavior that was captured in that topical working  
3 group. As I noted before, the recreational catches were added to  
4 the commercial trap, and again, you'll see just shortly some  
5 support for that. The discards were added to the trap fleet also  
6 by applying a 10% discard mortality to the B fish, B2 fish. So,  
7 what this graph does is that it illustrates that we're referring  
8 to accomplishing, you know, reflecting term of reference two in  
9 terms of updating the data. And so, the trap fleet is in blue, and  
10 the dive fleet- the removals are in red. So although the landings  
11 from the dive fleet are not zero in 1983, they're about 1- about  
12 1 and 1.5 tons at that point, so they're about, what? 3,000 pounds  
13 or so. So, we assumed that the model for the dive fleet, that the  
14 initial F was near zero, the exploitation for this fleet. And we  
15 see that very early on for the trap fleet, that that's not so good.  
16 That that's quite large, and then so it started large, and it went  
17 down. And then there was a lot of up and down in terms of the  
18 landings for Queen Triggerfish from the trap fleet. and then there  
19 was a very major significant decline here followed by, again, an  
20 increase and then several increases over the past few years. So,  
21 we don't want to start, as I said, getting into results again, but  
22 I just want to show that this slide and these conversations reflect  
23 to you that we used all removals. We distributed the other minor  
24 gears into these two fleets, and we also added the recreational.  
25 So, we've attempted to include all the removals, knowing that we  
26 do have uncertainty. These estimates of landings from the  
27 recreational- I mean, excuse me, the commercial dive and trap  
28 fleet, they do reflect the expansion factors.

29  
30 **RICHARD APPELDOORN:** Nancie, a minor question. What are B2 fish  
31 right at the bottom?  
32

33 **NANCIE CUMMINGS:** B2 fish are the discards.  
34

35 **RICHARD APPELDOORN:** Oh, okay. Thank you.  
36

37 **NANCIE CUMMINGS:** Thank you, and that is- I probably should have  
38 spelled that out here, so thank you for that. Okay, so get- again,  
39 to show you for the recreational length composition. Just I want  
40 to show you the scarcity of data. The data began with MRIP in  
41 Puerto Rico in 2000, and basically, you know, we're from one fish  
42 to 16 fish over these years, total. And very, very few fish were  
43 sampled. And what I've done here is just I've shown you, here are  
44 the MRIP size composition, the commercial trap fleet by itself,  
45 and then the add- the added- just the additive- not the additive,  
46 but each of them separately. So just to- here, for the purposes of  
47 stock synthesis and the length composition modeling, we've carried  
48 them size composition out to 70 centimeters in the in the model,

1 in the population. And then what we show you with the MRIP size  
2 composition is that the peak, or the mode I should say, is about  
3 30 centimeters. We have a slightly smaller mode in the trap fleet  
4 which you would- it was not unexpected because this shoulder here  
5 below 22 centimeters is not being captured. We see a- it's not  
6 being captured in the hand, these are hook and line samples from  
7 MRIP, so you don't see- basically, we see a few fish right in here  
8 for the trap fleet. And so, the MRIP private samples - these are  
9 private mode, are not catching, at least, they're not being sampled  
10 these small fish. And likewise, we see a few larger fish, but these  
11 are representing one fish or two fish, so are not being- are not  
12 being caught in the trap fleet. And this is demonstrated, again  
13 reflected here again, in this composite where you see both of the  
14 sectors: the trap and the MRIP.

15  
16 And again, you see this reflects that mode of about 30. And again  
17 over here, with the trap, it's mostly- it's about 26, I think it  
18 is. So we felt, as a team, that this was reasonable. That although  
19 we're not getting all these, these are about six fish, I think,  
20 that we're not getting those in the trap fleet. That this was well  
21 supported to add the MRIP samples to the trap samples. And the  
22 other thing I want to point out is we don't feel it would have  
23 been appropriate to put the to put the MRIP catches- the MRFSS  
24 catches, rather, recreational, into the dive fleet. Because we  
25 know that there was a more- what we want to call culling or there  
26 was more selection going on there.

27  
28 So, I'd like to just quickly- or not quickly, go through the  
29 compositions, the length compositions. And this is a lot to take  
30 in and I realize this, but what it is just to set up the slides.  
31 It's each block is a panel for each panel of data starting 1983 to  
32 1988, and then going back to the next years and ending in 2017.  
33 This is Puerto Rico. So basically, we know that the data goes  
34 through- basically go- that catch data goes through 2019, however,  
35 the samples only went- only went through 2017. And also, this is-  
36 on the bottom axis, on each of these sets of panels, you have the  
37 size of the distribution. So, this is the proportion of fish in  
38 each of these two-centimeter intervals. And going to a larger  
39 interval was not suggested for this set of data because the larger  
40 bending, the coarser the granularity is and the less information,  
41 content you would attempt to basically smear and [eat?] the signals  
42 in the data. So, this, again, is starting in 1983 and going through  
43 2017. And I just want to point out, especially in some years, there  
44 were very low sample sizes. So, in the case here the beginning, 40  
45 fish, these are the adjusted sample sizes. It's going down to as  
46 low as five and six. So the data-

47  
48 **TODD GEDAMKE:** Can you read the last five years, the sample sizes?

1  
2 **NANCIE CUMMINGS:** Sorry, yes. Going- these are four. So 36 in 2015.  
3 These are adjusted sample sizes. If we want to get to the original  
4 sample size, we'd have to go into the data files. But basically,  
5 the sampling has dropped down. Yeah. And also, you know, in some  
6 of these- you'll see this in a moment especially to Todd here, for  
7 a second. You'll see these, the lack of fit. You'll see this later  
8 on in terms of the jaggedness in the model fit. So where it's more  
9 smooth indicates it's a better fit. So this is the trap, and we  
10 also go into the dive, and remember we're considering the  
11 exploitation on the dive fleet was low in the early part of the  
12 time series. So thus, the opportunities to have sampled those  
13 catch, any catches, in those early years is lower also because  
14 they're not landing as much. And again, here now, we do have- in  
15 2018 and '19, we do have samples. And I hear- I just want to note  
16 that what you- I think what you see here without trying to get too  
17 far down the road in terms of results is you do see this sense of  
18 selecting the different- a specific size category, and we see that  
19 more in later on.

20  
21 And then, okay, these are the annual- excuse me, these are the  
22 annual densities taken together and combined over all the years  
23 for each of these fleets, the trap fleet and the dive fleet. And  
24 here, I just want- what I do want to note, and it was the same as  
25 in the previous two slides, without going into details, we're  
26 showing you the data right now. This is a fitted composition. So  
27 these points show you the fit, so where you have this lack of fit  
28 is, as I was mentioning is- particularly in here, we have the  
29 absence of any compositions in those groups, but we'll get more  
30 into that in a minute. Overall, what you see from this composite  
31 is that you have pretty, pretty reasonable fits at least at this  
32 point in the process. These, again, are for the commercial  
33 fisheries.

34  
35 And then, so the way that we structured this presentation, is to  
36 show you for each fleet, each major sector. The commercial versus  
37 the fishery independent. The data, the catches, the samples, and  
38 now the indices, and then in a moment, we'll move to the fishery  
39 independents, so then we'll show you the data in terms of the  
40 compositions and the indices. So here, this is the index, and it  
41 is referring to meeting the request to look at terms of reference  
42 3c. And that to explore improvements in catch for effort- or catch  
43 per unit of effort information and also compositions. So, the  
44 commercials CPUE, the years that were in the model are not  
45 continuous as much as we would like them to be with two- with the  
46 start and the end year of the time series. It was determined that  
47 the data were sufficient from 2003 forward for an index. And the  
48 average trips per year was about 437 samples, and that was positive

1 trips per year. It also determined after- there was a set of index  
2 webinars that I know there were some SSC members invited on those  
3 calls. And what happened at each of those calls, we actually had,  
4 I think it was, five index webinars. And they were carried out and  
5 conducted much like an IPT team, the NOAA, National Fisheries  
6 Services IPT team calls. And then there was a final where, at those  
7 calls, it was discussed the sufficiency of data, what you might do  
8 for an index in terms of the standardization, what was an approach.  
9 And it was then- finally, at the end, there was a recommendation  
10 to go forward with either a whole index, or not, not at all, or to  
11 remove certain data, years if they were insufficient. So those  
12 calls, in the final webinar, again, you have a record of that in  
13 the SEDAR 80 process, on the webinar. I mean, on the website.

14  
15 It was determined that there was insufficient effort data for trips  
16 prior to 2003 to go forward with the model. And this means that,  
17 on the record of catch and effort and the axillary variables of  
18 the supplemental variables that were available were things like  
19 area or municipality of landing- or fishing center, excuse me.  
20 number- in the case of traps, the number of trap haul, number of  
21 hours for- in the case of dive, it would have been the number of  
22 dives. It would have been the number of hours per dive so that  
23 there were insufficient measures on the effort, in terms of the  
24 effort. That's the denominator, catch divided by effort, to  
25 actually have to consider an index before 2003. So, there was a  
26 little bit more s- there was more scrutiny in this. The final model  
27 was a composite model that included the proportion of positives,  
28 and it also included the positive in terms of catch-per-trip model.  
29 It's a combination model. It would determine that month was not  
30 significant in the model. So we realized we still have- we have an  
31 improved model. It's not the perfect catch-per-unit effort model  
32 yet because we still need more information. And this is where  
33 outreach comes from. Comes from the depths and from the Center and  
34 all the data samplers, support samplers. It's getting out there to  
35 those fishers and, you know, saying, "We really need this  
36 information."

37  
38 Now to show you a little bit more about the model, here's the  
39 positive observations. So, this is basically in terms of the  
40 percent of positive trips, and what we do see is something we do  
41 like to see. We don't like to see lots of ups and downs and the  
42 trajectory of how many trips are, are positive trips or you have  
43 available in which to describe, you know, CPUE. We'd like to see  
44 some consistency in this. We also like, you know, 25- this  
45 basically range from about 25.5% to about 40% or so, and so it's  
46 a reasonable level of, of proportion of positives. And the final  
47 model then index is- these are the observations of the model, catch  
48 per unit of effort, and this is a- the final standardized index.

1 So what it does show is that it's low at the beginning of the year-  
2 I mean of the time series, 2003, and then it shows an increase to  
3 a significant increase of CPUE across the entire time series,  
4 followed by a decline through about 2016, and then a subsequent  
5 small increase. What this does is it sort of- is a graphic that  
6 shows you the behavior of the model. It's a distribution of the  
7 chi-square residuals over- in terms of the model fit. And this is  
8 the density of those, and it's shown to show you that there's not  
9 big systematic biases here in terms of the residuals.

10  
11 Okay, so the second index that was available to us was the fishery  
12 independent index from the National Coral Reef Fishery Monitoring  
13 Survey. A little bit about that index. On the right-hand side,  
14 these are the areas that were sampled in terms of the different  
15 kinds of habitat. They have a very structured categorization of  
16 the habitat. This is Puerto Rico, obviously. It's just to show you  
17 that, over time, these are the habitats that were sampled. The  
18 data component then of the- I'll describe the source, the year,  
19 the depth, and the seasons. The description, the metadata paper  
20 that's available to you, that's the working paper number two from  
21 Grove et al. just to kind of remind you, and it initially started  
22 as a belt transect survey it followed up with a RVC. Let's just  
23 say remote, instead of remove. Remote visual survey, then they  
24 moved to- in 2016, there was a different, different time point  
25 when they started using the stationary point count survey. 2016 or  
26 so in Puerto Rico and then it varies by island. Also just a little  
27 bit more about the survey design. And this, I'm not trying to give  
28 you a full coverage of the survey design because the meta paper  
29 does a really fantastic job of that. Between 2000 and 2010, it was  
30 region-wide. It was mainly- it was a simple, random sample and it  
31 was mainly proportional to habitat. In 2012, it was still a belt  
32 transect survey, but it was island-wide. And now, the allocation  
33 samples was statistically improved. It was according to by species  
34 of economical and ecological importance. And the calculation of  
35 the allocation incorporated information on the variance of each of  
36 these species- or excuse me, of across the board of a suite of  
37 species considered to be economically and ecologically important  
38 to minimize the variance by depth and height and habitat.

39  
40 And then in 2016 or '17, depending upon the island through the  
41 current date, it is now a stationary point count survey. So it's  
42 no longer using the belt transect method. And again, I refer you  
43 to working paper 02, and it was island-wide. It's my understanding,  
44 from the paper, that it's 30- less than 30 meters in all years, so  
45 it does not extend beyond the 30-meter depth. In 2019, now there  
46 has been some monitoring initiated in the deeper coral reef areas  
47 but extending only up to 60 meters. This is in Saint Thomas is my  
48 understanding. And the seasons, just to give you a hints- a hint

1 of that. Between 2001 and '10, it was one time per week with- on  
2 a two-week survey. It was in the summer, and then in the winter,  
3 it was in three locations. In 2011 to 2016, it was two times per  
4 year. I said week but I meant year. Two times per year. It was a  
5 two-week survey. And in 2016 forward, it's now two times per year  
6 but- and there are sampling variations across the islands. So,  
7 there's been some change to spatial context in terms of the survey.  
8 There's been also a change in terms of temporalness, and then but  
9 most importantly, there's been a change in the methodology from a  
10 belt transect survey to a stationary point survey. And they have  
11 done calibrations to- in order for us to be able to use this whole  
12 entire series. There was a calibration series that work that was  
13 done by the authors, and that is described in also working paper  
14 02.

15  
16 Okay, so just again it's a visual census index. The sample sizes  
17 reflect the number of paired dives. They were low in particularly  
18 in some years, and this is referring to in the Puerto Rico region.  
19 So I'll just give you- on the left-hand side, you've got the table,  
20 the number of paired dives. And we do see it has increased in the  
21 recent years, and also the resulting index in terms of the density  
22 from the survey, 2001 forward, is represented on the right-hand  
23 side. This is the mean- the index reflects the mean population  
24 density. The number per- this is I don't want to say irrelevant,  
25 but in terms of the index, this is basically a statistical- I would  
26 say a simple, classical design estimator. So it's a number per 178  
27 meters squared, plus or minus 1 standard deviation. That's your  
28 standard deviation showing a decline in the early part of the time  
29 series followed by an increase a very large increase in the recent  
30 years.

31  
32 Okay, and then the visual compositions pointing out here that in  
33 the first part of the time series, there were- I would like to  
34 just go back one slide and point something out. Remember these? so  
35 these compositions reflect in the number- this is our sampling  
36 effort basically. So it's the animals that we saw per year in those  
37 per year. And so this sample size, the effort- sampling effort is  
38 certainly of importance here. And it's starting at 2001 again.  
39 And, and these reflect that there were five-centimeter bends. So  
40 basically, you have those course sample bending. And then this is  
41 the final composite. Okay, and then again, this reflects also terms  
42 of reference two and term of reference three. So, to give you- and  
43 this is not summing up anything about uncertainty or summing up  
44 judging the quality of the data. It's just letting you know that  
45 in terms of the commercial density- sorry. [crosstalk].

46  
47 In terms of the treatment of the data, we- especially the  
48 commercial catch per unit of effort samples, there was a great

1 deal more effort that was expended for this SEDAR 80 to try to  
2 get- to tease out what we could tease out from the commercial index  
3 for a commercial index. And then also there had not been an  
4 extensive cleaning of the- of the length frequency observations,  
5 so we actually spent a little bit more time- it wasn't that it had  
6 been ignored previously, but we spent a bit of time trying to say,  
7 "How can we not control the quality of the data but how can we  
8 identify points, length frequency observations that are true  
9 outliers?" So we spent time on that as well.

10

11 **RICHARD APPELDOORN:** Nancie two points. One, your previous slide,  
12 assessment model configuration, was that a good place to break and  
13 ask for questions? And secondly, supposedly, lunch is ready. it's  
14 supposed to be ready at noon. It's a little after noon now. Will  
15 this also be a good time to break for lunch and come back for  
16 questions? So I'm posing that to the group. [crosstalk]. Lunch is  
17 supposed to be available now.

18

19 **UNKONWN:** What time are we going back?

20

21 **RICHARD APPELDOORN:** We would come back at 1:00 or maybe a little  
22 after.

23

24 **NANCIE CUMMINGS:** Thank you, Rich. Mike, only- I'm ready any time.

25

26 **RICHARD APPELDOORN:** I will give you a break.

27

28 **NANCIE CUMMINGS:** Yeah, I'm good. I don't want- everything's fresh  
29 on their mind- on everybody's minds. And so, I'm good with either.  
30 It's up to the purview of the group.

31

32 **RICHARD APPELDOORN:** Well, I'm thinking questions could take a  
33 while and I'm not sure how accommodating the hotel's going to be  
34 for setting that, so I would recommend that we break for lunch.  
35 And, and sorry about the discontinuity, but then come back for  
36 questions. Vance?

37

38 **VANCE VICENTE:** Can I make one comment quick? It'll be quick. It'll  
39 be very quick.

40

41 **RICHARD APPELDOORN:** As long as you don't- as long as it doesn't-  
42 As long as the [crosstalk] doesn't break behind it.

43

44 **VANCE VICENTE:** Okay, I won't make it. [crosstalk]. [laughter]

45

46 **NANCIE CUMMINGS:** Did you say no?

47

48 **VANCE VICENTE:** Yeah, he said no. He said no.

1  
2 **RICHARD APPELDOORN:** No, I said you can make it but just don't  
3 let- open a door that we can't-

4  
5 **VANCE VICENTE:** It's something that I think is very relevant. I  
6 mean, I'm looking at the significant drop in the catch from 1983,  
7 from 140,000 to 40,000 in '86, effort- that probably has a good-  
8 I think I have an explanation for that. At least- that's-  
9 [laughter]

10  
11 **RICHARD APPELDOORN:** All right, and we'll discuss that when we  
12 come back. All right for those of you who have not been here before  
13 lunch is directly across. If you're here for breakfast, that's  
14 where it was, but it's directly across the way. It's for our group  
15 in totality alone, so- and it's a buffet style, so enjoy. And so  
16 we'll be back- let's call it 1:10.

17  
18 (Whereupon, the meeting recessed for lunch on August 1, 2022.)

19  
20 - - -

21  
22 AUGUST 1, 2022

23  
24 MONDAY AFTERNOON SESSION

25  
26 - - -

27  
28 **RICHARD APPELDOORN:** Uh, I'd like to get started again before we  
29 get too comfortable not starting.

30  
31 So, we had just finished, I believe - Nancie, correct me if I'm  
32 wrong, your review of the data and how that was handled. And so we  
33 are now open for questions on that section. And I realize that you  
34 know, there's questions on the data and how that can affect the  
35 assessment, so there's a question about whether to ask now or wait  
36 till you get to the assessment part, but if it's really a question  
37 about the data and the nature of the data, this would be the time  
38 to ask those questions. So, Reni?

39  
40 **JORGE R. GARCÍA-SAIS:** Nancie, I'm just curious about L-infinity  
41 value. You set it up at 43. And why was- can you repeat- I know  
42 you made some comment, but I can't remember. Why was it that you  
43 use an L-infinity value which is smaller than the known maximum  
44 for the population- local population, as to say?

45  
46 **NANCIE CUMMINGS:** The reason that we used the L-infinity that we  
47 did for the base model is that this was the parameter that came  
48 from the growth study, first of all, and then the data that was

1 used to generate that L-infinity, realized it's- the L-infinity of  
2 43 is not as large as the same size of the maximum size observed  
3 in the population. It might be a little larger, but there's not a  
4 lot of additional fish that are larger than L-in- than the 43. And  
5 so then we also, if we want to look at sensitivities around that  
6 parameter, then we would. We could do that.

7  
8 **JORGE R. GARCÍA-SAIS:** Okay. No, no, that may be fine, you know?  
9 Just like, I'm used to see it the other way around, you know? I  
10 mean you could see it from different [inaudible] L-infinity set up  
11 at values which we've never seen fish that big before here. So  
12 that's what I was making the comment because for me, it's amusing,  
13 you know? It's something different.

14  
15 **NANCIE CUMMINGS:** And we can talk about that more also later,  
16 probably when it comes to the model, I think.

17  
18 **SHANNON CASS-CALAY:** So I just wanted to add on to what Nancie  
19 said. In the SS context, L-infinity is not the largest size a fish  
20 could attain. It's just the average size of the oldest fish in the  
21 model. So it isn't the maximum observed size of the fish, for  
22 example.

23  
24 **JORGE R. GARCÍA-SAIS:** Okay, I like that. I like it.

25  
26 **NANCIE CUMMINGS:** Okay. [laughter] Right. And, and also, I think  
27 we noted when we were looking at the TIP samples, the trip  
28 interview samples, that there were a few larger fish observed but  
29 not many. So, we know that in the population at large that likely,  
30 there are some larger fish, but we don't know to that extent. And,  
31 and also, I've done a lot of soul-searching about this, and I'll  
32 just say that, we're going to have more conversations, which I  
33 think is good that the trap fishery is- it is the dominant fishery,  
34 and then we have the dive fishery. But in terms of exploitation,  
35 the fishery- the trap fisheries are not operating out in, you know,  
36 100 fathoms, obviously, or probably even 75 fathoms. So the trap  
37 fishery is likely exploiting the largest proportion of big animals,  
38 and that's- obviously, there is uncertainty about, you know, if  
39 they are going somewhat deeper. And there's more conversation about  
40 where the deep fish are in terms of- you know, we know there's  
41 some effort that they're trying to look at, in terms of the fishery  
42 independent survey, and go a little deeper. So, these are the  
43 questions I think we want to talk about when we get to research  
44 questions as well and discussion regarding uncertainty.

45  
46 **RICHARD APPELDOORN:** Get ready. And that's the fish. You'd notice  
47 that you know, your point about that being based on local data is,  
48 really important. If you notice the graph that had the North

1 Carolina-South Carolina fish, they were not only much older, but  
2 they also were much larger. So if you had thrown that into the  
3 analysis, you know, we would apply these things up to a much larger  
4 size that occurs here. Graciela, you are signaling people online?  
5

6 **GRACIELA GARCÍA-MOLINER:** You have- Yes, you have, Erik

7  
8 **RICHARD APPELDOORN:** Go ahead, Erik.

9  
10 **RICHARD APPELDOORN:** Yeah. Thank you. So, one of my main questions,  
11 and this is probably not having been in the region long enough for  
12 paying attention, is one thing that stood out to me is I didn't  
13 get a sense of a good estimate of the uncertainty in the landings.  
14 I've heard certainly a lot of discussion that they're highly  
15 uncertain, but how uncertain are they? What kind of measures are  
16 we talking about? Are they biased? Is it an observation error?  
17 What's the sense of that?  
18

19 **NANCIE CUMMINGS:** Thank you, Erik. I have a slide that's at the  
20 very end of the slideshow, extra slides, that talks about the  
21 expansion factor. So I would say that we don't have the Puerto  
22 Rico DNER head of statistics here. I can recap a little bit of  
23 that, and then we can move to Kevin also in terms of more- in  
24 content on this. But I want to just share that there were two  
25 systems that were used to estimate uncertainty in the reported  
26 landings over this time series. One of those was a weight-based  
27 system. It was used until probably 2005. There is a reference in  
28 the document to- I think it's Cummings and Matos-Caraballo, and  
29 there was an extensive review done of the reported landings and  
30 the need for expansion factors, reviewing the method that was used  
31 to, let's say to raise that. It was a scaler, basically. That was  
32 not on an individual catch- trip, trip basis. It was just on a  
33 conglomerate of observed weight over a time period. And there was  
34 observed at the port and then by the port samplers, and then there  
35 was a correction factor made. And for the majority of those early  
36 years, it was island-wide, so there was no spatial variability and  
37 there was no time variability.  
38

39 In around 2006, the paper explicitly states the time when this  
40 began, the port samplers started visiting the major ports  
41 throughout the year, and they would observe a number of individual  
42 catches, and then there was a comparison made to the catch reports.  
43 Those are called commercial catch reports, CCRs, is the lingo. And  
44 so this uncertainty then began to be multiple times per year and  
45 across multiple ports, and it was a number of individual trips  
46 were evaluated- were examined, and then those individual trips as  
47 a conglomerate. So it would be, let's say, 10 trips were reported.  
48 The species composition was this. The total landings reported was

1 this. They would go back and they would match what was reported in  
2 the catch record to- across those trips for that day, for that  
3 week, for that port to what was observed, and that expansion factor  
4 then began to be fisher-based. It is still not species- totally  
5 species- or gear-based at this point, is my understanding. It is  
6 still- it's called a correction factor survey. It's done one time  
7 per year over a series of weeks and the port agents do visit the  
8 report- the senders of the- or landing them majority of the finfish  
9 and lobsters. And it is mainly- it's then process-based. It's  
10 basically a scaler. It's not an aggregate over a group of catches.  
11 Well, it's not individual, but catch- expansion factor is not-  
12 we're not able to yet raise individual catches. I hope that helps  
13 a little bit.

14  
15 **ERIK H. WILLIAMS:** It does. Thank you, Nancie. But I guess what  
16 I'm looking at is, so stock synthesis as well as most integrated  
17 assessment models assume the landings are known perfectly, and  
18 they're not in this case. And what I'm not seeing in the report is  
19 what is the range of that uncertainty. Is there- do we think that  
20 the estimates that are going into the model are underestimated,  
21 overestimated? They're at the midpoint, but then what's the  
22 variance around those? I'm just trying to get a sense.

23  
24 **NANCIE CUMMINGS:** Right. We're, we're assuming that they're an  
25 underestimate in this case. Excuse me. So we are assuming it's an  
26 underestimate.

27  
28 **RICHARD APPELDOORN:** Okay. Todd?

29  
30 **TODD GEDAMKE:** Okay. So you're assuming it's underestimates. My  
31 question is, how does this compare to the port sampling study that  
32 was just done? So your estimates in there are- we have that  
33 information for that year. How does that year work out for Queen  
34 Trigger according to the port sampling study you guys just  
35 conducted?

36  
37 **NANCIE CUMMINGS:** Thank you, Erik, for that question as well. Thank  
38 you for that question, Todd. We don't have the individual  
39 observations available, to my knowledge, for the port sampling. I  
40 think I was told there's around 17, 18 months. So to do- and I  
41 couldn't answer it for Queen Trigger. We could probably start  
42 looking at it for the total finfish for that port, but one would  
43 have to actually- it would be tedious, and it's something that  
44 could be done in a day or a week. But I could go in and look at  
45 those individual catch records for that species and compare them  
46 one by one. And this is outside my purview. I think I would address  
47 this to, defer this to Kevin. Thank you.

48

1 **TODD GEDAMKE:** I'd just like to follow up that you do have, exactly  
2 every single week, an estimate for Queen Trigger. Like, not just  
3 an overall, but you have, for every single week, an estimate for  
4 the species. You also have a breakdown of Queen Trigger to the  
5 aggregate group for that time period. And if anything, what we did  
6 find out in that whole big study is that finfish are pretty much  
7 reported accurately and that the expansion factor only go- is been  
8 basically doubling the catch, which would say that the estimates  
9 being put into the model are two times what is being estimated by  
10 an intensive port sampling project. So you're looking at  
11 uncertainty of 100% reduction in it, Erik.

12

13 **WALTER KEITHLY:** Could you repeat that.

14

15 **TODD GEDAMKE:** Sure. Queen Trigger and our estimates and reported  
16 estimates are virtually identical. They track-

17

18 **WALTER KEITHLY:** Our estimates being [Nash mean?] fishery service  
19 estimates from the traditional port sampling method.

20

21 **TODD GEDAMKE:** Yes. So, we have tracking. Week by week, we're  
22 pretty much on target with what's being reported during that time  
23 period. So, what the expansion factor did was very good as the  
24 aggregate for conch and lobster, going up by twofold, but for the  
25 finfish- and Queens Trigger was the example that I presented to  
26 this SSC because it really tracks very, very well. So, my  
27 conclusion from the results of that whole entire study is that  
28 there should be no expansion factor for Queen, and we basically  
29 have the data to support that.

30

31 **UNKNOWN:** Good.

32

33 **RICHARD APPELDOORN:** Uh, Kevin and then Walter.

34

35 **KEVIN MCCARTHY:** So, you're right, Todd, and that was data that  
36 Nancie did not know that we possessed, so it's not on Nancie at  
37 all. So, in discussions- we knew this would come up. So, in  
38 discussions with the Science Center where we landed on this was if  
39 the SSC would like to, say, see a sensitivity run, we can do that,  
40 but we're going to need some guidance because we do have 17 months  
41 of data. What do we do going back? So, we're going to need some  
42 guidance, right, but we're happy to do that and it makes sense to  
43 do that, but, but we're going to have to have a discussion about  
44 how best to proceed given that we don't have a full time series.  
45 So that's where we landed on that.

46

47 **TODD GEDAMKE:** Agreed entirely. And I don't claim that our one  
48 year of data is worth anything beyond giving us some insights as

1 to what we should be doing with these things. So exactly as Kevin  
2 said, the suggestion there would be to then take at least for that  
3 one year and look at it and say, "Are we double [inaudible] and do  
4 a sensitivity for it?" So yeah, we can- as we look at that, we can  
5 definitely- but that- that's exactly would be my recommendation to  
6 it also.

7

8 **RICHARD APPELDOORN:** Okay. Walter and-

9

10 **WALTER KEITHLY:** Again, I'm trying to wrap my mind around all this  
11 still. You have two different methods for collecting the data: the  
12 traditional method that Kevin and all within that [mean?] fishery  
13 service that we've had, the data that we're using going back to  
14 1982, and the method- the sampling that Todd has done just for the  
15 17 months, it sounds like. Are you saying that with the traditional  
16 method, that it looks like we do not need to extrapolate out using  
17 for Triggerfish whereas we do for other species?

18

19 **TODD GEDAMKE:** Yeah. That's what I presented at the whole last SSC  
20 meeting.

21

22 **WALTER KEITHLY:** Well, you gave it for two species: lobster and  
23 Queen conch.

24

25 **TODD GEDAMKE:** No. I gave them for all, and Queen Trigger was the  
26 exact one I put up in front of this committee in addition to a few  
27 others where species ID was problematic, and Queen Trigger was  
28 done specifically for this because this SSC requested it. So if  
29 you'd like, I can send you the presentation from the last SSC  
30 meeting or- well, we don't have a transcript, but.

31

32 **WALTER KEITHLY:** Okay. So, you say, you know, that expansion may  
33 not be needed on Triggerfish according to your sampling protocol.  
34 So it still goes back whether your sampling protocol is more  
35 accurate than what-

36

37 **TODD GEDAMKE:** Than self-reported data.

38

39 **WALTER KEITHLY:** Pardon me?

40

41 **TODD GEDAMKE:** Than self-reported data.

42

43 **WALTER KEITHLY:** Right.

44

45 **TODD GEDAMKE:** So yes.

46

47 **WALTER KEITHLY:** Okay. I mean, but you're still based on a sample,  
48 not all population. But the question still comes down, are the

1 estimates provided in your analysis more accurate than the  
2 traditional method with the expansion factor?

3  
4 **TODD GEDAMKE:** Even though I'm driving these guys crazy, I think  
5 they would probably agree, for that year, given the design, yeah,  
6 that estimate is absolutely rock solid compared to anything that  
7 exists. Now, does that apply across the board? No. But at the same  
8 time, we've got a statistically designed survey that was done to  
9 give us insights to this. And I also will do this for the Center  
10 and everything else, okay? I don't think this is critical for our-  
11 Kevin has already addressed how we're going to deal with this, so  
12 my suggestion would be to just move on because we're going to have  
13 a couple suggestions for sensitivities, and I would say let these  
14 guys get back on track and go- because the expansions- Reni hasn't  
15 dove in yet, but he's going to any second-

16  
17 **JORGE R. GARCÍA-SAIS:** Yeah. I am, I am.

18  
19 **TODD GEDAMKE:** -and then we're going to be here forever.

20  
21 **JORGE R. GARCÍA-SAIS:** Well.

22  
23 **RICHARD APPELDOORN:** All right. Kevin-

24  
25 **JORGE R. GARCÍA-SAIS:** What you're saying now is that we need an  
26 expansion factor for all- different for all kind of fish. And is  
27 that going to vary from year to year too? I mean, was, was the  
28 expansion factor right for lobster or no? Because we have a  
29 problem.

30  
31 **TODD GEDAMKE:** If you'd like, I can repeat the presentation and  
32 the full bay of meetings we did last time we were here.

33  
34 **RICHARD APPELDOORN:** The discussion here is on Queen Trigger, okay,  
35 not the whole figure. So Kevin and then back to Nancie, and we  
36 move on.

37  
38 **KEVIN MCCARTHY:** Yeah. Just a couple of things for clarification.  
39 So, the traditional sampling, Walter, as you're talking about- so  
40 this is Kevin, by the way. You're welcome. That is a Puerto Rico  
41 run project that's DNER- We house the data and we support their  
42 efforts, but that's very much a Puerto Rico-run exercise. And the  
43 reason you get into this is it the right thing to- you know, how  
44 accurate is it relative- or how does it compare to the work that  
45 Todd did? The reason you get into the species-by-species thing is  
46 there aren't species-specific correction factors, right? So,  
47 that's where the issue comes in. And in some cases, they line up  
48 pretty well either before or after the expansion, if I'm

1 remembering correctly, and in some cases, they don't. But you're  
2 right, Rich. We should carry on, right? I think we've got a path  
3 forward with suggested ways to handle that, and I'll put it back  
4 to Nancie or the committee for additional data questions.

5

6 **RICHARD APPELDOORN:** Vance?

7

8 **VANCE VICENTE:** Yeah. Nancie, how comfortable do you feel with the  
9 1980s landing data for *Balistes vetula*, specifically between 1983  
10 and 1986? How comfortable do you feel with that dramatic drop from  
11 140,000 to 40,000? Because the rest, after 1990, well, it's just  
12 typical. I mean, you have this fluctuation, but it's relatively,  
13 I mean, normal for any of the species that we have looked at. I  
14 mean, there all these oscillations. But specifically, between 1983  
15 and 1986, how good do you feel about that data?

16

17 **NANCIE CUMMINGS:** Thank you, Vance. So, there's the two topics  
18 that we're talking about. If it's okay with the Chair, I'd like to  
19 just provide at least my input from an, an [LS?] standpoint  
20 regarding the expansion factor and then answer that question, if  
21 that's okay with the Chair. Thank you.

22

23 So back to the traditional expansion factor system, developed by  
24 Puerto Rico DNER over this history this entire time. So, first of  
25 all, you've got a mix. You got a weight-based factor, which gets  
26 to this question you have too, developed from the early time series  
27 on weight. It was on total aggregate weight. No species included  
28 in that and not even fisheries, not even gear-specific expansion  
29 factors, not region. We know that they are variable by region. So  
30 when you start comparing those with fisher-based expansion factors  
31 that at least are based on- the comparison is on the sum of the  
32 catch across X trips divided by the sum of the observations. How  
33 many trips they actually- the port samplers essayed out- you know,  
34 evaluated. And that's treated in that paper that I'd really  
35 encourage you to look at because, like, the expansion factor is  
36 laid out, and it was part of the data evaluation workshop conducted  
37 in two thousand- I think it was '09 and '10. So you're comparing  
38 the weight-based system to the fisher-based system, so you've got  
39 uncertainty in that because you got a different metric about what  
40 your expansion factor is. Okay. That's just uncertainty. And we  
41 didn't have a good way- you don't have a good way because you don't  
42 have side-by-side comparisons to actually correct that one system  
43 to the other, so there's uncertainty.

44

45 And the other point that I really want to point out is regarding  
46 the new port sampling study, which also came out from these  
47 recommendations from our data improvement project that was  
48 conducted in 2011 and '12, which Todd was part of, and to look at

1 what the expansion- what the correction factor should be and start  
2 looking at the variability. So that's really important. It's my  
3 understanding the estimator is based on total catch per day and is  
4 not trip-based. So you've got- you had a little bit more different-  
5 this is just gets to the technique. It's a statistical design and  
6 it's got a statistical background to it, but still, you've got  
7 another- it's a different estimator. It's not looking at- you're  
8 just basically getting the total catch per day of what's reported  
9 versus the total catch per day which you observed. So it's another-  
10 at least you got a match, trying to match that there.

11  
12 But this is a question I have out on the table because I don't  
13 know. I haven't been on the ground, but it's my understanding that  
14 a number of those comparisons were made in Puerto Rico the MER  
15 study, directionally made using sampling effort from Puerto Rico  
16 DNER. So, I have some concern that maybe we have some redundancies  
17 in how it's been calculated that the port- the field agents were  
18 assisting in these collections. And I think that gets us back to-  
19 I think at that SSC meeting last year, it was, I don't want to use  
20 the word promise, but identified that there would be a white paper  
21 and actually an independent review of that port sampling project.

22  
23 So, Vance, to circle back, I think there's uncertainty in both the  
24 early data and the late data. And the other thing that's even more  
25 uncertain is the landings exploitation history back before '83  
26 because we know we had fishing going on back into the '50s and  
27 '60s. So how much were they fishing on Queen Trigger? I don't know.  
28 I mean, lobster was being exploited back into those years, and we  
29 know that Queen Trigger is sort of, you know, my understanding is  
30 a big bycatch from the lobster fishery. So there's actually- we  
31 know that there's removals and exploitation going back into the  
32 '70s- '60s and '70s.

33  
34 **VANCE VICENTE:** Okay, that- let me finish. So, the reason- Vance  
35 Vicente. The reason I'm asking is that between 1983 and 1986, there  
36 was an island-wide and Caribbean-wide event which has to do with  
37 the diet of this fish that we're talking about. This is the  
38 massive, die-off of *Diadema Antillarum*, which is a common- a  
39 dietary component of this species. The feeding habits of Caribbean  
40 reef fish [inaudible] still holds, you know, because the habitat  
41 has changed so much. But I did a study island-wide; I got a grant  
42 from [inaudible]. We did go around the whole island and estimated  
43 percent mortality of *Diadema*, and it was a very significant event.  
44 And I wonder where there may be a correlation of these extraneous  
45 factor that could be used to help explain this significant, or at  
46 least, you know, apparently significant drop in catch where it has  
47 to do with the behavior, you know, feeding behavior of the species.

1 Just bringing it up to the table to see what, what do you think.  
2 Maybe it doesn't have anything to do with it, but- you know.

3  
4 **RICHARD APPELDOORN:** All right. We'll take Erik online, and then-  
5 but we need to get on topic.

6  
7 **ERIK H. WILLIAMS:** Yeah. Thanks, Rich. I'll be quick. This is just  
8 one more data question. So in the assessment, there's two indices,  
9 and what I'm trying to get at is, what is the understanding of how  
10 well those indices characterize abundance? Is there one that's  
11 better than the other? Why were both put in there? And one thing  
12 that might be computed externally is the correlation among those  
13 because when I look at them, it looks like they're diverging in  
14 the most recent years. One is going up, one's going down, which is  
15 not a good thing to put into a model is conflicting indices.

16  
17 **NANCIE CUMMINGS:** Thank you, Erik. Nancie here. So, yes, I'm going  
18 to- I have a table, and I can share that later, but I've made um-  
19 Thanks, Erik, and Jason also for your comments on this assessment.  
20 So I've computed an- informed a table that would show you some of  
21 the pros and cons of the two indices, but I don't have it in front  
22 of me, so I'm going to do it on the top of my head, and that is  
23 looking at the trap index, we know it's a little bit more time  
24 limited because it starts in 2003 and- by a couple years, but only  
25 a couple years, whereas the NCRMP index starts a little later. But  
26 we know the NCRMP index has a very good statistical design to it.  
27 We do acknowledge that divergence at the end of the series, but it  
28 has- it is very accompanied by high CV, so it's more uncertainty  
29 in that index. But the other thing is that it doesn't go out quite  
30 as far likely to capture the abundance of maybe the larger fish  
31 because of that temporal- that spatial restriction. So that is one  
32 thing. And in terms of the fishery-dependent index, then it picks  
33 up a few of the smaller individuals. So we feel like the fishery-  
34 dependent index is capturing the total of the abundance of all the  
35 size groups and likely, some of the adults. But we also know that  
36 the trap index is not picking up the biggest, biggest, biggest  
37 fish, you know, like 50 centimeters. And there's probably not that  
38 many in the area that is being exploited. But we feel like the  
39 trap index is a good index, and it has now been subjected to some  
40 rigorous discussions and also the methodology that was used to put  
41 it together, so. Thank you.

42  
43 **RICHARD APPELDOORN:** All right. Todd?

44  
45 **TODD GEDAMKE:** Shannon's deferring to me, but if you have a direct  
46 follow-up on that, I'll give you the floor for a second. Just-

47  
48 **SHANNON CASS-CALAY:** No, go ahead, Todd.

1  
2 **TODD GEDAMKE:** Okay. I was going to make a comment. Nancie just  
3 said that the NCRMP index isn't picking up the biggest animals.  
4 The trap index isn't picking up the biggest animals. If we're going  
5 to talk- I don't want to get too far off on data here, but, you  
6 know, like Erik said, before we get into the assessment model. The  
7 NCRMP index was evaluated before the- at least the early one was  
8 evaluated before we did 30. Jeremiah and I worked a lot on that,  
9 and basically, the bottom line for our evaluation at that time,  
10 and it has expanded a lot since then. But the conclusion was it's  
11 not representative. And what we have here is if you look at the  
12 sample locations for the survey, you have isolated locations. As  
13 Reni pointed out earlier, you have habitat that is not being  
14 touched on this, and more importantly, we have information from-  
15 I mean, the trap survey on Saint Croix shows that the greatest  
16 abundance of Queen Triggerfish is well deeper than 30 meters. And  
17 we have that fully in there. You know, Julian he's sitting right  
18 over there. Ask the trap guy where he's catching most of these  
19 Queen Triggers, and he'll- you know, he's probably not going to  
20 tell us. At the same time, I think it's pretty i- when you get  
21 down to 20, 25 meters on these, you're barely touching the  
22 population of Queen Triggers.

23  
24 **NANCIE CUMMINGS:** Thank you, Todd. Go back to the Chair if I  
25 interrupted.

26  
27 **RICHARD APPELDOORN:** We'll let Shannon comment on that, and then  
28 we'll get your response.

29  
30 **SHANNON CASS-CALAY:** So, I think these are all excellent  
31 observations, and of course, there are important uncertainties.  
32 And one thing I'd like to ask the SSC to do while we're discussing  
33 these uncertainties is to have kind of practical recommendations  
34 for what we could show you about the sensitivity of the model to  
35 these major uncertainties. And one that Nancie has already done is  
36 called the jackknife analysis, and it's in the document, and it's  
37 the sensitivity of the model to the use of the indices. So she's  
38 removed one index, and then the other index, and then, I believe,  
39 both, whereas the length composition data that you've removed-

40  
41 **NANCIE CUMMINGS:** I've done both.

42  
43 **SHANNON CASS-CALAY:** Okay. She's done all of these things. And so  
44 we can show you kind of the sensitivity of the model to those  
45 sources of data. And I want to just add one more thing about the  
46 catch because the catch is quite uncertain in the U.S. Caribbean,  
47 and we've discussed this many, many times. It's probably not  
48 something - we can correct easily at this time, but I do think

1 that, you know, a recommendation from this working group, for  
2 example, to look further into the MER report and determine, you  
3 know, what we can learn and whether the catch data can be improved,  
4 would be helpful. It could be something like a SEDAR procedural  
5 workshop.

6  
7 **KEVIN MCCARTHY:** This is Kevin. We also have a CIE review scheduled  
8 for that as, as noted in a previous SSC meeting.

9  
10 **SHANNON CASS-CALAY:** Thank you, Kevin.

11  
12 **TODD GEDAMKE:** I just want to follow on Shannon's because it's  
13 exactly what I'm doing. Vance, if you have concerns about '83  
14 through '86, your recommendation at the end here is cut off '86  
15 before. Run it from '87 on. So if we could all come up with these  
16 little, um- yeah, so I'm trying to keep a list.

17  
18 **VANCE VICENTE:** Don't cut it off.

19  
20 **RICHARD APPELDOORN:** Okay. Julian's been waiting very patiently.  
21 go ahead, Julian.

22  
23 **JULIAN MAGRAS:** Julian, for the record. Okay. I'm going to comment  
24 for a second in Vance's concern. And yes, back in the '80s, when  
25 we did have the sea urchin die off, the ol' wife pretty much  
26 completely disappeared from the fishery. I'm a trap fisherman, and  
27 I know all the trap fishermen also. I was young into the trap  
28 fishery. I started my trap fishing back in 1989, so it was prior  
29 to that, but I'm a four-generation fisherman. And we did see where  
30 the highest catch has always been the Queen Trigger, it went to  
31 barely catching five Queen Triggers a trip when the sea urchins  
32 disappeared. As the sea urchins came back, the Queen Triggers came  
33 back. And we just had a small episode here over the last few months  
34 where we had a die-off of the sea urchins again, and we did start  
35 to see the decrease in the catches of the Queen Triggers. But that  
36 looked like that trend has slowed down. The sea urchins are coming  
37 back again, and of course, the numbers of Queen Trigger, which is  
38 the number one fish caught in the trap fishery right now.

39  
40 So I wanted to put on the record the answer to what Todd said. And  
41 I was on a meeting with part of the, the SEDAR assessment, and  
42 when I spoke about Saint Thomas, one of the questions that Nancie  
43 did ask me was about the different depths and the bottoms and  
44 everything. Like Todd said, I do have that information in my head.  
45 You know, you catch the larger Queen Triggers in deeper waters.  
46 You catch them anywhere from 36 to 40 meters. You would catch the  
47 larger ones, and in small- like, in a harder-type bottom. The  
48 smallest-size fish, they love to hang out in what we call a grubby

1 bottom. Now, everybody was asking me, "Can you explain what a  
2 grubby bottom is?" It's like corally, but, you know, it's like  
3 little rocks, and they like to hang- the smallest-size fish love  
4 to hang out in, like, 25 meters of water, even sometimes, way less  
5 than that. So, it's like the species is- the larger ones, they go  
6 to the deeper water, especially when they're spawning and nesting,  
7 and then the smaller ones, they hang out in the shallower water.  
8 So I just want to put that on the record.

9  
10 **RICHARD APPELDOORN:** Thank you very much for those insights,  
11 Julian. Walter?

12  
13 **WALTER KEITHLY:** Yes. This is Walter. Nancie, again, the  
14 Triggerfish is just a portion of many species being caught on a  
15 trip, I would assume. Did you look to see what proportion of the  
16 catch Triggerfish represented on the average trip and has it  
17 changed over time?

18  
19 **NANCIE CUMMINGS:** That's a good question. Now, I just want to add  
20 that we didn't go into the individual model factors that were  
21 included in the abundance index. We have slides that get to that  
22 if we need to. But I just want to say that one of the ways we  
23 identified subsetting of trips that might be targeting Queen  
24 Trigger, we know there's not a completely directed, religiously  
25 directed, targeting Queen Triggerfish fishery here. This is a  
26 bycatch of these other trips. But we used- identified a suite of  
27 species, we called them a reef guild. So identified a whole group  
28 of species, and there was language in the report on of what species  
29 were included in the reef guild. So, I'm going to defer to Adyan  
30 for the proportion, but I don't think that changed much over time,  
31 but she can follow up with that. So, we included a suite of species  
32 called a reef guild in our subsetting approach. So, we were trying  
33 to get at targeting. If- so let me defer to Adyan on that.

34  
35 **WALTER KEITHLY:** Well, let me just- That was more to determine  
36 what you should have caught, a Triggerfish that are caught from  
37 [crosstalk] on a trip. Yeah. That's why you use-

38  
39 **NANCIE CUMMINGS:** Yeah. Exactly. Exactly. So, so whether that  
40 contribution changed or not, let me defer to Adyan for that because  
41 she was the analyst that looked at that.

42  
43 **ADYAN RIOS:** Adyan Rios. So, for the exploration and development  
44 of the index, we did look at proportion positive and number of  
45 trips and other elements of preparing the index proportion of a  
46 given trip calculated, but not kind of made into a graph to, like,  
47 that data, depending on- it's useful to explore and provide, but  
48 it's also, what the question or the hypothesis is to get at from

1 what the proportion of a given trip, there's going to be diversity  
2 in that. and I don't think at this point, we've really used  
3 subsetting methods that take into account, you know, whether you  
4 need to have a certain proportion. The proportion of Queen  
5 Triggerfish on a trip will be related to targeting, and so  
6 targeting is a topic that you want to further explore and I think  
7 would be a really good research recommendation for improving the  
8 indices is to definitely ask other questions that get at  
9 understanding the data and the fishery more so that we can use  
10 variables in the standardization that get at the factors that  
11 contribute variability that is not related to the abundance.

12  
13 **WALTER KEITHLY:** Thank you. And that's kind of what I was thinking  
14 of or wondering that, again, much of this model's based on length  
15 composition. But that length composition may, and that's strictly  
16 may, depend on what species are being targeted. And if the  
17 targeting behavior's changing over time, could that possibly  
18 result in some findings along length composition? That's what I  
19 was wondering.

20  
21 **RICHARD APPELDOORN:** So, I think, on the same vein JJ?

22  
23 **JUAN J. CRUZ MOTTA:** Thank you. JJ here. To answer your question,  
24 yeah, it does change, actually, the relative composition of the  
25 catch through the years. Just looking at the landings data as it  
26 is, the proportion of Triggerfish changes through time and is some  
27 of the analysis we have been doing from an ecosystem-based  
28 fisheries approach. Definitely, the structure and composition of  
29 what is being caught in the Caribbean has changed through the  
30 years.

31  
32 **RICHARD APPELDOORN:** Graciela?

33  
34 **GRACIELA GARCÍA-MOLINER:** Well, you do have a comment from Jason.  
35 I don't know if he wants to chime in, Jason, or you want me to  
36 read it?

37  
38 **JASON COPE:** If you don't mind reading it, that'd be great.

39  
40 **GRACIELA GARCÍA-MOLINER:** Okay. So the key assumption is the  
41 equilibrium catch. It currently assumes the highest three catches  
42 go back in time to create stable population size under those  
43 catches, and thus, a much reduced population at the start of the  
44 known catch series. It will be important to test the sensitivity  
45 to the model to the equilibrium catch. I assume it will make an  
46 important difference.

47

1 **RICHARD APPELDOORN:** All right. I actually have a - this is Rich  
2 - a somewhat similar question in terms of what those initial  
3 catches were and how they might impact the analysis. So is this  
4 something where you start off at some initial state, which is way  
5 in the past, and through the analysis, you're actually moving  
6 toward better and better estimates as you get toward the current  
7 data, and therefore, those errors that might occur in those initial  
8 population sizes aren't really relevant? Or is this something where  
9 it actually affects the final outcome, just a procedural, um- I  
10 mean, I don't understand how the process works so that's what I'm  
11 asking.

12  
13 **NANCIE CUMMINGS:** Yeah. So, thank you, and I actually defer to  
14 Jason on this in a moment. But just to let you know how they would  
15 calculate it, there was a slide that basically, we don't know that  
16 removals history before then. We note that it was likely, at least  
17 the 5 to 10 years before, it was not zero. The way the 1982 start  
18 year- '82 equilibrium was informed was through the average of the  
19 1983, 4, and 5. And so your next question was, is it something  
20 that would improve in time? No. It's going to be- that's the way  
21 it- that's the error- that's the estimate of it, and that's what  
22 instructs the model.

23  
24 **RICHARD APPELDOORN:** No, that's not what my question was. My  
25 question was, once you have that estimate as some kind of starting  
26 place, yes? So, as you proceed away from that estimate into more  
27 recent years, is the significance of that initial estimate  
28 important or not? I understand how you got the estimate, so I'm  
29 not complaining about that. I'm just wondering whether, you know,  
30 I'm thinking back to a virtual population analysis where you make  
31 a guess about something, but that guess is just to get you going  
32 because by the time you get to where you want to be, which is  
33 what's happening now, the errors are, you know, going down on that.  
34 Or is it, you know, like, working back where you're actually  
35 blowing up the error? So that was my question.

36  
37 **NANCIE CUMMINGS:** And no, SS is actually starting the model in  
38 that equilibrium catch, 1982, and it is assuming it is known that  
39 there is very little error or no error. We've put a standard error  
40 around that catch of 10%.

41  
42 **RICHARD APPELDOORN:** Yeah, but it's still not answering my  
43 question.

44  
45 **NANCIE CUMMINGS:** The answer is no, it does not make it better. It  
46 is important.

47  
48 **GRACIELA GARCÍA-MOLINER:** Got Jason.

1  
2 **RICHARD APPELDOORN:** Okay. Jason and then J.J.  
3  
4 **GRACIELA GARCÍA-MOLINER:** Yes. This assumes catch is known. It is  
5 important in this case.  
6  
7 **JASON COPE:** This is Jason. Is it helpful if I explain that a  
8 little bit more?  
9  
10 **RICHARD APPELDOORN:** Yes.  
11  
12 **JASON COPE:** So just so everyone's clear what stock synthesis is  
13 doing, I think we're oftentimes used to starting maybe a time  
14 series at zero catch, and so we have this unfished population.  
15 When you add an equilibrium catch, you are saying that this  
16 equilibrium catch goes back in time for as long as it takes to  
17 create a new equilibrium starting age structure. We haven't really  
18 gotten to the results yet, so Nancie has not had the benefit to  
19 actually show us where we need to see here, but what you'll notice  
20 is that there's going to be an unfished dot and then there's going  
21 to be a dot on the bottom as it drops to a very low level at the  
22 beginning of the time series. That's the difference between putting  
23 it at the equilibrium catch-in or assuming it starts at unfished.  
24 And so, the answer, does this equilibrium catch matter, I'm  
25 assuming it does because it drops it so much. And if you changed  
26 it, and I think the worry here is that they had to assume in this  
27 first instance that the average catches were essentially the top  
28 three catches ever seen or recorded in the time series, and then  
29 that assumption goes backwards, basically saying they've always  
30 caught the highest amount of catches kind of in backwards  
31 perpetuity, right, until this more contemporary time where you  
32 actually have this metric catches going forward. And then the  
33 population changes from that equilibrium catch under- I'm sorry,  
34 the equilibrium population under the equilibrium catch to a more  
35 dynamic population under the variable catch. So that's- hence, my,  
36 my curiosity if we did- I think there's a lot going on with this  
37 equilibrium catch that if there was some sensitivity to that, we  
38 might gain some understanding and it would be a really easy  
39 exploration to do. I hope that's helpful.  
40  
41 **RICHARD APPELDOORN:** Okay. Thank you for those comments, Jason.  
42 Nancie, I had one other comment. I think this is just kind of  
43 reiterating something that's already been said, but it concerns  
44 the NCRMP index. You mentioned that in the early years, this is  
45 just from three locations. I'm guessing those three locations are  
46 La Parguera, Saint John, and Buck Island, so only one would apply  
47 to Puerto Rico, and yes, from everything we've heard about Queen  
48 Trigger, La Parguera, would not be a representative area for that.

1 And then going forward, you know, especially the last three surveys  
2 where the sample sizes has gone up substantially and you're  
3 covering things island-wide presumably a greater mix of habitats  
4 your densities are going up really high really fast. In terms of  
5 rate I guess it's- those increases are no greater than, say, the  
6 increase that occurred from 2005 to two thousand - whatever that  
7 is - six. But it is remarkable how you can have that kind of  
8 increase and expect that to be solely due to, you know, greater  
9 recruitment and growth and whatnot. So there may be a sampling  
10 thing there as well. We've already talked about throwing the  
11 sensitivity up. That's vital. Don't think I want to belabor this  
12 point any further than that. It's just a reiteration of that.  
13 Kevin?

14  
15 **KEVIN MCCARTHY:** Yup. Thanks, Rich. This is Kevin. so just a little  
16 background, and I'll make this quick on how SEDAR works, for those  
17 of you who haven't suffered through- I mean, haven't experienced  
18 it very often. There are, for these operational assessments, there  
19 are these things called topical working groups. So, this RVC, this  
20 diver survey, was recommended for years by that topical working  
21 group. So, under the rules of SEDAR we included it. So I would  
22 encourage those of you, when you are presented with the opportunity  
23 to be on a topical working group please join and bring your  
24 expertise there because these things, I'm sure, were discussed. I  
25 wasn't on that group, but that's how we got here with that index,  
26 so just a little background. But as those of you who have that  
27 kind of expertise and know about these things, you know, that may  
28 have been instrumental in the deliberations of that group a little  
29 bit earlier in the process. So I would encourage everybody to serve  
30 on the TWGs as we call them, the topical working groups when you  
31 have the opportunity. But that's how we got here.

32  
33 **RICHARD APPELDOORN:** Hopefully, one last comment. JJ?

34  
35 **JUAN J. CRUZ MOTTA:** It's more a question than a comment, and it's  
36 also related to the NCRMP. Two questions. The first one is did the  
37 size composition data was used from NCRMP? And if positive, how  
38 you split the data that was in five-centimeter bins into two? Thank  
39 you.

40  
41 **NANCIE CUMMINGS:** Great question. If I may, Chair? We were able to  
42 use metho- the developer of SS, he has a characterization routine  
43 in terms of fitting the size composition data, referred to in the  
44 manual as a generalized size composition method. So, it allows you  
45 to have different binning interval sizes, and so we use the five  
46 centimeter for that, and that's reflected in those fit plots that  
47 I showed you where you have- you know, basically, the fit is, you  
48 know is per five-centimeter intervals. And so, we recognize that

1 it's not as good of a resolution as you'd like, maybe, but it's  
2 what we have, and that going forward, they're doing it in two  
3 centimeters.

4

5 **JUAN J. CRUZ MOTTA:** Thank you.

6

7 **NANCIE CUMMINGS:** And so, yes, the data were used. And so that  
8 gets to also a question, I think it was, that Jason had regarding  
9 when we're- I think it was Jason, that we're able- we're not able  
10 yet to include the internal weighting, the- it's referred to in  
11 the manual as [inaudible]. But because for the generalized size  
12 composition method it's not been implemented yet. And so, I've  
13 responded to those notes, and I have, you know, basically included  
14 some texts from Ian Taylor and Rick Methot, basically. So, it had  
15 to be- we had to use the old system of manually adjusting the  
16 weightings by the recommended input variance adjustment, so.

17

18 I just want to make another point about the, the NCRMP index. And  
19 it is- you know, it was a part of a term of reference, so we dealt  
20 with it, but the other thing was- the other thing- items that we're  
21 able- you know, term of references to update the data too. So if  
22 there were any improvements since the 2013, '14 evaluations, then  
23 we want to include those new data, and, and explicitly, we have  
24 the new belt SPC, the stationary point survey. So we wanted to do  
25 that, and then we were able to go back and calibrate the earlier  
26 data. But another point is that, yes, we have restricted to 30  
27 meters, but also, we know that we have low sample sizes in those  
28 early years. And then Rich points out goodly about the habitat  
29 differences, and yes, it was La Parguera in Puerto Rico in the  
30 early years.

31

32 **RICHARD APPELDOORN:** Oh, Uno mas.

33

34 **NANCIE CUMMINGS:** Nancie has one more point. And I mentioned this  
35 earlier. It had to do with the length compositions, it had to do  
36 with the, where we're getting the growth information from, and  
37 it's coming off of- a lot of these samples, they were fishery-  
38 independent samples, but a lot of the samples were from the  
39 fishery, and the fishery is operating in these depths. So, you  
40 know, although we know from the, mesophotic work, there are some  
41 animals out there- and that would be great for describing the  
42 population growth, but right- you know, what we have here is most  
43 of our growth data are coming from the fishery, and the TIP samples  
44 are characterized in the compositions from the fishery.

45

46 And the other point to make about that index, the commercial trap  
47 index, is that the proportion of positives, they weren't, like,  
48 rando- like, just up and down. There were no huge spikes. They

1 were between about 25%, and I think it was about 45 or so percent.  
2 So they were some stability to the proportion of positives, whether  
3 the contributions of this species to all the catch is varied over  
4 time. I would expect that to as the cohort strengths are varying  
5 but all the animals that it's associated with, and that's another  
6 great research question.

7  
8 **MICHELLE SCHÄRER-UMPIERRE:** I'm Michelle Schärer. I have two minor  
9 points, but one to Nancie. But some of those traps are going deep  
10 except we don't expect the larger Triggerfish to go in them, so we  
11 wouldn't see them in those sizes. Just wouldn't come up in TIP  
12 data. Second, I just wanted to ask if there was any idea of what  
13 the reported landings for Queen Triggerfish includes other species  
14 of Triggerfish. In a Spanish translation, everything that looks  
15 like a Triggerfish is going to be peje puerco. When you go back to  
16 Queen Triggerfish, it's not necessarily that. More recently I've  
17 even seen monacanthid that's being called peje puerco. So is there  
18 any way to actually see if that is significant in these landings  
19 that you have four or five different species and not just the blue  
20 one?

21  
22 **NANCIE CUMMINGS:** So, in the early years, they were not identified  
23 always to species, and so there was a lumping. So, in the early  
24 data, no, but as port sampling became more intensive, these are  
25 split up to species. So in Puerto Rico, we don't have the same  
26 problems that we had in the Virgin Islands where we just started  
27 the species reporting. So, in Puerto Rico, if there was a  
28 misidentification, which would also be uncertainty in catch we  
29 don't have that ability to- I don't think, to look at- correct  
30 those records.

31  
32 **RICHARD APPELDOORN:** Okay. Todd?

33  
34 **TODD GEDAMKE:** So the data that Nancie hasn't seen shows exactly  
35 the breakdown from Queen Trigger to gray Trigger. It's not as  
36 critical of an issue, Michelle. I definitely looked at it. If I  
37 remember correctly, you had 1,500 to 2,000 pounds of Queen a week,  
38 and gray Trigger was actually about 300 to 400 pounds. So you're  
39 looking at whatever that boils down to. It's not as critical, but  
40 my recommendation is going to be a sensitivity to account for  
41 exactly that, and that would be to take the landings of Queen  
42 Trigger which are reported. That's only one that's reported in the  
43 database. So although the forms have been modified, no, you're  
44 right. Puerto Ricans are only reporting Queen Trigger for  
45 everything. There's small other ones, maybe a few records in there,  
46 but we- so we have the breakdown of that, at least from the one  
47 that we did.

48

1 **RICHARD APPELDOORN:** Nelson?

2  
3 **NELSON CRESPO:** So around the '80s, we start developing a, a trap  
4 fishery around the island, and we confirmed that by phone right  
5 now. But the reality here is that having an approved data from  
6 divers, you have to take that into consideration because the  
7 biggest in the real world are caught by divers. A huge Queen  
8 Trigger is never going to enter due to its size and the size of  
9 the funnel of the traps. It never going to get into the funnel. So  
10 you have to have that into consideration.

11  
12 **RICHARD APPELDOORN:** Thank you, Nelson. I think I'm-

13  
14 **NANCIE CUMMINGS:** Thank you, Nelson.

15  
16 **RICHARD APPELDOORN:** I'm not seeing any more questions, so I'm  
17 suggesting maybe we, we get to the assessment model configuration  
18 section.

19  
20 **NANCIE CUMMINGS:** Thank you, Chair. Okay. Now we're going to start  
21 playing with the assessment model configuration and just thank  
22 everybody for all these wonderful comments. Let me get this going.  
23 Okay.

24  
25 So the model specifications it was one area. We assume no mixing.  
26 We've already heard about connectivity across the region so one  
27 season. Maturity was a function of age, combined male and female  
28 SSB, and it's really a single-sex model here. Like, we should-  
29 that's how it's referred to. As you know, von Bertalanffy the  
30 growth inputs that were necessary for the model were the L-  
31 infinity, the K, and the Lmin from the Shervette/Rivera-Hernandez  
32 model. And we implemented the model with an Lorenzen declining M  
33 at age model.

34  
35 The selectivity and retention length- was length-based  
36 selectivity. It was used for the two fleets, dive and trap, and  
37 survey. It assumed constant selectivity across the entire set of  
38 years, two thousand- 1983 to 2019. Retention was assumed to be  
39 100% and that there were no discards. The paper describes the  
40 background and gives some references regarding the support for  
41 100% retention. And also, we've heard from several of the DAP panel  
42 Chair as well as from another couple of members about pretty much  
43 everything is retained. The discards, as I said before, were added  
44 to the total landings and applied a 10% mortality rate, and we  
45 understand that that maybe a minimum estimate. The stock was  
46 assumed not to be in an unfished condition at the beginning of the  
47 time series. It was experiencing exploitation. I reserve the right  
48 to put an adjective on the word moderate in 1983. That was the

1 trap fleet. The dive fleet was assumed to have minimal to zero  
2 catch in 1982. Therefore, there was an estimated initial F for the  
3 trap fleet. The way this 1982 equilibrium value was informed was  
4 through the average of the '83 through eighty- it should say '86  
5 there. My apologies. We use a continuous F method for the  
6 estimations of mortality rates. It's recommended in the model from  
7 the developer where catch is known imprecisely and there was a  
8 small error on landings. So on the right-hand side of the panel,  
9 just want to say that we have a logistic, which is an asymptotic,  
10 assuming that selectivities starts at a low size, and it adjusts  
11 itself upwards to an asymptote and then for the trap fleet and for  
12 the visual census survey. And then the dive fleet was informed as  
13 a dome shape, selectivity function.

14  
15 We did hold conversations with the port samplers and also other  
16 experts in the region regarding the selectivity of the trap fleet  
17 because I was of the opinion that it might be more dome than  
18 logistic for that very reason of animals not getting into the trap.  
19 But after- I had some extensive conversations with the port agents  
20 and with the previous director, and, you know, they continued to  
21 inform us that it's not a- first of all, it's not a directed  
22 fishery. It's caught as a bycatch. But they also had conversation-  
23 yes, occasionally an animal might get through because I'm like,  
24 "How much can they bend in the wire to get in?" And it boils down  
25 to, if they do get in, they're not going to get out. So, they're  
26 not being- you know, they're not getting out. Probably it's not a  
27 dome-shaped curve, but the other thing was that it depends on the  
28 funnel, if they can get in or not. So you, you know, depending on  
29 your animal and depends upon the- maybe if the trap construction  
30 is weak, if the wire is weak, if they can bend the gauge, they can  
31 get it. But by and large, the opinion was that they're mostly not  
32 getting in, but there's probably some animals getting in. And so,  
33 you know, I don't think we have nonrandom port sampling anymore.  
34 I think we have pretty- probably a pretty good, reasonable  
35 expectation that they're not- the samplers are not sampling the  
36 big f- or recording the big fish. So if they were getting in and  
37 they're retaining them and they're sampling them, they would be in  
38 the observations. So I'd like to s-

39  
40 **RICHARD APPELDOORN:** Um, N-Nancie, just one question.

41  
42 **NANCIE CUMMINGS:** Yes, sir.

43  
44 **RICHARD APPELDOORN:** I couldn't quite understand. You said  
45 something about constant selectivity. That's over time?

46  
47 **NANCIE CUMMINGS:** Yes, sir.

48

1 **RICHARD APPELDOORN:** Okay. Thank you.  
2

3 **NANCIE CUMMINGS:** Yeah, my apologies for that. What we did to  
4 support that was that, do we need to be aware of any changes in  
5 the management that were going on in the region that would've  
6 affected selectivity? It could've- and we would've handled that by  
7 allowing a time block. But was it just kind of randomly going and  
8 start putting blocks? Because as someone pointed out earlier, this  
9 is a very constrained model. And so, the more parameters we're  
10 putting, we're just going to explain away everything. Thank you  
11 for that.  
12

13 So we'll attempt to go through some of the base model results. I  
14 think I'm going backwards. Okay. First, we'll talk about the fits  
15 to the different components. And remember, we have- I think it's,  
16 what, three or four different kinds of components. And that's the  
17 landings, the catch data, two fleets, and we already told you, we  
18 put a 10% standard error on the catch, and we're addressing term  
19 of reference one, three, and four. And again, '83 is the start  
20 year. 2019 is the terminal year. As we've already gone through  
21 these assumptions, I don't want- need to be repetitive again. We  
22 know the fishery was not in- no matter what you assume for the  
23 initial year for the size of that value, the catch value, or when  
24 you start the time series, we still know in our minds that this  
25 fishery was not- was still undergoing exploitation prior to 1983.  
26

27 So basically, what you have here is observed and expected landings.  
28 And as was noted by one of the SSC members, SS is assuming the  
29 catches are known. It's basically, you know, forcing the fit here.  
30 It's going to do whatever it needs to do within the guise of the  
31 standard error that we put on it to get this fit. And this is  
32 [borne?] out here. Basically, the trap is in blue, and the dive is  
33 in red.  
34

35 Here are the base model fits. We'll treat this in order of indices,  
36 and then we'll move to compositions. On the left, you have the  
37 trap fleet, and on the right, you have the visual census survey.  
38 So, term of reference 3, to consider potential development and the  
39 improvement of one or more indices of abundance, we are revisiting  
40 the commercial indices because these are self-reported data, as  
41 noted by Todd, and we have a fishery-independent series, and we  
42 note the difference in time. The trap fleet starts in 2003. The  
43 NCRMP surveys- the index started in 2001. And, you know, although  
44 the index for the fishery-independent survey is mainly flat, but  
45 the variability on the fishery-independent survey is extremely  
46 high, extremely large. And we know that- we see some evidence of  
47 trending here, and we'll see that in a moment in the residuals,  
48 but we do see some overestimation, underestimation. In other words,

1 it's not a perfect fit for the trap fleet, either. And we do see  
2 basically a slight decline in the index from the 2003 data point  
3 and then followed by an increase through two thousand, about '13,  
4 I think this is, or '12. Okay. [inaudible].

5  
6 Okay. Selectivity. Again, the trap fleet- this- excuse me. This is  
7 a graphic showing you selectivity in terms of proportion selected  
8 of the animals from three different components, and that's the  
9 trap fleet in blue, the dive fleet in this purple or lavender or  
10 whatever the color is, and RVC, the NCRMP survey. So, we're seeing  
11 as- we might expect that the trap fleet, it gets a few animals out  
12 here into smaller sizes, but the dive fleet is, in general, as we  
13 know from testimony from the fishers, it's selecting and keeping  
14 a certain group of fish- size group of fish. Doesn't necessarily  
15 keep these biggest ones, either. And then we see that the survey-  
16 RVC survey always gets- also gets some of the smaller fish, but it  
17 asymptotes out as well. So, the trap fleet and the RVC were  
18 characterized with an asymptotic increasing selectivity and  
19 asymptoted out. This is as noted by, I think it was, Jason. This  
20 is derived age-specific selectivity for the same three, two fleets  
21 and one on survey, but it's derived from the length-based  
22 selectivity taking it throughout the growth curve. And this  
23 addressed term of reference 3, and that was to consider potential  
24 for improvements in both the parameterization of gear selectivity  
25 and/or retention, and in this case, we have 100% retention. So, we  
26 did- that we're not- that really didn't even have to be put in  
27 there. And then considered the development of the length  
28 composition [inaudible] to use that to inform selectivity. So that  
29 was something we hadn't looked at. You know, I think Todd pointed  
30 out that it had been looked at in SEDAR 30 to some degree.

31  
32 So then continuing on, we'll go to the length composition fits to  
33 the trap fleet. So, I just want to point out again starts in '83,  
34 and it only goes to 2017 for the trap fleet. And you can see the  
35 misfit, so it's where the- these are the data, the gray, and then  
36 this is the fitted data. So, where you have a misfit is where there  
37 is a gap between. And so, I would point out, I noticed this- I  
38 mean, I alerted you to this earlier. In the early composition fits,  
39 here's where we have about- a certain amount of misfit, a little  
40 bit of misfit here. A few years have misfit. In general, we have  
41 pretty reasonable fits to the composition data.

42  
43 And this is the dive fleet. Again, it starts at a later time  
44 period, but it goes through the entire set of years. And to get to  
45 someone's point about the diverse catch and the larger fish, we do  
46 see that in here, but also, they catch a window of fish. And we  
47 also have some misfit here, so it's not fitting perfectly there,  
48 either. And then this is- to get to the NCRMP, the visual census

1 survey data, and that's where you see sloppy fits particularly in  
2 the early years, noting the five-centimeter binning but also noting  
3 the load number of sample sizes.

4  
5 To aggregate fits over time, again, we've taken the composites  
6 from all the years for each of the sector- fishery sectors, trap  
7 and dive, with the RV- and the RVC alone, and we see the aggregate  
8 fit. So here, again, you see there's more of a selectivity- I mean,  
9 selected keeping of the fish.

10  
11 Okay. So I want to just turn your attention to the fits and another  
12 statistical measure, and that is the residual. So that would be  
13 the observed from the sampler- I'm sorry, the observed reported in  
14 the sample minus what the model is trying to do. And the model-  
15 without getting into all the weeds, the model is taking every  
16 partition in the data. So, for, let's say, for the trap fleet-  
17 this is to get you down - for that year, 1983, we had- we loaded  
18 in the number of samples for each of these two-centimeter intervals  
19 for the trap fleet and the dive fleet. So it's trying to fit the  
20 observed minus the expected, and the expected is coming from the  
21 model. And you've got to take into account that the model it's  
22 doing its minimis- its fitting over across all the data components  
23 in the model. All this is taken into context with the catch and  
24 with the indices. So it's doing a lot of things, and that's when  
25 we get at why the move to this more complicated model. Well, it  
26 allows us to see the fitting of a different data component. You'll  
27 see this to the indices too. And you saw a moment ago in the catch,  
28 although the catch, just by nature of the way SS works, is fitting  
29 perfectly because that's how it's set up. But- so now you're  
30 seeing- here are the residual scalars. So basically, a smaller  
31 bubble is a better fit, and we like to see residuals that are less  
32 than two units.

33  
34 So here, we see for the trap that we've got pretty good fits. What  
35 you can see here is you've got misfitting both on the smaller sizes  
36 and the larger sizes. So meaning, the y-axis here goes from the  
37 smallest fish. The binning starts at 2 centimeters, and it goes to  
38 70. And as you see here, we don't get a whole lot of fish above-  
39 samples above this mid-40s and so in the trap fleet. And also, you  
40 saw in evidence quickly here of misfit is in these early- the  
41 middle years, like I pointed out, in those earlier fits. So that's  
42 where your worst fits are in the early years and the lower- the  
43 later- and the middle years in this- in the trap fleet. And  
44 likewise, in the dive, you see these data holidays where there was  
45 no reporting. They basically didn't have any samples from those.  
46 And it could be infer from that, that the fishery was just  
47 starting. You know the dive fishery better than me, but we do know  
48 we had some exploitation going back here, and it's just a matter

1 of how were the fish being sampled. And then you have this big  
2 misfit here, but we see in that later years, most of the misfitting  
3 is in the smaller sizes. Which is maybe not unexpected because  
4 maybe it's not fitting that preferred size category that they want  
5 for their merchant or their client.

6  
7 And then lastly, you have the fishery-independent survey. Again,  
8 you see the misfit, larger residuals, and you see it's gotten  
9 better in recent years. So, what I want to point out is that the  
10 survey wasn't- is not conducted now in every year. I think it's  
11 maybe in the growing years, it's going to be every year, but there  
12 are still- like, this was 2015 and '17 and then '19. So we would  
13 like to see sampling every year, but that depends on resource  
14 allocations.

15  
16 So let me get to here. Did I just do that? Oh, okay. Yes. Okay. So  
17 here's where I think I might've made a mess and not made pure mess,  
18 but I have an error in the way I reported the weighting. The  
19 general- using the generalized size composition method, we can't  
20 use the internal weighting with SS that we like to because the  
21 internal weighting is not subjective. You don't have to decide  
22 when to stop when you've gotten to- your observed one, as expected,  
23 doesn't change too much. You might want to say, "Oh, I need to get  
24 it equal to third digit or significant digit or two or one," but  
25 using the generalized size composition additionally is not  
26 available. So we apply the McAllister-Ianelli, which basically  
27 adjusts the sample sizes such that it's based on the variability  
28 and the observed mean length per year. So, if you have to run SS,  
29 look at your input adjustments, input weights, and then look at  
30 the final weights that are achieved by changing the input weights  
31 according to the recommended variance adjustments, and you do that  
32 until you get them non-changing. There's a lot of subjectivity in  
33 it, and that's why we really like to go to the internal weighting  
34 that has been around for a few years, but it's not yet available.  
35 It's on the to-do list of the developer.

36  
37 Okay. So now we get to some of the, what you saw early on. I don't  
38 remember who talked about it. But we're looking at that catch  
39 history from the trajectory where I showed you the overview of,  
40 kind of like, what the model results were, and somebody- and I  
41 showed you fishing mortality over the fishing mortality at SPR30.  
42 And somebody said, "Oh, well, two is not- is moderate." But what  
43 we're getting here at, and I think it was the Chair, is that the  
44 summary fishing mortality for age one-plus is the total biomass  
45 killed of age one-plus divided by total biomass and it's in the  
46 level of 0.5 to 0.6 or that range. So that's why the word moderate  
47 was chosen in this case. And so, we see that it started in about  
48 that range, and then it came down to about half of that. And it

1 kind of was like see-sawed back and forth until the late '90s, and  
2 then it went down, and then it just shows some up and down, kind  
3 of like in this period between 1998 or 9. It just see-sawed around  
4 the level of point of that 20%. And then it shows another decline  
5 followed by a little bit of up and down this, but mostly non-  
6 varying or variable without trend. It sits about two thousand, I  
7 think, '13.

8  
9 Okay. So, this is the fleet-specific mortality, apical mortality,  
10 meaning the highest mortality across all the age groups. And so,  
11 what it tells you is what you already know, is that this is the  
12 continuous F, that it started out pretty- I don't want to say  
13 moderate. This is high, and then it increased and then it went  
14 down for the trap fleet. And so it shows this up and down, but  
15 sort of between about 0.5 and 0.8 or so for the trap fleet, and  
16 then it just has continuously gone down except the last three or  
17 four years. So, what I want to say is that we also have reason to  
18 think that the dive fleet was at a lower level of exploitation  
19 than the trap fleet. One the landing's history, and then two,  
20 because, you know, basically, what you're seeing from the landing's  
21 history, you're seeing the annual, the apical Fs for that fleet.  
22 And it shows similarly - this is interesting - an increase in F  
23 from the late '90s to a high level. It almost surpasses the trap,  
24 but it doesn't, and then it follows the same trend, though, of a  
25 decline in F through about the late 2000s, and then it actually  
26 surpasses the trap F for it- apical F, rather, and then comes down  
27 again, as you see also for the trap fleet. But again, it follows  
28 the same pattern of increasing F over the past three years.

29  
30 So, these are just some- okay. SS, stock synthesis, calculates the  
31 initial mortality rate for- in this scenario, this configuration,  
32 for the trap fleet. We also calculate the annual fishing mortality  
33 rates and the recruitments. And then from those estimates- and we  
34 also calculate some information regarding the stock size, systemic  
35 stock- the stock size at the beginning of the time series. But  
36 from those estimates, then we can calculate these derived  
37 quantities, and they're derived, meaning, they're derived from  
38 those parameters, but also, they're key quantities that you want  
39 to look at to see the condition of the stock over time, so it gives  
40 you those trajectories of spawning biomass and total biomass. And  
41 so, what Jason was referring to earlier is this is the level of-  
42 the estimated level of unfished biomass. So, there is quite a  
43 difference in this. So, you know, that might be suggestive of the  
44 utility of a sensitivity on that starting stock size level or fish  
45 catch level. So, this is spawning stock biomass, and then also, we  
46 show you spawning stock biomass with a 95% confidence interval.  
47 So, what I just want to say here is that as we expect- I mean, the  
48 model starts- it's a forward projection- forward calculation model

1 and so it's starting from '83 forward, but we see that the  
2 confidence that are on the later years is higher- is larger,  
3 rather. We also see that the confidence interval around the  
4 unfished state is very high- very large, rather.

5  
6 And finally, also another set of metrics that are very useful is  
7 this. It's the mean size- or, excuse me, age of fish- of Queen  
8 Triggerfish throughout the entire time series, and it's also the  
9 number of animals for each of these age groups over time. And so  
10 the bigger bubble- larger bubble means a larger number of animals.  
11 And so what you- first thing to take on here is that you see, over  
12 time, that you do see a couple of- you see indicators of increasing  
13 numbers of recruits in these middle set of years, and you see  
14 another pick-up here around 2004 that is being basically- by the  
15 time you get to about 2011, the indication of large numbers of  
16 recruits has gone down. You don't see a strong indication maybe in  
17 this last year, but we know we have large uncertainty on that. And  
18 so, the other thing to look at- and you can follow these year  
19 classes through, which is kind of interesting. And also, this red  
20 line is the mean age in the population over this entire trajectory.  
21 And what we're seeing basically is that the stock size- stock in  
22 the early years was at about- I think we calculated this. It's  
23 about 1.1 or so, and it went up, and you're actually- you follow,  
24 and you would expect that because, you know, you see the large  
25 [inaudible]- the next year, it's smaller, now it's being fished  
26 out. And then you've got some- you've got this decline because of  
27 recruits when they're down, they're not estimated to be large until  
28 here, and then you follow those through. But- and then you actually  
29 had an increase in mean age in the population by about 2012-ish  
30 that lasted for about three years, sort of a more stable bend, and  
31 then you see this decline in the average age. We do see one- like  
32 we said, there's uncertainty in these last estimates. There's  
33 uncertainty in all these estimates, but we see that the mean age  
34 it started at 1.1 and is about 1 point- a little bit over 1.2 2 or  
35 so.

36  
37 Then again, we get to other outputs that come through stock  
38 synthesis, and we get the estimated number of recruits. I just  
39 want to say that in this preliminary- the base model run that  
40 you're seeing, we put the value of steepness in the stock  
41 recruitment as a relationship is being- was being set at 0.7, and  
42 the, the variability on recruitment was set at 0.6, which this is  
43 a typical value that is used on a lot of stock assessments because  
44 it's known that estimating  $\sigma_R$ , what this is referred to in  
45 the model, and the stock recruitment model is often difficult,  
46 especially when you have a population that's- you know, you don't  
47 have contrast- a lot of contrast in the data and it's already been  
48 heavil- believed to be exploited. So, you're not at a level of

1 unfished state, so it's hard to get an estimate of the stock  
2 recruitment function in these lower levels. So, here we have  
3 recruitments on the y-axis in this left figure, and we've got the  
4 spawning biomass here on the bottom x-axis. And I wanted to point  
5 out the 2019 point. I was asked to find it. I found it; now I've  
6 forgotten it. I think it's- oh, here it is. It's a yellow. Here.  
7 So it was about- a spawning biomass estimate of around 40-ish tons  
8 and recruits of around 500- a little bit over 500,000.

9  
10 So what you see during this time series is what you see also when  
11 we look at our age-0 recruit plots. These are age-0 by year, and  
12 we see that there's a lot of variability here. We also see quickly  
13 from this plot that we have four years of estimated high  
14 recruitments. We could go back and track them on that other plot  
15 I showed you or you can track them this way also. One, two, three,  
16 four. And so over time, you know, I think, I forgot the number  
17 exactly, but it's around 3.3-something million fish in here, and  
18 these are obviously some- we see from up here, we're going to see  
19 that we have recruitment deviations that were, in this case, our  
20 recruitment deviations are- we see trending [inaudible], so we see  
21 some evidence of some bias in the estimate recruits, but we also  
22 see that the deviations are pretty similar through the middle part  
23 of the time series and they've maybe gotten a little smaller  
24 through here.

25  
26 I wanted- there was a question about, to me- when I started  
27 estimating the recruitment devs. I do have a period. The data  
28 started in '83, but basically, I set them to be estimated as far  
29 back as eighty- '75. And so, because there's no data in the model,  
30 so, like, synthesis, it doesn't have any catch data from eighty-  
31 except '83 forward. It doesn't have any compositions. It doesn't  
32 have any indices. It is estimating these based off the stock  
33 recruitment curve totally, so. And Jason and Erik know better than  
34 me and Shannon, but this is what we refer to often as a kind of a  
35 ramping up and settling in of the model. I don't want to call it  
36 the burn-in because, like, I can be corrected on this. But we  
37 attempt to get some information on the stock recruitment curve  
38 from prior to back in time. And then these- the estimate of the  
39 bias adjustment is- on the deviation is calculated internally in  
40 SS according to a very lengthy research project of Methot, Rick  
41 Methot, the developer, and Ian Taylor. And they provide guidance  
42 to the model in the model results that basically helps you decide  
43 when to ramp in the bias in terms of, like a, first year to ramp  
44 it in, to start the bias adjustment, the last year to end the bias  
45 adjustment, and they give you some guidance on that. So, I showed  
46 you the 1983 point, and the 2019 point is right here. Just want to  
47 show you there. So what this is the estimate, that is, in this  
48 last year is telling you that the spawning biomass is a little

1 larger than it was in '83, but the recruitments are from '83 are  
2 all smaller, and that you should be able to see that here as well.  
3  
4 So, okay. So this is a good time- it's almost 3 o- 2:30.  
5  
6 **RICHARD APPELDOORN:** This is a good time for questions.  
7  
8 **NANCIE CUMMINGS:** A good time for questions [inaudible] people.  
9  
10 **RICHARD APPELDOORN:** And I see one from Todd.  
11  
12 **TODD GEDAMKE:** Quick one. Where'd you get that steepness and stock  
13 recruit parameters?  
14  
15 **NANCIE CUMMINGS:** Okay. So, thank you. Okay. The stock recruitment  
16 parameter, although we did carry out profiling on the three stock  
17 recruitment parameters and on the initial F, the stock recruitment  
18  $\sigma_R$  value, as I said, was chosen. We didn't feel that it could  
19 be estimated very well, and we know that if you have a data set  
20 with very little contrast and your fishery is not- I mean, your  
21 population's not in an unfished state, it's typically hard to  
22 estimate that. So the 0.6 value was basically chosen on just expert  
23 judgment of knowing how some of these assessments run and how  
24 steepness was chosen, Todd, was somewhat- it was fixed, 0.7, but  
25 it was chosen that the profile indicates that steepness was 0.6-  
26 maybe 0.65 to a little over 0.7, and the group evaluators and  
27 internal experts were indica- I mean, basically, you could set it  
28 at 0.65- you'll see the profile shortly. That's a question we think  
29 is for the SSC here is what you want to settle on for that. So, we  
30 did profile over steepness,  $\sigma_R$ , and the initial recruitment  
31  $R_0$ .  
32  
33 **RICHARD APPELDOORN:** Any other- Reni?  
34  
35 **JORGE R. GARCÍA-SAIS:** Nancie, What do you think the lack of  
36 information regarding the adults spawning population on the deeper  
37 habitats affect your spawning stock biomass estimates?  
38  
39 **NANCIE CUMMINGS:** I think it likely does for the population. I  
40 mean, I know that we have at least one witness indicating that  
41 there's maybe some fishing going on there. Whether or not how much  
42 of the fishery is exploiting the bigger fish, I don't know. I know  
43 that from looking at your [inaudible]- well, you did have a  
44 question about why that was used. You know, we looked in the  
45 literature and we did see, you know, the surveys indicating that  
46 there are some fish out there and I think the sizes were given.  
47 But those were- there wasn't a time series, and that's what we  
48 need. We need a time series of surveys out there in those deeper

1 waters. So, I can't tell you how much. I don't know how much of  
2 the stock is out there. I tried to- in my own mind, I tried to do  
3 some silly thing last weekend of trying to estimate- you know,  
4 we've got the fishable habitat, but then you've got- you know,  
5 where are the animals? And so, you know- in the fishable habitat-  
6 you know, and where's the exploitation occurring? Maybe some of  
7 its occurring deeper, but by and large, probably the largest  
8 proportion of the trap fleet is in- I don't want to say 25 meters,  
9 but maybe they're 40 meters, you know? They're not probably all of  
10 them out there in 60, 80 meters. But if we have surveys out there,  
11 we're going to get a lot of information. That doesn't get to your  
12 question very well.

13  
14 **JORGE R. GARCÍA-SAIS:** Because, I mean, just for the general  
15 information we barely see any fish traps whatsoever at those depths  
16 in Puerto Rico, you know? In Saint Thomas, Virgin Islands, maybe  
17 something different. I mean, overall, the fish trapping in Puerto  
18 Rico has dropped down incredibly, so even more in these deeper  
19 areas where actually hand-lifting these fish traps, it's  
20 something- it's an effort that it's seldom seen. But my guess is  
21 that the whole analysis in general may be lacking a lot of  
22 information from these deeper areas. That's my take.

23  
24 **NANCIE CUMMINGS:** So, to get back to what you were saying, in terms  
25 of the population, but if you're not seeing the fishery out there,  
26 maybe it's not missing as much in terms of exploitation but maybe  
27 missing something in terms of what other component of the adult  
28 biomass is out there but we don't know about. It's like, maybe  
29 it's compensating for exploitation in shore. I mean, I looked at  
30 a lot of the papers on Valdés Pizzini and others, and the folks  
31 that have done the- there's been quite a few census surveys done  
32 to describe the operations of the trap fleets, actually, all the  
33 fleets, but particularly the trap fleets and the hook and line and  
34 so forth. And so, you know, they're not really pointing to heavy  
35 exploitation of it, which is what I'm hearing from you. Now,  
36 getting at the adult biomass itself too, that would be a really-  
37 that would not just help this stock. It would help a lot of other  
38 stocks.

39  
40 **JORGE R. GARCÍA-SAIS:** The thing is that in Puerto Rico I mean,  
41 Queen Triggerfish is not a restaurant fish, okay? I mean Queen  
42 Triggerfish is being sold mostly for empanadillas, you know, like,  
43 you know, like- so it's not a prime-quality fish, so if it gets  
44 into the market, you know? It's typically not sought for by  
45 restaurants unless they want to use it for a mixture of things,  
46 you know, that is used in empanadillas. So, in that regards, you  
47 know, people are not- there is not a a Queen Triggerfish-directed  
48 fishery. And from my standpoint, you know, I mean there might be

1 some people that are actually fishermen that do target that  
2 species, but in general it is not a fish that you would see in the  
3 menu of the restaurants, you know. I mean, Queen Triggerfish fried  
4 or stewed or whatever. So maybe that is one of the reasons why  
5 that stock, if you want to call it like that, on the deeper waters  
6 is pretty much unfished, you know? From my standpoint, you know,  
7 in the time that we've been there, you know, dozens if not hundreds  
8 of times, you know, out there, and there's actually no-nobody  
9 fishing out there, you know? So that's my opinion, you know? That's  
10 kind of like a section of the population which is not very strongly  
11 exploited.

12

13 **NANCIE CUMMINGS:** Thank you for that.

14

15 **RICHARD APPELDOORN:** Thank you, Reni. Todd has a question.

16

17 **TODD GEDAMKE:** I'll again defer to Shannon to cover, but I think  
18 that Reni, your comments, you know, I agree with you on this. I  
19 think dismissing the fact that both sampling and everything might  
20 not be on the core of the population, is just a really wrong move.  
21 And I think to your comment, we don't have time series, but we  
22 have a snapshot of at least Saint Croix. Looking at the shelf in  
23 there, you've got 30% or more of them being found in those deep  
24 waters and this is data that they've got too. So, informing that  
25 is a snapshot. And I think if you- this is going to reduce to a  
26 length-based process. I mean, let's just- that's what this model  
27 is going to do. And if you're sampling and doing everything from  
28 in-shore populations, you're not sampling the core of the  
29 population, and therefore, those bigger animals are not being  
30 represented in the population, and I think that that is  
31 problematic, so.

32

33 **JORGE R. GARCÍA-SAIS:** Well, that's what I'm afraid of, you know?  
34 I mean I'm not coming that strongly, I feel, but it's where I'm  
35 coming from, you know?

36

37 **RICHARD APPELDOORN:** Okay. Nelson?

38

39 **NELSON CRESPO:** Totally agree with Reni comments. And also, I wish  
40 to see in the future the Queen Triggerfish in our restaurant plates  
41 because it's an excellent fish. But now, more than that, especially  
42 in the west coast of Puerto Rico, they started developing from the  
43 past years the live baiting fish, and the people that make the  
44 empanadilla prefer to use blackfin tuna to make empanadillas  
45 because they feel like the whole fish got more meat instead peeling  
46 the Queen Trigger. You know, and start, you know, passing a hard  
47 work, you know? [laughter] You need the meat to make the turnovers

1 from whatever you take it, you know? They want easy way to reduce  
2 the cost.

3

4 **RICHARD APPELDOORN:** Julian, you have a comment related to this?

5

6 **JULIAN MAGRAS:** Well, I have a comment. Julian Magras, for the  
7 record. I have a comment to one of the slides that was there, in  
8 the different drops in certain years, and the question goes to  
9 Nancie. You know, I just did a little Google there on my phone,  
10 and I was looking at the different hurricanes that pass through  
11 and was that taken into consideration for those drops? Because I  
12 haven't heard anything about storms or hurricanes that may have  
13 affected the years in those drops.

14

15 And then to comment, Todd brought up twice or three times about  
16 the Saint Croix study and they are caught more in the deeper  
17 waters, you know, I can see that because Saint Croix only has a  
18 Lang Bank that's really the shallow waters that they can fish, so  
19 everything else around that area is deeper water. So maybe where  
20 those fish hang out in the Saint Croix area is because of the  
21 habitat that they have to actually live in. And, you know, I've  
22 seen several pictures by Nicky where if he baits his trap with  
23 conch guts after catching a conch, you know, the size, humongous  
24 size of Triggerfish that they catch. I'm hoping that maybe that he  
25 shared those pictures with you when you're looking at Saint Croix.  
26 I do have plenty of pictures for Saint Thomas, but Saint Thomas  
27 well, you know, we're not there. But I just wanted to make the  
28 comments on mainly strictly on those years of drops, if storms and  
29 hurricanes were taken into consideration.

30

31 **NANCIE CUMMINGS:** So yes, and I think 1989 was the big storm for  
32 Puerto Rico, you know? and because the storm goes through Saint  
33 Thomas, does it mean that on way, you know, hits the core, hits  
34 Saint Thomas, and the winds don't bother Puerto Rico? So, we know  
35 that that- there- especially if it's wide. But in the modeling  
36 aspect, it wasn't, and, and that is something that, you know, now  
37 is on our, you know, we're strongly encouraged to take climate  
38 into effect and environmental- also in the other environmental  
39 context in terms of storms and so forth. It was not taken into  
40 account in the model that year. But other things that have to be  
41 looked at, and I was hoping that we could get like a license  
42 history because I know that over the period of years, especially  
43 in the 2000s, there has been another set of, you know, when a storm  
44 comes through and it wipes out the trappers, and it's expensive to  
45 build these traps, and often the fishers [inaudible] is expensive.  
46 They don't necessarily build the traps back. And we know there's  
47 some also death of traps. Maybe that's not as big of a problem as  
48 the, you know, the drop in licenses, and that's where I think now,

1 you know, the Center, we also need to further engage with our  
2 regional office in terms of developing a license history to see  
3 how the licenses were dropped. I know that there's strong, at  
4 least, written support that licenses have gone down, so we have  
5 less effort, quote-unquote, "total effort capacity" in the fleet,  
6 in the fishery as a whole, and so.

7

8 **RICHARD APPELDOORN:** Okay. Marcos, and then Shannon.

9

10 **MARCOS HANKE:** I'll like to defer to Shannon, and I go after her.

11

12 **RICHARD APPELDOORN:** Yup. You go.

13

14 **SHANNON CASS-CALAY:** Well, you know, the hurricanes are only in  
15 the model in the sense that they impact any data, right, the length  
16 competition, the effort data, the catch data. But we didn't put  
17 any ecological indicator in the stock assessment model, although,  
18 it can be done if they can be tied to a mechanism, right? So for  
19 example, in the Gulf of Mexico, we have redtide indicators and we  
20 have estimates that they do kill adult fish, and so we use it as  
21 a episodic natural mortality that occurs in the stock assessment.  
22 But nothing like that has been done in the Caribbean to date. Now,  
23 I would say, you know, there are a number of data insufficiencies.  
24 We are certainly aware of them. I do want to remind the group that  
25 while you are certainly charged with determining whether this  
26 assessment can be used to develop management advice, what we're  
27 using today is just a time series' recent landings alone, and the  
28 landings data themselves are uncertain. So, I just wanted to keep  
29 that in mind that we're not able to construct a perfect stock  
30 assessment model and we're not able to model our way out of all of  
31 these data insufficiencies, but what we could do is show you some  
32 hypothesis testing. So, for example, you talked about maybe there  
33 are a lot of fish in deep water, some kind of cryptic biomass that  
34 we don't see in the stock assessment. You know, we could, in  
35 theory, as a sensitivity run, fix the trap selectivity at domed  
36 and get at whether the model indicates that there might be cryptic  
37 biomass. So that's something that can be explored. That's all.  
38 Thanks.

39

40 **MARCOS HANKE:** Thank you. I was just hoping to hear something on  
41 that line, and this is exactly the point that I wanted to give.  
42 From a fisherman perspective and talking to the DAP people, the  
43 study that Reni are alluding to, right, even though it's not the  
44 ideal one that we want to have around the island, many, many dives  
45 and so on, it's the best available information we have about the  
46 spawning- increasing the spawning potential and is observed by a  
47 scientist down in the water. And for us, it's really hard to see  
48 a study like that being passed by, not giving the weight that it

1 should have, or at least be a reason to stimulate more funding or  
2 more effort to get that information to the table. And this is the  
3 point that I wanted to bring to the table is that sometimes, you-  
4 there is a lot of weight in some data and there is a lot of  
5 assumptions in some data, and sometimes, we just forget to consider  
6 important information like the one that Reni observed on the deeper  
7 waters that we don't know much about it, and we need that  
8 information.

9  
10 Another question that I have to the group, I saw you guys were  
11 discussing about recruitment potential and I didn't hear about  
12 Triggerfish. What are the elements that affect their recruitment  
13 potential over the years and those numbers? And for example, we  
14 have the influx of sargassum arriving since the 11 years ago and  
15 how those fits into the model and so on. And those are my  
16 observations and questions at the same time. Thank you.

17  
18 **RICHARD APPELDOORN:** Shannon, you have a response to that, or-

19  
20 **SHANNON CASS-CALAY:** Thanks. This is Shannon. I never say my name.  
21 My apologies. So, I think one thing that is very helpful when we  
22 come to data workshops, data scoping calls, you know, is a- we  
23 really need to put in any kind of like an ecological indicator  
24 into a stock assessment. We need to identify a mechanism, right?  
25 So, if you are saying, for example, that there is a hurricane that  
26 you would like to know how that might've impacted the model, we  
27 need to know what does the hurricane do in terms of the population  
28 dynamics, you know? Does it kill adult fish? Does it increase  
29 predation? Does it stir up potential settlement sites? You know,  
30 there has to be a mechanism that we can test in the stock assessment  
31 model. And so, I think in a- I'm hearing a lot of good work that's  
32 out there that may or may not have been fully considered, but  
33 what's often lacking when we try to populate a model is that  
34 mechanism component. Like, what action does this ecological  
35 indicator have on the population?

36  
37 **JUAN J. CRUZ MOTTA:** A quick question to that. Has to be  
38 quantitative, that mechanism, like [inaudible] strength of-

39  
40 **SHANNON CASS-CALAY:** It needs to be quantitative, but we at least  
41 need to know the parameter that it acts upon in the model. For  
42 example, is it natural mortality? Is it growth? Is it recruitment?  
43 And then we can start to think about how we would link that  
44 ecological indicator into the parameter estimation within the  
45 stock assessment model.

46

1 **JUAN J. CRUZ MOTTA:** For example, it has to be like this wind speed  
2 I mean, an increase of two in the wind speed will decrease by two  
3 the survival? That will be the way it should be phrased.  
4  
5 **SHANNON CASS-CALAY:** Right. Yes.  
6  
7 **JUAN J. CRUZ MOTTA:** So, for that, like, basic research needs to  
8 be done on the relationship of that driver and, uh- okay. Thank  
9 you.  
10  
11 **SHANNON CASS-CALAY:** Yep. Exactly. Thanks.  
12  
13 **RICHARD APPELDOORN:** So, a statistical correlation between  
14 something and something else without a proposed mechanism, you  
15 would not find useful?  
16  
17 **SHANNON CASS-CALAY:** Well, it's very difficult to use something  
18 like that because it does not have- you know, we don't know- it  
19 has to change. It has to have an action on a parameter that's  
20 estimated in the stock assessment model, essentially.  
21  
22 **RICHARD APPELDOORN:** But if you had a correlation, you would have  
23 a correlation between, you know, I don't know, temperature and  
24 something, and I'm sure that something is somewhere in the model.  
25 You wouldn't know why it happens. And of course, without that,  
26 you're taking on faith that this will continue as such in the  
27 future, and to me, that's the danger part. But I think it'd be  
28 informative, nevertheless. I think we're kind of getting a little  
29 off topic, but.  
30  
31 **ERIK H. WILLIAMS:** Yeah. Hang on. This is Erik. [inaudible]-get  
32 back into the model particulars. I had a question or a clarifying  
33 question about how the model likelihood components were weighted.  
34 So, I know there was mention of the McAllister-Ianelli method for  
35 the composition data, but how were indices reweighted?  
36  
37 **NANCIE CUMMINGS:** Okay. They were manually adjusted, Erik.  
38 According to the recommended variance adjustments for each of the  
39 different indices. So in this case, there were just two, so they  
40 were manually- and they're- Okay. So you also asked a question -  
41 now I'm remembering - why it was not just another parameter  
42 estimated for the extra variance on that, and they were. It was  
43 put on there initially, and then that extra variance was estimated  
44 to be close to zero. So then that was dropped off, but we still  
45 kept in there. We didn't have the- at the initial part, we did not  
46 use the manual adjustments. At the same time, we were including  
47 the extra weighting, the extra parameter. But when those two, for  
48 the two fleets, for the trap and the NCRMP, when that parameter-

1 then the estimate was very close to zero, then that was turned  
2 off, and then we actually still kept the- or added in the manual  
3 adjustment.  
4  
5 **RICHARD APPELDOORN:** Okay. Todd?  
6  
7 **ERIK H. WILLIAMS:** So what were you adjusting, then? The variance  
8 input or a weighting factor on the likelihood component?  
9  
10 **NANCIE CUMMINGS:** The weighting factor on the- hold on. Just one  
11 second. I'm sorry. The former, the variance.  
12  
13 **ERIK H. WILLIAMS:** The variance?  
14  
15 **NANCIE CUMMINGS:** Yeah. There was no lambdas, we did not use any  
16 lambdas in this model.  
17  
18 **ERIK H. WILLIAMS:** So, when you- could you go back to the index  
19 figure.  
20  
21 **NANCIE CUMMINGS:** Oh, the figure? Okay. Let me find it. Yes. Just-  
22 oops. Oh. Hmm.  
23  
24 **LIAJAY RIVERA GARCÍA:** Oh. No. Nope. go to the PowerPoint.  
25  
26 **NANCIE CUMMINGS:** Sorry. I lost my PowerPoint. Here? Wait, this  
27 one?  
28  
29 **LIAJAY RIVERA GARCÍA:** Nope.  
30  
31 **NANCIE CUMMINGS:** Oops. Sorry. Come down to it. I mean, [inaudible]  
32 right here. Right here? [Whole?] questions? Just a second. We're  
33 just trying to get back to the presentation. It was there a moment  
34 ago.  
35  
36 **LIAJAY RIVERA GARCÍA:** Yeah, I know. Is it this one? Yes. This  
37 one?  
38  
39 **NANCIE CUMMINGS:** SSC version six.  
40  
41 **LIAJAY RIVERA GARCÍA:** Is it this one?  
42  
43 **NANCIE CUMMINGS:** Yes. Okay. Can I exit?  
44  
45 **LIAJAY RIVERA GARCÍA:** No, just don't click on the keyboard.  
46  
47 **NANCIE CUMMINGS:** Yeah, but I want to go back and back. Ugh.  
48 That's going to-

1  
2 **LIAJAY RIVERA GARCÍA:** Okay. You can go here.  
3  
4 **NANCIE CUMMINGS:** Hmm. I think it's right- coming up. Okay. Here  
5 you are, Erik. Trap. and there was [crosstalk]-  
6  
7 **ERIK H. WILLIAMS:** Yeah. So if you're adjusting the CV for the fit  
8 should you not be adjusting that on these error bars at well so  
9 that we see the error bars of the CV that was assumed in the fit?  
10 This looks like it's just the CV- the error bar is from the actual  
11 data.  
12  
13 **NANCIE CUMMINGS:** It is.  
14  
15 **ERIK H. WILLIAMS:** And I ask that question because the big problem  
16 is that the CVs that you get out of GLM analysis are just- they're  
17 incorrect. They're not useful in terms of determining the fit in  
18 the model. They're helpful in determining the relative value of  
19 year-to-year data points within that data set, but it doesn't tell  
20 you anything about the value of that data set with respect to the  
21 whole model. So- And I didn't see in the report what are those  
22 weights? What was the assumed CV, then, for these indices over the  
23 final fit?  
24  
25 **NANCIE CUMMINGS:** It was the CV that's coming off the model, the  
26 model estimate, the input model estimate, and then that's what's  
27 being adjusted, that error on that- the CV on that. So it is-  
28  
29 **ERIK H. WILLIAMS:** Right. So what's that final adjustment look  
30 like? What is it? How- what's the final CV estimate being assumed  
31 with these indices?  
32  
33 **NANCIE CUMMINGS:** Okay. So this is- yeah. This is coming- I'd have  
34 to go back and look at a plot of that. I don't think we have that  
35 here in the presentation. Yeah.  
36  
37 **ERIK H. WILLIAMS:** Yeah. It's going to be important. There are a  
38 couple things that are starting to worry me about this assessment  
39 model. One is how the weighting of these indices occur in the  
40 model. The other is, I noticed in the composition data, you used  
41 the McAllister and Ianelli method for reweighting. The issue there  
42 is you have a lot of zeroes. You have a lot of composition points  
43 where you're fitting to z- where there's no data. At least, it  
44 looks that way. You should not be putting zero. It shouldn't be  
45 fitting to, say, those compositions that are out past 60 if you  
46 have no data at all past 60. You're actually causing a potential  
47 bias in the fitting with those compositions.  
48

1 **NANCIE CUMMINGS:** Right. Right. Yeah. And so for where the zeroes  
2 are in the early part, there are sizes down to two centimeters  
3 actually, which I'm not sure if it's believable, but there are  
4 some observed samples down to two to four centimeters. It is these  
5 up-upper end that have-

6  
7 **ERIK H. WILLIAMS:** Anyways, that should be checked because you  
8 really need to minimize the number of zeroes that you fit into it  
9 because zeroes have a lot of influence in multinomial data.

10  
11 **NANCIE CUMMINGS:** You're right. A num- yeah. Thank you, okay.

12  
13 **RICHARD APPELDOORN:** Yeah. So I think we'll be discussing this in  
14 the morning, so that'd give you some time to check your computer,  
15 Nancie, to see where you might have the plots you were referring  
16 to that would help answer that question. yeah. Todd?

17  
18 **TODD GEDAMKE:** Erik, thank you so much. I appreciate those  
19 comments. I just wanted to follow up on what Shannon said. And I'm  
20 sorry there's a disconnect. I know Julian had a comment too. But  
21 what Shannon just said before about the correlation and looking at  
22 environmental data and plugging in, this is exactly the lunch  
23 conversation, I mean, verbatim, that we just had regarding  
24 socioeconomic information. I just think it's very important for  
25 all of us as part of this committee to recognize that where Shannon  
26 is coming from on this is where we're all kind of pigeonholed into  
27 this. It has to be a quantitative metric. So, the correlation, I  
28 mean, the details of the correlation are- if you can come up with  
29 an equation and you look at your dependent variable, yes, you can  
30 look at it that way, but you have to have basically an adjustment  
31 to an existing parameter that's going on there. And I just- I want  
32 to repeat that because we literally just had this, the same- sort  
33 of same lunch discussion.

34  
35 **RICHARD APPELDOORN:** I have to get Nancie and then Julian.  
36 Microphone, Nancie.

37  
38 **NANCIE CUMMINGS:** Yup. Just to get back at Vance's question about  
39 did you take into account the storms and so forth on these drops.  
40 So, in essence, that's taken care of because the participa- or the  
41 fishery, the trappers don't- or the dive fleet- they don't go out  
42 because you can't fish. And if there's been a weather storm and  
43 it's perturbed the habitat, they're not fishing, so that takes-  
44 that is taken to account in the model through landings, the  
45 landings and the reported landings, whether they're right or wrong,  
46 but that's taken into a- And then the other thing that's really  
47 important in this fishery is the declining amount of effort, and  
48 that is also borne through by- you know, I don't need to have a

1 license history, but if there are fewer participants in the  
2 fishery, then there's less effort, and that's- you know. So at  
3 least those two phenomena, I think, have been- they're taken into  
4 account indirectly because of the participation in the fleet. And  
5 also, you know, if the storms blow away all the traps and they  
6 can't afford to rebuild them, which we know is the case in some  
7 cases and has been in the recent years especially, then they aren't  
8 in the fishery, so there's less capacity.

9  
10 **JULIAN MAGRAS:** Julian Magras, for the record. I was going to say  
11 s-something similar to what Nancie just said. So, you said it falls  
12 into the equation. I don't see anywhere where it's mentioned that  
13 it was taken into consideration. Every time a storm passes, sure,  
14 we have many fishers that lose some type of gear. Perfect example  
15 was Irma and María. We lost everything. Took us a long period of  
16 time to get back, and some of us are still getting back, and some  
17 of them never came back. But we go all the way back, 1989, 2005,  
18 1995, those are all years of big storm that hit U.S. Virgin Islands  
19 and Puerto Rico. Not because it hit the Virgin Islands, it doesn't  
20 affect Puerto Rico. It does. And every one of the models that I've  
21 been watching, and I see that drop, there was a major storm that  
22 passed through there. Some fishers don't have any more traps. They  
23 go to diving when they can. Some of them lose their boats, so they  
24 have to go back and lose a boat. And all we want to ensure because  
25 this is our livelihood. We don't want to go overfishing and all  
26 the fish to disappear because there's really nothing that's showing  
27 that that stock is in danger. And if a stock is in danger and it  
28 can be proven by data that there's a reason why it's being  
29 overfished, that's something different, but we are talking about  
30 the Queen Triggerfish, and there's nothing that's indicating that  
31 that stock is in trouble. And I continue to put it out there,  
32 every, every little bit and pieces of data needs to be included in  
33 what we're doing. And, you know, we spend so much time and so much  
34 money doing these assessments, which are great, but you know what?  
35 I would like to see - and I don't think this might be the time,  
36 maybe when we're wrapping up tomorrow - is instead of us wasting  
37 all the money to do this, before we do it, make sure we have what  
38 we needed because now at the end of the day, we're going to say,  
39 "Well, we need all of this," and then we're going to spend millions  
40 of dollars again to do this all over again, and it frustrate the  
41 fishermen. And I know it's not you, but I'm just putting it out  
42 there. Thank you.

43  
44 **RICHARD APPELDOORN:** All right. again, let's try to keep things on  
45 point. There was a very long process to try and identify all the  
46 things and the data available and how that fits up. And as Shannon  
47 has explained, there's still lots we don't know, and we work with  
48 what we have. Shannon?

1  
2 **SHANNON CASS-CALAY:** Yeah. I saw Kevin's hand shoot up to, and  
3 we're very likely thinking of the same thoughts. But it is one of  
4 the things that we are producing is a data triage that will  
5 actually be able to give you better information about which stocks  
6 might be assessable. And so, if there's simply not enough data, we  
7 would not move forward with the stock assessment on that species.  
8 But I think we might also need to think in the Caribbean about  
9 introducing another review step in this process, which is at the  
10 data stage. Basically, once we get all the final data, do we have  
11 enough to move forward, or should we stop at that point and just  
12 make research recommendations? Because I don't know that it's worth  
13 spending a lot of time and effort to create stock assessments if,  
14 in fact, it's the data insufficiencies that prevent you from using  
15 the work.

16  
17 **TODD GEDAMKE:** Excellent, Shannon. I think that that's a great  
18 idea. Also, looking through the data sets in there, I think that  
19 that may get us out of the situation of forcing things when we're  
20 trying to really make an assessment and struggling with some of  
21 the inputs. Todd, by the way. Sorry, transcriber.

22  
23 **RICHARD APPELDOORN:** All right. Not seeing any other hands. I see  
24 we're going to start a new section here. So, we're scheduled for  
25 a break, and I'm suggesting we do that now. It's 3:05 according to  
26 my computer, so 3:20, we resume.

27  
28 (Whereupon, a brief recess was taken.)

29  
30 **RICHARD APPELDOORN:** Okay. Let's get started again. Nancie it's  
31 back to you. You mentioned to me you had a response to- or you  
32 wanted to address an issue that Erik had raised. We can start with  
33 that.

34  
35 **NANCIE CUMMINGS:** Thank you, Chair. So, I'll have another second  
36 response in the morning, but. So, I just wanted to answer to Erik  
37 what's happening with the- you probably know better than me also-  
38 is that the variance adjustment is being added to the standard  
39 deviation of the log survey. And so, I just didn't put the final-  
40 I mean, I put the finals on in the plot, but I just didn't show  
41 the- I'm going to prepare a table and show you what the initial  
42 ones were. But the data weighting is critical to this assessment,  
43 and just to also note that we really, you know, only have- we don't  
44 have age compositions in the model. We just have the length  
45 compositions and the indices, so there's very few components to  
46 weight, but. So that's what it's doing. It's adding a value to to  
47 the variance.

48

1 **ERIK H. WILLIAMS:** Thanks, Nancie.  
2  
3 **NANCIE CUMMINGS:** You're quite welcome. I'm sure we'll continue to  
4 be in touch on data weighing. Okay. So just as a point, though,  
5 for the group here, because we're all learning, is that it's really  
6 important to get this- I mean, maybe you don't want to data weight  
7 at all, but we know that all model components- all data components,  
8 rather, are not equal in terms of our certainty around them. And  
9 so, that's one of the reasons that we weigh because- to try to  
10 account for some of our uncertainties.  
11  
12 So, the next section is going to be on the work that we've done to  
13 explore the stability and performance of the model. It's just  
14 called our base model diagnostics. And we have- I'm sorry. We've  
15 looked at the stability of the model to be able to estimate or to  
16 reach the lowest likelihood value across a number of runs. And  
17 that means when we say different runs, we have gone into the model  
18 and we've told it to- for the parameters of that are being  
19 estimated, R0 is one that's being estimated, this initial Fs. We've  
20 fixed the stock recruitment parameters and we're estimating  
21 recruitments. We know we have a constraining model, but we are  
22 changing those. We are asking- allowing SS to change the parameter  
23 by 20%, and I've run two hundred of those runs. And I'll have to  
24 say that with my experience with the Gulf of Mexico, several  
25 models, Gulf of- Amberjack in particular, I've never been able to  
26 [inaudible] by more than about 10% because it- the model, you know,  
27 it can go off in unsettling places. It is also recommended that -  
28 and this makes sense - by the modeler/developer that, you know,  
29 that when you're setting up the model, you give it a min and a max  
30 value, you know, to set your bounds with changing the parameters  
31 for the model to be able to find its best solution, and those  
32 bounds need to be sensible. You don't want the model running off  
33 because it can settle into some place that's not- just not  
34 reasonable.  
35  
36 So, what you have here is a plot. You have four plots in three  
37 panels, and they're giving you the change in likelihood for these  
38 different components in the model, and this is the total. So, this  
39 would be across all the components, what is the total likelihood.  
40 So what SS is doing is- remember, we said it's an integrated model.  
41 It's fitting across all these different components in the model:  
42 the survey indices, the size frequencies. It's estimating  
43 recruitment. The catch- remember, we said that with SS, actually,  
44 it's almost estimated exactly, and so we are then looking at that  
45 change in likelihood. So, you see a few runs. So, this is basically  
46 200 runs and it's basically saying there's really almost no change  
47 here. There is some change because we see that reflected in some  
48 of these runs here. So-

1  
2 **RICHARD APPELDOORN:** Nancie, just a point of clarification. This  
3 is Rich. So is this like a sensitivity analysis of or is this  
4 separate from that?  
5  
6 **NANCIE CUMMINGS:** No, it- no, it isn't  
7  
8 **RICHARD APPELDOORN:** Okay.  
9  
10 **NANCIE CUMMINGS:** It's, basically- we call it a stability analysis  
11 because you want the model over a series- not a series, but over  
12 a set of changes, you're changing the parameter values, let's say,  
13 the initial Fs on- F on the- excuse me, the F on 1983F, 1984F. The  
14 initial F for the trap fleet, meaning that nineteen eighty-three  
15 va- eighty-two value, you want to change those by a certain  
16 percent, refit the model, keep those results, go through and do it  
17 again and again and again. And you want it to settle on the total  
18 likelihood then is- this is a change in likelihood. I can give you  
19 the number for the total likeli- but you want that number to not  
20 be changing greatly, largely. You want it to settle on the similar-  
21 you want to settle on the lowest likelihood too. In other words,  
22 my base model that I've chosen with- before jittering, my base  
23 model settled on a likelihood of X. Let's say 129 because I think  
24 that's the number that's very familiar in my mind. And you want to  
25 run your model after you jitter, you want to gather all those  
26 results, and you want to look at those, and you really don't want  
27 to find a lower number because in other words, you would say,  
28 "Well, after jittering, SS found some other best model." So that  
29 might mean that, with the base model, it might mean that it's not  
30 the best model. So-  
31  
32 **RICHARD APPELDOORN:** Okay. Thank you. I think I get it now.  
33  
34 **NANCIE CUMMINGS:** You're welcome. And I just want to say here, as  
35 you know, our basic biggest components were size frequency and  
36 then survey. Okay. So we profile- okay. So this is now a set of  
37 additional diagnostics. It's sort of the same a- it's similar to  
38 stability, but what we're doing is we want to profile- we want to  
39 hold- we want to allow  $R_0$  to change. In this case, we let it change  
40 from- we moved it from 4 to 9 of  $\ln(R_0)$ , the log of  $R_0$ . That's  
41 that recruitment, that biomass, that unfished recruitment. We want  
42 to profile over that while holding everything else in the model  
43 constant, the same, so we're not changing it. We like to see how-  
44 this is, again, the change in log likelihood. We'd like to see how  
45 this changes over this bound range. And so we also know that,  
46 again, the generalized size comp and the index data are the largest  
47 contributors to the likelihood and the overall model. So what you'd  
48 like to see is that this basically forms- finds a trough, so it's

1 finding the lowest change in log likelihood, and it's- for R0-  
2 I'll talk about this in a minute. The base model estimate of 6.67,  
3 right in here, or this many thousands of fish. So, you want to see  
4 the different data components converge with similar R0. In this  
5 case, it's basically- you know, catches basically fit perfectly in  
6 this. It's not part of this. It's not really factoring in.

7  
8 This is the index data, and it's basically saying that- it's very  
9 hard to see this here, but it starts- it's sort of flat, has very  
10 little- it's not totally non-informative, but it does give some  
11 information because it does go back up here. So, we're seeing that  
12 in general, the index data suggest a similar R0, as does the base  
13 model, and then we also see that in the generalized size comp.  
14 That is over here. It's quite noisy over here, but then it comes  
15 down, and it's also suggesting an R0 of somewhere at least between  
16 about, you know, 6.4-ish, and it starts to go up, up here again.  
17 So, we're upholding R0 constant in the first, and then we start  
18 moving it. We start changing R0. I believe this- I had done this  
19 at 0.005.

20  
21 And then similarly, we do the same thing for steepness and then  
22 sigma\_R. So, what I want to comment here is that we have more noise  
23 in the in the steepness fit, which made, at least, me be a little  
24 uncertain about what was the could- the base model, actually, could  
25 it estimate steepness. And it's adjusting that steepness, at least,  
26 if you look at the data component, the impact on the change in log  
27 likelihood from the size data, that it comes down, and there is  
28 this trough. So it could be anywhere from point, you know, 0.6 to-  
29 it starts going back up here to about point about 0.7-ish, 0.68.  
30 And then, basically, the size of the index data are not on here  
31 because they were had no change. They just went on the scale. It  
32 would have to have a different scale to have shown them, but they  
33 didn't really were not informative. But you do see that for the  
34 total, which has all the pieces in it, all the data components in  
35 it reaches this at about seven point 0.75. And then for the  
36 recruitment portion, it continues to go down, but it suggests that  
37 it's somewhere bet- you know, from 0.8 to 0.85. Okay. So, I say  
38 that there's still some uncertainty in the in whether or not the  
39 model can estimate steepness.

40  
41 And then for sigma\_R it's the same hypothesis that you're trying  
42 to see if the model can estimate sigma\_R of this parameter, rather,  
43 and what are the other components contributing to it. So, the MLE  
44 from the base model, the lowest point, was 0.974, so right in here.  
45 There was some support that the sigma\_R is greater than 0.6 and  
46 less than 1.2, so you're in this, this broad region. But, you know,  
47 as we stated several times before, from stock assessments- many  
48 stock assessments it's well known that it's difficult to estimate

1 steepness, and particularly when you don't- I mean,  $\sigma_R$ - when  
2 you don't have contrast in the data and when you- when you also  
3 don't have information on the  $s$ - on the stock back in the unfished  
4 stake- state.

5  
6 Okay. And then because we have questions about what was happening  
7 at the beginning of the time series, we do know from- there's an  
8 extensive amount of literature suggesting that there was-  
9 supporting that there was exploitation going on back into at least  
10 the '70s, maybe the late '60s but we still don't really know. So,  
11 we fixed initial  $F$  and then we profiled over that different values  
12 of initial  $F$ . So, the model estimated the value of steepness at-  
13 this shouldn't say steepness. This should say initial  $F$  at 0.97.  
14 Okay. So then where we get the range from is then, you know, in  
15 our min and maxes that we've used to set the range for  $SS$  to  
16 estimate initial  $F$  with the base model. We see that, you know, it  
17 was nowhere near under 0.5, so then I we started- we actually did  
18 many profiles on this, but then we start trying to home in on this  
19 one point, on this area in here. So, it's suggesting that with the  
20 index data, again, you, you see it coming- it goes up a bit and  
21 then it tends to go down. So, the index data, again, are less  
22 informative than the overall model than are the generalized size  
23 comp. The generalized size comp is suggesting that it comes down,  
24 but it could be as high as 1.2. So, we  $s$ - we still aren't- you  
25 know, we still have some uncertainty in where the initial  $F$  is.

26  
27 Okay. So, you asked a question about sensitivities. So, we know we  
28 have sensitivities in the model to different time series of data.  
29 So, one typical sensitivity that's done with  $SS$ , and its sort of  
30 one that's always done, is to take out whole years of data, and  
31 the next kind of sensitivity that's done is to remove different  
32 insets of indices if you have those. And so, what this does, it  
33 measures the relative difference between the estimated value such  
34 as your- you can choose certain values, the key quantities,  
35 spawning stock biomass, and your  $F$ s, recruitment and other  
36 parameters so that you can basically calculate what that  
37 difference- those differences are, and you could see the impact.  
38 So, what we've done here in the blue is that this is the full data  
39 set, so then we start removing data. Here in the green, we've  
40 removed 2019. So, you could see there is some difference. So, this  
41 is going from- you have to read it on the screen. It's very hard.  
42 You can start calculating these percent differences in  $SSB$ , but we  
43 would expect some difference. And so, here- I'm not going to try  
44 to estimate these numbers just off the screen because I think it's  
45 meaningless. So, what you want to see, there's no huge- just big  
46 disparity. So, in general, we see that when we take out all of the  
47 data we still have- this point it should- you know, if it's going  
48 to line up, it'd be right up here. In other words, it would mean

1 that if you've taken out every- all the years from 2016 to 2019,  
2 it didn't make a difference. It would be here. So, when we take  
3 out 2016 to 2019, basically, it's saying that the spawning stock  
4 biomass from that year, for 2016, is lower than it was in the full  
5 model. And so similarly, these, I should say, these are 95%  
6 confidence intervals, they're kind of broad. If we do the same  
7 thing for absolute F- so this is F in the terminal year, and then  
8 we see that if we remove all the data- I'm going from the extreme.  
9 So here we have all the data, and here we have the extremes where  
10 we've removed 2016 to 2019. So, in the slide before, you saw that  
11 if we removed all those years, we had lower SSBs, which would, in  
12 turn, suggest that we would have higher F, and that's, in fact,  
13 what it does.

14  
15 Then here, this is the same type of sensitivity, so a sensitivity  
16 to removing whole years of data, and then this is for- the metric  
17 is age-0 recruits. And so again, you know, we know that our  
18 estimates of recruits have high variability, and you saw just from  
19 thebase results, I showed you those plots of estimated recruits,  
20 and you saw those four years ahead had high variability. Okay. So  
21 here, this is the base year, and the confidence interval is what-  
22 I don't know what the word would be, moderate or whatever. It's  
23 going from about 0.2 to 0.7, so it's not small. But again, we see  
24 that going back in time, as we remove data, we actually, we have  
25 higher- larger uncertainty also, which is also not unexpected.

26  
27 Okay. And then so what we've taken here, we've just taken all those  
28 various runs, so there would be one, two, three, five runs, and  
29 the blue is our base model. And I say- basically, as I showed you  
30 before, the base model was- okay, this was 6.67 or something like  
31 that, so now it's basically saying that as we remove data - this  
32 was estimated  $R_0$  - that it becomes- it's a little broader if we're  
33 removing data. So, this says the confidence interval- I'm probably  
34 stretching this discussion a little bit more than I should at this  
35 point, but it's basically moving it a little bit to the right.

36  
37 Okay. And then another type of sensitivity is- I think someone  
38 mentioned earlier- I don't know who it was, but- and then that's  
39 not really important, is what's the effect on the- here we only  
40 have two indices, and some of the stock assessments in the Atlantic  
41 and the Gulf, you may have, you know, 10 indices, you know, but we  
42 only had two. So, what's the impact on a key metric such as spawning  
43 stock biomass recruits the fishing mortality on dropping data. So  
44 here, what we do is the base model is in blue and we've dropped  
45 all the indices. So, in other words, when you drop all the indices-  
46 this is, like, another extreme one. We only have the left data in  
47 there. So, if you look at this line in green, it's basically  
48 pushing this SSB up. Okay. And again, all the years of the data is

1 in this sensitivity because the point here is not to look at, you  
2 know, removing years of data. It's to remove an index. So we do  
3 see there is some disparity between the data sources, as might be  
4 suggested, as when the commercial trap index is removed, the  
5 estimate of SSB in the terminal year is higher. So that would be  
6 the- trap is yellow, and so actually says that if you keep the RVC  
7 index and you notice that- if you recall, that RVC index spiked up  
8 in the end of the years- I mean, the end years.

9  
10 Okay. And likewise, age-0, again, these are confidence intervals,  
11 95% confidence intervals. We want to- so I guess if- this is- you  
12 know, one of the things that we request of you is your input on  
13 the quality of these data, on these indices and compositions as  
14 to, you know, we don't see- I have to say, we don't see anything  
15 systematically going crazy here, but we do see some differences.  
16 And that's, again, the fishing mortality rates.

17  
18 Okay. And then, again, our density. So here, knowing that the base  
19 model settled in here, as you drop- I'm going to go to the extreme  
20 and drop all the indices, which is green. It falls- if you drop  
21 all the indices, it does- it falls a little bit to the right of  
22 the base model, quite a bit to the right in terms of the density  
23 of R0.

24  
25 So, we can take questions here. excuse me. So there's many other  
26 sensitivities that can be done, and as we've talked about, whether  
27 they're growth parameter inputs, removing data. Initially, when I  
28 was configuring the model, I did explore dropping some of the early  
29 years of the data and it didn't- but at that point, the model  
30 hadn't been fully configured, so it's not really, you know, good  
31 to say those results weren't- they were non-changing. They didn't  
32 make an impact. But at that point, we were still trying to estimate  
33 a lot of the selectivity parameters. Okay. So I take that to me-

34  
35 **RICHARD APPELDOORN:** Well, I just- if you go back to the previous  
36 slide, just so I understand kind of how to look at this. When you  
37 dropped the trap, that's when you had the biggest change, correct?  
38 And so that would mean that the RVC is having- well, not  
39 necessarily a lot of impact, but we had that increase in the RVC  
40 index in those last three years. And so, if you drop the trap, the  
41 trap isn't basically not there to control for that, and so those  
42 little increases are then having a larger impact, or something  
43 like that. Is that, like, kind of how it works?

44  
45 **NANCIE CUMMINGS:** Well- okay. So, the base model has settled on  
46 about six point se- let's just say that's the truth right now. We  
47 don't know if that's the truth. And then if I drop the trap- so  
48 ignore the green for a moment, if you will. Look at the red, the

1 yellow, and the blue. If I drop the trap, it's basically saying  
2 that- this is the median estimate, is a little higher than the  
3 base model on your R0, that virgin biomass, and it's saying that  
4 if you drop the RVC, it's a little lower. So that's your space,  
5 6.7, let's say, versus you know, 6.5 versus - this is the median  
6 - 6.9 oh, excuse me, 6.73. So, it has- both of these- one pushes  
7 it up and one pushes it back. But remember these still have all  
8 the comp data in them, and the comp is driving the analysis, the  
9 composition data, and that's expec- I mean, that happens in a lot  
10 of the stock assessments. One thing is that you have more- the  
11 composition data, you've got more partitions, so you've got more  
12 likelihood. And Jason and Erik can, can correct me if we're goofing  
13 up.

14  
15 So, I think the thing to look at this, Rich, and your team is this.  
16 If you start to back here with all these sensitivities on the- you  
17 could do all the parameters- you could do every parameter but is  
18 to look for huge disparities. You know that you're going to have  
19 possibly, there's always an opportunity to have differences, but  
20 what are you looking for are systematic, you know, indications of  
21 systematic problems, which would suggest you got some modeling  
22 configuration issues, and it could just be bad data. We did find,  
23 I think it was the Saint Thomas model, where we had a change in  
24 the recruits- the recruit profile here- this trajectory, rather,  
25 and once looking at the data, we saw that we had a really low  
26 sample size in the Saint Thomas fishery and that were all small  
27 fish. And so, it was a sampling thing. I mean, it had very, very  
28 low sample sizes. So, it could suggest- oh. I mean, sometimes- and  
29 Shannon can just maybe talk about this too, with the- I think it's  
30 yellowtail flounder up in the New England areas' big systematic  
31 retrospective biases, and that they really haven't been able to  
32 put their finger on. And the lack of retrospective patterns does  
33 not mean you don't have a retrospective pattern. It just means it  
34 hasn't been shown, you know, so this is correlation/expectation  
35 thing. So, the one thing the look at here in studying these is to  
36 look at your bans. If you drop the 2018 and '19 points, they're  
37 still within- the confidence interval is- on the top is within the  
38 base model, but on the lower end, it's outside. So, it's to look  
39 for systematic, large disparities in your point estimates. And we  
40 also just want to look that we are interested in this last point.  
41 So, we'd like- you know, because we're going to project forward,  
42 so.

43  
44 **RICHARD APPELDOORN:** Yeah. Thank you, Nancie. The answer was buried  
45 in a much longer explanation than I needed, but [laughter] but  
46 thank you.

47  
48 **NANCIE CUMMINGS:** I'm just trying to do my job.

1  
2 **RICHARD APPELDOORN:** Okay. Doug?  
3  
4 **DOUGLAS GREGORY:** Yes. Thank you and thank you, Nancie. It's all  
5 very good. I would say, I do see the retrospective patterns, but  
6 I'm not- I'll leave it to others to judge whether they're  
7 significant or problematic or not, but they're there. And the final  
8 graph you gave, the density graphs, the most changed- the scale of  
9 the x-axis is very small, but it looks to me that the picture looks  
10 more dramatic than reality. But it's very nice.  
11  
12 My interest or concern right now is with the- I guess, your RVC,  
13 the underwater visual survey. The number- the index itself has no  
14 real resolution. The average has very small numbers of fish, and  
15 the data's highly skewed. And the graphs, in my interpretation,  
16 these graphs suggest to me that that data has little influence on  
17 the model, yet in the verbiage of the stock assessment, page 33,  
18 when you're discussing the index sensitivities, it says, "The  
19 removal of the RVC index shows the strong influence of key derived  
20 parameters on this data source. This is likely due to part of the  
21 large influence of the RVC length composition data on the overall  
22 base model fit." So my thought was if that was true, I think that  
23 index is biasing the model in a way that's larger than- has a  
24 greater influence than the data of the half. So that's my real  
25 concern, not the other stuff with the retrospective analysis, but  
26 with this index itself. It seems to me that this index is having  
27 a big influence and it has little resolution, and it has more  
28 influence than even the trap index when you remove it. To me,  
29 that's problematic. Can you straighten me out?  
30  
31 **NANCIE CUMMINGS:** I cannot straighten you out, but I can offer  
32 some little support on one thing. I do think the RVC index, it  
33 more- it mimics the, um- excuse me. It results in similar estimates  
34 of the base model than does the trap index. If you remove the trap  
35 index, then the SSB- in this case, SSB, is increased. And the  
36 comment regarding removing all the indices is just that it- again,  
37 the composition data- they're carrying the model in terms of the  
38 influence because we remove all the indices it's higher, so they  
39 don't- you know. May be wrong there. No, that's correct. Yeah.  
40  
41 **DOUGLAS GREGORY:** No, my only concern is with the RVC index, not  
42 with the trap index. Now I know we want- we like to have a fishery-  
43 independent index, but this doesn't seem to be a very good one,  
44 but it's all we've got.  
45  
46 **NANCIE CUMMINGS:** So my question to you about, you said, small  
47 numbers of fish for the RVC, do you mean the density calculation,  
48 or you're talking about the small sizes? We- what-?

1  
2 **DOUGLAS GREGORY:** The small numbers of fish that were observed  
3 over the years and, you know, the lack of resolution in the trend.  
4 I mean, to me looking at the index graph early on, it has no trend.  
5  
6 **NANCIE CUMMINGS:** Right. I agree with you. It has little trend,  
7 but it has high variability.  
8  
9 **DOUGLAS GREGORY:** And that variability is skewed, skewed to the  
10 larger numbers of fish, which doesn't translate directly to the  
11 size of fish, but it might.  
12  
13 **NANCIE CUMMINGS:** Well, the one thing I want to point out too, and  
14 this is- I should've reported this earlier when I was talking  
15 about- it was really, in essence, a pros-and-cons question that I  
16 can't- I think it was Jason that asked us off the cuff- I mean,  
17 not off the cuff, but outside, and that was with the pros and cons.  
18 And the RVC index is not, you know, it's not 365 days a year, so  
19 it's not out there. You know, it's a systematic- statistical  
20 design. I'm sure it's a very good statistical design, but it is  
21 not- it's a snapshot in time. Yes, it has been increased in the  
22 recent years, but that's only in the recent three years. And yes,  
23 it does have low number of dives as well. So, we realize that, so  
24 it is not an apples-to-apples. And I think the question was, if  
25 the two indices are supposed to be tracking the same thing, then  
26 which one- you know, look at the pros and cons. Make a decision.  
27 I don't think they're tracking the same thing either because of  
28 the spatial distribution up to 30 meters, and I don't think they're  
29 picking up all the part of the comp- even the part of the population  
30 that's being fished on. Much less the part that we're not seeing  
31 in the deeper water. We know it's not picking up those because  
32 they're only going to 30 meters. But I only think- I don't think  
33 it's overlapping in space or time the same as the trap index. So  
34 that's my point about that. Thank you, Doug.  
35  
36 **RICHARD APPELDOORN:** Doug, I have a question just on your  
37 statement, and then we'll go to Shannon. You initially said that  
38 you're contrasting what the graphs were saying about the RVC with  
39 a statement in the text, and I think you gave a page number for  
40 that. Did you have that?  
41  
42 **NANCIE CUMMINGS:** 33.  
43  
44 **RICHARD APPELDOORN:** 33? Okay.  
45  
46 **DOUGLAS GREGORY:** Yes. It's page 33.  
47  
48 **RICHARD APPELDOORN:** All right. Thank you. Shannon?

1  
2 **SHANNON CASS-CALAY:** So, the sentence that Doug read out is in the  
3 report, but it is just a typographical error. It has very little  
4 influence. The length composition data may have more, but you'll  
5 see right here with the trends here in blue is the SEDAR 80 base  
6 run and in red is dropping the RVC index, and they're virtually  
7 identical. It has the least influence of the indices. So it's a  
8 typographical error which we'll correct.  
9  
10 **NANCIE CUMMINGS:** Right. But it- to extend that, neither index  
11 have as much influence in the model as do the composition data.  
12 That was the take on there too.  
13  
14 **DOUGLAS GREGORY:** Well, that resolves what I thought was a conflict  
15 from what I saw and what I read. Thank you.  
16  
17 **RICHARD APPELDOORN:** Okay. Nancie, on to the next section.  
18  
19 **NANCIE CUMMINGS:** Okay. So, the next section is just going to deal  
20 with carrying on from the base model, then into the section where  
21 we try to get some sense of stock status, and then we'll talk about  
22 the projection setups. But prior to that, you know, how to  
23 calculate stock status it depends upon your benchmarks. And so we  
24 are operating on the terms of reference. Oops. This is very  
25 sensitive.  
26  
27 Okay. The management definitions as specified under the status  
28 determination criteria, and they're stated in the SEDAR terms of  
29 reference for SEDAR 80. MSY proxy is the yield at  $F_{SPR30}$ . The  
30 minimum stock size threshold is calculated as 0.75 or 75% of SSB,  
31 spawning stock size biomass at SPR30 level. And then the maximum  
32 fishing mortality rate is the F at SPR30.  
33  
34 The benchmarks and reference points, these are just definitions,  
35 and these are some of the variables that go in to making those  
36 calculations. The base M was the- remember, for the base model, we  
37 had an age-specific M specified using a declining M at age from  
38 the Lorenzen natural mortality project. And the values that went  
39 for that was the 0.18 to calculate that M at age, and that's from  
40 the honing fully recruited fish. The steepness value just is not  
41 used in the projections, but it was set at 0.7. The virgin  
42 recruitment is the estimated stock recruitment parameter- again,  
43 it's not used in the projections - is that calculated recruitment  
44 at the unfished level, and that 793,000s of fish. And the unfished  
45 biomass is the estimated virgin stock biomass, and that was  
46 calculated at 487,000 tons. Yeah. And that also comes from the  
47 base model and its run, and that would be in the unfished level,  
48 not- this is not the start of the time series.

1  
2 The benchmarks and reference points. These are the F at the  
3 MSYproxy. And again, the MSYproxy is the F at SPR 30%. That's the  
4 equilibrium math that achieves SPR30. That was calculated at 0.217.  
5 The maximum fishing mortality rate at F<sub>MSY</sub> is that F, in this  
6 case, that achieves SPR30 because that is our proxy for F<sub>MSY</sub> and  
7 it's the same value. The F<sub>OY</sub> is 75% of the directed F at F<sub>SPR30</sub>,  
8 and that's 0.16, with 75% of this value. I do not believe that  
9 it's specified in the terms of reference. The F<sub>rebuild</sub> would be  
10 that F value, annual fishing mortality, that would rebuild to the  
11 stock but to SSB as SPR30 - that's our benchmark - by a rebuild  
12 year. The base model indicates that the stock is not overfished  
13 and so that it's not necessary to calculate that. And so, then if  
14 if it was indicating it was overfished, then both a rebuild year  
15 would need to be identified, and also, that F would need to be  
16 calculated. The current level of fishing mortality rate, the annual  
17 fishing mortality rate, is the geometric mean- the definition is  
18 the geometric mean for the last three years of the assessment, and  
19 that is 0.19 in the base model. The ration of the current F, which  
20 is this value, 0.19, to the F<sub>MSY</sub>proxy then is straightforwardly  
21 calculated as 0.19 over 0.217, and that is 0.89, indicating that  
22 the stock is not currently undergoing underfishing because it is  
23 less than 1.0. The F<sub>current</sub> to the maximum fishing mortality  
24 threshold is the same identical value because the F<sub>current</sub> doesn't  
25 change in the calculation, and your maximum fishing mortality rate  
26 is the proxy, which is also defined as 0.217. These would be the  
27 reference points- benchmarks and reference points calculated for  
28 the mortality rate criteria, meaning the fishing mortality rate.

29  
30 These are the fishing benchmarks and reference points computed for  
31 the under-biomass criteria, meaning spawning stock biomass.  
32 Spawning stock biomass to the proxy ratio is that equilibrium SSB  
33 at F<sub>SPR30</sub>, and that is computed in this from the base model at  
34 105. The maximum stock size threshold is 75% of that. So, in other  
35 words, to compute whether or not the stock is overfished, we  
36 basically look at 75% of that SSB at SPR30. The SSB level that was  
37 determined by the base model in 2019 was 122 metric tons. The ratio  
38 of the 2019 spawning stock biomass to the proxy, the proxy being  
39 that SSB at SPR30, that value is 1.158 or 116% of the level for  
40 the proxy. The SSB in 2019 of the maximum stock size threshold  
41 that you need to determine whether it's overfished or not is 1.543.  
42 In 2019, the proportion of the stock to the unfished level - that  
43 would be back before the time series actually starts in 1983 - is  
44 25%. So, the model is saying that the stock is not overfished and  
45 is not undergoing overfishing, but also that the level in 2019 is  
46 25%.

47

1 Okay. And again, you saw this at the beginning of the presentation.  
2 You saw that the Kobe plot basically gives you a trajectory of  
3 those reference points that we just showed you. The benchmark and  
4 reference points for each year through the time series is often a  
5 little hard to follow in this matrix and against the biomass  
6 metrics point. So, here's the fishing mortality reference point  
7 axes, and here's the biomass reference point axis. And we're  
8 running from z-zero to here, a 3 in terms of the ratio for the  
9 biomass, and we're going from 0 to 3.5 on the fishing mortality  
10 rate. So, where you want to be is in a green, green. Meaning here,  
11 left of this 1- this 1.0 is always our comparison axis, basically,  
12 this vertical bar. In 2019, we are right here at this little- in  
13 terms of the fishing mortality rate criteria and the biomass crite-  
14 we are above 1.0 in the biomass criteria, and we are below 1.0 in  
15 the F criteria, the fishing mortality rate. So, this is a very  
16 good place to be.

17  
18 To go the most extreme, we go to the red, to this top level here.  
19 If we were above in the fishing mortality rate criteria, above 1,  
20 we'd be undergoing overfishing. And likewise, we would be far west  
21 of our MSST. We would be in the point- this would be 0.75. So that  
22 way, we would- at this point, we would be overfished. So, all of  
23 these years, the stock was overfished. In some of these years, the  
24 stock was in a precautionary state, which, for example, would be-  
25 it is not overfished- excuse me. It is overfished but not  
26 undergoing overfishing, here. In these years, in this yellow zone  
27 here, we are overfishing, but we are east of the biomass at 1.0.  
28 So, we are not overfished but we are undergoing overfishing. It  
29 was asked of me to put on this plot also the- this is the point  
30 that we were at in 1983- or the stock was at in 1983. In other  
31 words, the stock was not overfished but it was under the 1.0 in  
32 terms of the biomass being at- biomass over B\_SPR greater than 1,  
33 and it was also undergoing overfishing.

34  
35 And again, what we've done here is we've just taken these  
36 trajectories and we put them on a plot so that it's perhaps more  
37 visible. So, the blue would be your stock size trajectories- sorry.  
38 Not that. So, your stock size trajectories in- at the start of the  
39 time series, the stock was under 1.0 in terms of the biomass, the  
40 biomass B\_SPR30, and the F was above- so it was undergoing  
41 overfishing. This is where we are in the recent part of the time  
42 series. The green, again, these are our fishing mortality rate  
43 trajectories, and these are our biomass trajectories. So it's doing  
44 what the model said it was doing. It's showing you what the model  
45 said it was showing you, and that was that the stock- even though  
46 it's undergoing- not undergoing overfishing, it has shown evidence  
47 that it is precariously close to undergoing overfishing, and the  
48 stock biomass is in a decline.

1  
2 Okay. So from here, then you've got a base model, and certainly,  
3 certain assumptions went into that. And also, we heard the caveats  
4 regarding- the strong caveats and important caveats regarding  
5 these uncertainties in catch, uncertainties in the indices, and  
6 uncertainties in size composition. So, in order to do projections,  
7 then we have certain assumptions that have to go forward into the  
8 projection period. Now, we know the terminal year is 2019, and in  
9 order- and we also know that we don't have- we want to project  
10 forward from a time where management can do something. So, we're  
11 in 2022, I think, so the end of the data's here, so we have to  
12 have some information to project forward. So, in terms of Fs, we  
13 want to, on our projection period, we want to assume certain things  
14 about relative F between the two fleets and also selectivity and  
15 recruitment, and your M goes in on your landings. So, with these  
16 four components- and this is typical in most assessments in the  
17 southeast, at least, that we take the average from 2017 to 2019  
18 and we use that relative fishing mortality between the two fleets,  
19 and that's held constant in the projection years. The projection  
20 years are 2020 to forward, and that can also be a question. We  
21 assume the same thing that we assume that fleet-specific  
22 selectivity that was estimated in these three years carries forward  
23 in the projection years.

24  
25 And then, finally, or next to last. The recruitment estimates are  
26 from the stock recruitment curve. That's often a question when we  
27 see a particular- recent years or just a lot of decline in  
28 recruitment. You may not want to use the estimated recruitment off  
29 the stock recruitment curve because you might say that the stock  
30 is in some sort of a period of decline in recruitment because of  
31 some big environmental event or something. And then finally the  
32 2020 and 2021 landings, so that's to get us to our projection year,  
33 those are- we set those as the average landings between 2017 and  
34 2019, so for the trap and dive.

35  
36 And then we move forward and make our projections. Sometimes,  
37 they're done for five years. In this case, I think we're showing  
38 them for 10 years. And we've included on this table here the basic  
39 quantities that you want to see in terms of recruits: the numbers  
40 of recruits, those annual F values. Remember, we are projecting  
41 forward at  $F_{SPR30}$ . And this was the value, that's the F that would  
42 achieve- hold this ratio constant. And then also the calculated  
43 SSB based on those assumptions, and then finally- not finally, but  
44 these metrics, SSB to  $SPR30$ , this model- or the projection is  
45 saying that basically, it's going to increase this ratio. It's  
46 going to continue to increase, at least for these 10 years, and  
47 that the ratio from SSB to MSST is going to go up just slightly.  
48 It's going to actually go up and then go up and then come down.

1 And then the ratio of SSB to SSB\_0- remember, in 2019, we're at  
2 about 25% of SSB\_0, and so it's saying that it's going to go down  
3 slightly, and then it's going to go back up. And that's in response  
4 to a couple of things. This is in response to, if I can remember-  
5 oh, we're at 25% of SSB\_SPR0 in 2019, but what's going to happen  
6 is we are slightly below this right now, so it's going to let them  
7 fish just a little bit harder for a few years, and then at some  
8 point, this will come down, and then it's going to go back up after  
9 it stabilizes. And then this is the resulting amount of yield that  
10 you will get. This is the total yield. It includes- you know, we're  
11 assuming that it's all retained catch, so it's included anything  
12 that might be discarded. This is the total catch. So, it's between  
13 57, 67 thousand pounds in these 10 years. I think that's the last  
14 one.

15  
16 So that brings us to, just recapping quickly or not so quickly,  
17 some of the uncertainties. And that we've, as a team, come up with,  
18 and that is uncertainty in life history parameters, L-infinity,  
19 and also importantly, what is that uncertainty around the spatial  
20 differences in life history across the islands, because this life  
21 history set of metrics was developed from a composite set of  
22 samples for all the three islands. It was indicated that at this  
23 point in the collection stage, there's not enough samples,  
24 probably, to clearly and- I would say with confidence to estimate  
25 differences by islands. Uncertainty in reported landings, so we've  
26 heard a lot about that, and particularly, in the level of expansion  
27 factor. So, I would say that this has two parts to it, and one of  
28 those is the next bullet. The lack of historical landings for years  
29 when the commercial fleets were not in equilibrium- and it  
30 shouldn't say "commercial fleets." It really should say "when the  
31 stock was not in equilibrium" because it was being exploited at  
32 least 15 years back before this data series start.

33  
34 The model uncertainties. Uncertainty in the information to  
35 characterize CPUE abundance indices includes the data quality in  
36 the recorded catch and also in the recording of effort. So,  
37 remember, this is a two-part calculation. That's the catch divided  
38 with effort. We know there are issues with the measures of that.  
39 And also, secondly, in the standardization, although there was  
40 rigorous amount of work that was done to standardize the data, we  
41 still have limited model parameterizations to explore effects on  
42 CPUE such as area fishing and more detailed measures of fishing  
43 effort, meaning in this case, and Adyan can correct me, for the  
44 trap fleet, it was the number traps pulled. So, there could be  
45 different measures that are more accurately related to catch that  
46 are affecting CPUE. And then additional model uncertainty includes  
47 information to characterize the stock recruitment function in  
48 general and such as- you saw the profiles on steepness and you

1 know that it's not- I mean, R0 comes has a nice trough there, but  
2 steepness does not have as definite of a trough and also sigma\_R,  
3 the issues. And other considerations regarding the modeling is  
4 that, you know, the fishery was already being exploited, so we  
5 don't have really good information, solid information, on what the  
6 level of recruitment was, and biomass was in those years of lightly  
7 or unexploited state.

8  
9 And then we have a series of research recommendations. I would  
10 also add here in terms of model uncertainties, you know, we know  
11 we attempted to do really good outlier detection on the length  
12 composition data. That's an extension from what was done in SEDAR  
13 30 or 46, so a lot of work went into that to identify apparent  
14 observations. But we know we still have some questions about, you  
15 know, particularly with these questions we had on the index, the  
16 RVC versus the trap and where they're fishing as to where the-  
17 does that cover all the population. So we know we have that issue,  
18 but we, you know, we think that trap index reflects the area of  
19 fishing, the exploitation, the major areas of exploitation. And we  
20 did have some input from the audience regarding that as well.

21  
22 **RICHARD APPELDOORN:** I think we want to break and ask any questions  
23 on the section you just finished.

24  
25 **NANCIE CUMMINGS:** Okay. I just have two slides left. Okay. I'm-

26  
27 **RICHARD APPELDOORN:** You have a way of killing a great presentation  
28 we had. No. Go. Two slides. We can do it.

29  
30 **NANCIE CUMMINGS:** Okay, thank you. Yes. And so, you know, this  
31 leads us up to research recommendations. We believe that we support  
32 continued examinations of growth in particular to focus on  
33 collections of larger individuals for characterizing the basic you  
34 know, L-infinity parameter, and also to particularly look at  
35 island-specific differences. We do know, we recognize, that there  
36 is connectivity, especially in the whole of the three islands, but  
37 we also know that likely, you know, Saint Thomas and Puerto Rico  
38 are more similar given, you know- I will say the caveat to that  
39 would be issues with habitat quality, and so more physiological,  
40 considerations such as, you know, food quality and so forth that  
41 could play into growth. To support enhanced stock demographic  
42 studies, and in particular, focus on quantifying better the  
43 connectivity patterns between island platforms, develop baseline  
44 sampling, full comprehensive baseline sampling for acquisition of  
45 life history observations across a suite of species, not just Queen  
46 Triggerfish, that are harvested by the fleets and- all the fleets.  
47 To continue the SEAMAP video surveys towards developing a longer  
48 time series and to consider enhancing the survey designs spatially

1 and temporally with considerations of extending to the deep waters.  
2 So that was another set of data that we did look at. For those of  
3 you that did not participate in the technical working group for-  
4 the topical working group for the indices, we actually- with  
5 Michelle and the Mona Island data and also the SEAMAP video survey,  
6 we spent a lot of effort in discussion- discussing those efforts.  
7 And we feel that the SEAMAP video survey particularly should be  
8 enhanced and considered in going forward.

9  
10 To consider exploration of historical fishery-independent data. We  
11 know that there's some surveys that were done in the near-shore  
12 mangrove habitats. So we know that likely, those could also have  
13 a potential for even earlier life history of the species. Finally,  
14 we had the conversation, suggestions, from, "Did you use the  
15 environmental data? Did you incorporate storm events?" and so  
16 forth. So, we know that we need more work there to incorporate  
17 oceanographic data and also the environmental indices, but more  
18 focus there has to be to- as Shannon and those were saying, to tie  
19 it to something. It has to be tied to something so we can estimate.  
20 To consider other data-limited modeling applications. To go back,  
21 extend the- this is always related to capacity also within how  
22 many people there are to do the assessments, to go back, reexamine  
23 some of the new data in context of the other data-limited model  
24 and explanations, and maybe pick up, again such as the mean length  
25 estimator. Also, to consider a management strategy evaluation. And  
26 this would be addressed to better provide inputs from the  
27 stakeholders about what they want and what they see for their  
28 fisheries. And this would not be in the context of only Queen  
29 Triggerfish. This would have to be in the context of all the  
30 animals that are being harvested by the trap fleet and the dive  
31 fishers. To explore options for estimating the historical  
32 commercial landings. This is probably one that I probably have the  
33 most- lot of interest in. Again, this is a little bit of a repeat,  
34 to extend the SEAMAP video survey towards the deeper waters.  
35 Exploration- this is a con- I believe this is a whole duplicate  
36 slide, Rich. Yes. Thank you. Thank you very, very much for all  
37 your questions.

### 38 39 **Discussion**

40  
41 **RICHARD APPELDOORN:** Thank you very much, Nancie. It's been quite  
42 a number of hours that you've been on the stand, so to speak, and  
43 fielding our questions, and we appreciate all that effort. I have  
44 a couple of question, and then we'll see whatever everybody else  
45 has. You had mentioned that you were using 2017 to 2019 data to  
46 generate your average parameters for moving forward, and I'd like  
47 to question whether that is valid for estimating fishing mortality

1 given the impact that Hurricane María would've had on '17 and '18  
2 in particular. So that's question one.

3  
4 **NANCIE CUMMINGS:** Yeah. That question did come up, and so we  
5 thought- not we thought but it's one that can have more discussion  
6 and that those sets of years could be also changed is a sensitivity  
7 as well because I realize that, you know, the fishing was down in  
8 those years. So basically, the SSC would need to inform of a  
9 better-preferred set of years and have the evidence for why and  
10 how- you know, whether it's '15, '16, '14, '15, '16.

11  
12 **TODD GEDAMKE:** Yeah. No, I'm really glad you raised that point. It  
13 doesn't, the meet red-face test at all. So why is it up to the  
14 SSC, I mean, that's clearly using that time period, given  
15 hurricanes and María is just clearly wrong. I mean, it's just no  
16 way you can say that you're going to project the dynamics of a  
17 hurricane into the future. So, you know, then from there, it's a  
18 question of, do we need to go back and pick other years, or not?

19  
20 **SHANNON CASS-CALAY:** Thanks. First, this is Shannon. So we did  
21 very preliminary projections, and they were really presented as  
22 kind of a gut check on whether the model was performing the way we  
23 expected it. But we're going to have to review all of these  
24 projections settings because they are critical. So you are welcome-  
25 I agree, 2017, '18 should likely be removed, and this SSC could  
26 absolutely make that recommendation. But there are many here that  
27 we'll have to review.

28  
29 **RICHARD APPELDOORN:** Okay. the second question I had, and you, I  
30 think emphasized this twice. I don't know if it was because it was  
31 a duplicate slide. But looking at historical landings before 1983-  
32 and before I make a comment on that, the question that that  
33 generated to me was going back to the question I had asked this  
34 morning was, is the interest in those historical landings because  
35 that initial value of catch or fishing mortality and all that stuff  
36 at 1983 sensitive to what was going on before, and therefore, the  
37 rest of the analysis is impacted? because I thought the jittering  
38 was showing that, you know, things were not too bad in- so I may  
39 be confused, so let me know.

40  
41 **NANCIE CUMMINGS:** Rich, I don't think you're confused. It does  
42 have an impact. I mean, it does have an impact.

43  
44 **RICHARD APPELDOORN:** Okay. As I know you've seen a lot of that  
45 earlier data, and as you know, if you look at the statistics as  
46 they were reported the peak in fishing overall in Puerto Rico is  
47 probably, what, 1978, '79, and then it came tumbling down. And  
48 then estimates of what the real catch was, was actually, in fact,

1 much higher. So those fishing levels, you know, unfortunately, are  
2 aggregated in many respects. You know, would've had a real big  
3 impact on what was going on. The reason we don't look at that data  
4 basically is because Daniel Matos came on to the scene in '83, and  
5 that's where, you know, he says, "I have confidence on what we  
6 were doing at that point. I don't really have confidence in what  
7 was being done before that," and so that's kind of where the line  
8 was drawn. But there was a tremendous amount of fishing, like,  
9 most of the fishing going on well before that, and so that could  
10 impact not just this thing, but everything. So that's just a  
11 comment.

12  
13 My last comment or question is you talked about the issue of growth  
14 across islands, and I don't see a strong basis for that being a  
15 problem. If we looked at the spread of data you know, unless you  
16 were looking at the residuals by islands to the growth curves and  
17 finding some kind of thing that was not normally distributed around  
18 that, you know, the curve is fairly tight relative to, say, the  
19 magnitude of change that you would've seen looking at the Carolina.  
20 So yeah, there may be subtle differences, but I think they're going  
21 to be so subtle that statistically, I don't see how this is really  
22 going to be an issue, and I'd like to see you know, a much stronger  
23 presentation of data to suggest this might be a problem. You know,  
24 much as we would like to have, you know, things as specific as  
25 possible, but if I was going to put my money someplace, I don't  
26 think that's where I would have it. Trying to pin down L-infinity  
27 with larger fish, that, I might agree with you.

28  
29 **NANCIE CUMMINGS:** Quick, quick response to the growth and looking  
30 for a hint that there might be strong difference between islands.  
31 I agree, and I do have some extra slides that we've prepared that  
32 can show you a table just of the average sizes for the time period  
33 of the samples, and there's nothing to suggest there that there's-  
34 for that period. That's the recent time period because those  
35 samples are, I think, the 2013 forward. But I agree with you about-  
36 yes. Thank you.

37  
38 So basically - I just want to take this - you're saying not a  
39 strong support for a research- uncertainty on differences across  
40 island- maybe in trying to better inform the L-infinity. Yeah.

41  
42 **RICHARD APPELDOORN:** Right, because- and not just on growth, but  
43 you've listed, you know- I don't know how many you had on the  
44 screen, but you know, a lot of research recommendations, and, you  
45 know, we're going to have to prioritize things that need to be  
46 done, and to me, that would not be our priority.

47  
48 **NANCIE CUMMINGS:** Oh, thank you. Okay. Point taken.

1  
2 **RICHARD APPELDOORN:** So comments from the committee on both the-  
3 I forget what the title of the previous long section was where we  
4 were looking at a lot of the results, or these research  
5 recommendations? We've mentioned a lot of things across our  
6 discussions this morning and this afternoon in terms of potential  
7 things that we might want to see, to finalize these, and so we'll  
8 have a discussion of that. And that's somewhat looking at some of  
9 these uncertainties and, well, it's always looking at those  
10 uncertainties, but also might lead to larger, longer-term research  
11 recommendations as well. So, if anybody would like to comment on  
12 it or ask more questions this is the time.

13  
14 **ERIK H. WILLIAMS:** I'm Erik.

15  
16 **RICHARD APPELDOORN:** Okay. Doug would you like to go first, and  
17 then Erik?

18  
19 **DOUGLAS GREGORY:** Thank you. This is Doug. I haven't heard anything  
20 about control rule or ABC, and it's too late in the day to do that.  
21 But does the Center need any guidance from us to do some runs  
22 tonight to do projections of ABC and what they might be? I don't  
23 know what was in the terms of reference. But certainly not in the  
24 morning.

25  
26 **SHANNON CASS-CALAY:** Rich, may I? Thank you. This is Shannon. I  
27 don't think we're ready or at that point yet with this model where  
28 we're confident in moving forward with OFL and ABC, but we will be  
29 prepared when you guys have agreed that the model is useful for  
30 management. We have a technique already to estimate OFL and ABC  
31 using the Caribbean Council's tiered control rule. And so, it's  
32 really just a matter of the SSC determining what tier to apply and  
33 the  $\sigma_{min}$ , and then we will be able to estimate OFL and ABC  
34 relatively straightforward. But there are a number of decisions  
35 still that need to be made, and I don't think we're going to see  
36 OFL and ABC at this particular meeting. I think there's quite a  
37 bit of homework still to do.

38  
39 **DOUGLAS GREGORY:** Okay. Sorry for jumping ahead. I thought that  
40 was the next step.

41  
42 **RICHARD APPELDOORN:** Erik?

43  
44 **ERIK H. WILLIAMS:** Yeah. This is Erik. Thanks. so, one issue that  
45 came up- well, there was a slight error in one of the slides. It  
46 said that the steepness was not used in the projections, yet the  
47 projections did use the stock-recruit curve, so that's the  
48 inconsistency there. But it raises an issue that when you're using

1 an SPR proxy and and a stock-recruit curve with a fixed steepness,  
2 they're sort of incompatible. If you had a stock-recruit curve,  
3 you have an MSY estimate and there's no need to use a proxy. By  
4 using a proxy, you're going to run into some issues when the stock  
5 gets into those lower recruitment estimates, and then things not  
6 exactly lining up with what the SPR proxy assumes. So, it's just  
7 something to be aware of. And honestly, going back to the profile,  
8 the likelihood profile on steepness, that actually looked like you  
9 have a pretty darn good estimate of steepness. That's one of the  
10 better ones I've seen. In the South Atlantic, if we had that, we'd  
11 be running with it full steam ahead and, and using MSY directly  
12 and not use a proxy. Just something to be aware of.

13  
14 **SHANNON CASS-CALAY:** Yes. Thanks. This is Shannon again. And  
15 thanks, Erik. That's an excellent comment. So, I do agree, and  
16 that's something that we're going to have to have a decision about  
17 because the- basically, what we can do is either say, "Okay,  
18 steepness is in fact estimable from the likelihood profile," and  
19 we'll just use that MLE estimate and not use a proxy at all. We'll  
20 just use  $F_{MSY}$ . Or if this group does not want to assume the  
21 steepness is estimable, then we need to define a period of  
22 recruitment that we expect will continue in the short term. So  
23 those are decisions on the table for the final projections.

24  
25 **JORGE R. GARCÍA-SAIS:** Nancie, you have a, a slide of density where  
26 you showed that- I mean, in the modern era, the density peaked  
27 around 2014, and then in the last nine years, you see a decline.  
28 Yeah, that's it. Yeah. Like, see, it's sort of a peaks, it's a  
29 spawning biomass, and I believe there's another one which is  
30 similar. But that one. I want to ask you, what do you think are  
31 the factors that influence that decline over the last five, six  
32 years, five years? What are the factors that influence that  
33 decline?

34  
35 **NANCIE CUMMINGS:** First of all, I think that there's been a decline  
36 in effort in these years so that basically, the stock was- I don't  
37 want to say recovering, but I think was adding growth, which has  
38 continued to grow to this year. And as we've seen, as evidenced in  
39 our trajectories of  $F$ , even for the base model, with all of our  
40 caveats regarding our uncertainties in  $F$ , we see that we have an  
41 increase in  $F$  over these last few years. And we do have an  
42 uncertainty band around here, so that's notwithstanding.

43  
44 **RICHARD APPELDOORN:** I'd like to offer maybe a caveat or different  
45 opinion on that. If you go back to the previous slide that you  
46 were showing, yeah, that one. So you have a decline from two  
47 thousand- I don't know what it is, '15 on but obviously, these  
48 things have been, you know, arcing that way before that. You showed

1 that the analysis was indicating very high recruitment in '97,  
2 '02, '05, and '06, which means about 2015, those fish are, like,  
3 10 years old. And yeah, you can see the on the diagonal that you  
4 still just get those kind of larger circles going into those higher  
5 age groups until, you know, they've been fished down or just  
6 naturally die or whatever. And the recruitment isn't there to  
7 replace that, and I would say the population's going down. So an  
8 alternative explanation is that, you know, we had some really good  
9 recruitment years that drive the population up, and now we- now  
10 having that except potentially the last year, which of course, we  
11 don't see the impact of until, you know, come back in that analysis  
12 in a few more years, and maybe we'll see if it pops back up from  
13 that. Todd, was that a hand?

14  
15 **TODD GEDAMKE:** Yeah. Just one brief comment on the decline and the  
16 N. If you look at the confidence intervals there and jack up 2020  
17 to the upper and you take 2015 down to the lower, you get a flat  
18 curve, so.

19  
20 **RICHARD APPELDOORN:** Yeah. Point well taken. Shannon?

21  
22 **SHANNON CASS-CALAY:** Your, your hypothesis is quite correct, and  
23 I want to- if you could just show the actual recruitment estimates  
24 or the deviations. The deviations on the top, you'll see they're  
25 all negative for the past one, two, three, four, five, six, seven  
26 years, eight years. So that's exactly correct, the model is  
27 predicting lower-than-average recruitment in the recent time  
28 period. So, everything below zero on that top right-hand plot- I  
29 have to look at my hands to do left and right. I'm in kindergarten.  
30 But yes, see how all of the most recent years from about 2012  
31 forward are all below zero? That means the model is predicting  
32 recruitment less than average during that time period.

33  
34 **TODD GEDAMKE:** I don't remember. Remind me, team, on this. The  
35 2010 there was a drop-off at that point in time in overall  
36 landings, 2010, 2011. I just remember having this tough  
37 conversation about when we started with the ACLs 2008, 2009. After  
38 that, there was a big drop-off, and I'm not sure if that's driving  
39 it. But you had a drop-off in Puerto Rico landings at that time  
40 that may have to do with reporting, may not.

41  
42 **RICHARD APPELDOORN:** I just said there was a lot of uncertainties,  
43 and if you look at the error bars, you know. So yes, this is what  
44 the model's predicting as opposed to other factors that might be  
45 involved that the model is not accounting for.

46

1 **TODD GEDAMKE:** I think length is driving a lot. Do you have a plot  
2 of the length in these last 10- at least 2010 to '20 you can pop  
3 up without getting too sidetracked on the details?  
4

5 **NANCIE CUMMINGS:** So, I just want to go- okay. So, these are-  
6 again, this is the fitted, but we would need to- from '83 to 2019,  
7 so you're looking at these years, these last 10 years.  
8

9 **TODD GEDAMKE:** Can you translate an adjusted N to an N for me?  
10

11 **NANCIE CUMMINGS:** This is the N adjusted by the McAllister-Ianelli,  
12 so it's going to each of these partitions, each of these strata,  
13 and it's suggesting the input N according to the recommended  
14 adjustment. So I can't really translate it to the affected N. We've  
15 had this conversation internally. Jason might be able to do that  
16 for us, if he still is-  
17

18 **TODD GEDAMKE:** It's just, just sample size. That's all I want.  
19

20 **NANCIE CUMMINGS:** Yeah. Oh, yes, it is. Yeah. And in particular,  
21 we- nope. In 2018 and '19, we didn't have the samples for Puerto  
22 Rico, so we don't have a good signal there. And we do have some  
23 information from the dive fleet. We're showing a little bump there.  
24 That's a bigger fish. Will not show any increased, you know,  
25 recruitment coming down the pipe here, I don't think. Again, this  
26 fleet is not targeting the small fish. It has a certain- so if you  
27 look at this aggregate this- I don't want to look at that.  
28 Apologies. here. So, if you look at this for the dive fleet in the  
29 last 10 years- I mean, the visual census, you know, you're not  
30 really- you might see a tiny bit of a spike there.  
31

32 **TODD GEDAMKE:** I'm just trying to look at sample sizes. You had  
33 one, I believe, a bubble plot at the beginning. It looked really  
34 familiar.  
35

36 **NANCIE CUMMINGS:** We have some other bubble plots that were  
37 removed, but we-  
38

39 **TODD GEDAMKE:** I don't want to get this sidetracked. [laughter]  
40 Just curious about samp- because I think it's-  
41

42 **RICHARD APPELDOORN:** There was a bubble plot.  
43

44 **TODD GEDAMKE:** There was.  
45

46 **NANCIE CUMMINGS:** I'm sorry. Yes. We could, just close your eyes  
47 everybody- these aren't the- oh, yeah. Those are the residuals,

1 which I think are good to show you. Yeah. That'll get you what you  
2 want.  
3  
4 **LIAJAY RIVERA GARCÍA:** You can go into presenter mode, and you'll  
5 see all the slides if you want.  
6  
7 **NANCIE CUMMINGS:** Okay. Thanks. Okay. So, this gives you what you-  
8 these are the bubbles. So here basically, you don't have any  
9 samples. And so, you're seeing on these recent years, this is a  
10 trap, so you're seeing a few smaller fish down in the-  
11  
12 **TODD GEDAMKE:** So, Nancie, for example, like, 2014, right, where  
13 your cursor is, what's the sample size in 2014?  
14  
15 **NANCIE CUMMINGS:** You can't see that from here. This is a residual  
16 plot. I have to go back to another plot to show you that. I can  
17 show you that just real quickly. 2014 is for the dot trap fleet,  
18 which is what we want. It is about 82 in terms of adjusted. And so  
19 it's smaller than these other year- it's actually larger than these  
20 other years. Yeah.  
21  
22 **TODD GEDAMKE:** So, Adyan, you just ballpark with tens, hundreds,  
23 thousands.  
24  
25 **ADYAN RIOS:** Adyan Rios here. Okay. So, 2014, what are we looking  
26 at? Trap? 2014 trap, 462. Probably one of the highest numbers in  
27 this list. 2018 and '19, which are not up there for trap, those  
28 have 6 and 8, so that's why they don't make it up there. So, 2015,  
29 203; 2016, 166; 2017, down to 68.  
30  
31 **TODD GEDAMKE:** Thank you.  
32  
33 **NANCIE CUMMINGS:** Sorry. This isn't relative to proportion overall  
34 tied to the samples. So, you see these lower numbers, and you see  
35 this one is almost 10 times at 70 of the seven, so. Okay. Thank  
36 you. That was a good question.  
37  
38 **NANCIE CUMMINGS:** Last question from Todd had to do with that  
39 decline in the perceived decline in landings from 2010. I don't  
40 recall that showing up, but I want to look at it, so. I'm just  
41 going to make you close your eyes.  
42  
43 Okay. These are landings. And so, what you see we did have a  
44 decline in overall catch through these- and this was around the  
45 time of ACLs. This would be- ACLs, I think, was 2009 and '10, but-  
46 and then it went up. So, we don't have, like, a continued decline  
47 in landings. In fact, this was when we see fishery exploitation  
48 with the dive fleets kind of taking off.

1  
2 **RICHARD APPELDOORN:** So, while you have that up there, we can look  
3 at what happened in 2017 and '18. All right. So, we see a peak in  
4 2014, is that it?  
5  
6  
7 **NANCIE CUMMINGS:** This is '15.  
8  
9 **RICHARD APPELDOORN:** And in '15 and then it starts dropping, you  
10 know, the year before María. You had a big drop. In 2017, it's the  
11 dive fishery that dropped substantially. yeah.  
12  
13 **TODD GEDAMKE:** Sorry, before I- Richard, just started "in 2017 the  
14 trap drops." This is a stacked plot. So, you can't read them  
15 individually.  
16  
17 **RICHARD APPELDOORN:** No. Well, the bottom line is- can be read  
18 individually but the top one cannot.  
19  
20 **TODD GEDAMKE:** You're right. The top one is- that drop-off right  
21 there. I mean, it looks two thousand-  
22  
23 **RICHARD APPELDOORN:** No, I was talking about total catch at that  
24 point. But I'm saying, in 2007-  
25  
26 **TODD GEDAMKE:** I'm just making the point in general for anyone  
27 that's interpreting this. Like, the blue, it looks like it's  
28 dropping off in 2017 for the commercial trap, but it's not. That's  
29 just the way it's presented.  
30  
31 **RICHARD APPELDOORN:** Right. So, but we can look at say, the dive,  
32 and from '14, '15, and '16, it's fairly constant. So, the big  
33 movement you're seeing in '16 has to be to the trap whereas the  
34 following year you can see that the dive component drops  
35 significantly, even more than what the total top looks like, so  
36 which means the trap actually expanded a little bit. And then the  
37 increases are in the last two years, again, where the dive group,  
38 not the trap. So, that might help us- inform us when we're trying  
39 to say something about what year should we use for averaging going  
40 forward. That is my point.  
41  
42 **NANCIE CUMMINGS:** This is a typical SS plot, and my apologies. We  
43 can always get another plot, if you prefer. But I just want to  
44 note that the exploitation for the two fisheries is very similar.  
45 I think, with both of them showing, you know, increases in  
46 exploitation. And in fact, the dive fleet does show larger  
47 increases in terms of the, you know- let's hope that this is  
48 larger. And then in the last year, the trap fleet may have shown

1 a decline, and that is likely to have been influenced by the  
2 hurricane. But this is '18 and '19. This is '17, '18, '19.

3  
4 If I- where is the- over here? Where is the plot? [crosstalk].  
5

6 **VANCE VICENTE:** Vance. In the recommendation list I saw one of the  
7 recommendations- I mean, I saw only one that deals with the  
8 density-independent factors which is a time series of  
9 oceanographic data. And I really would like to know specifically-  
10 if you can be more specific about what type of oceanographic are  
11 you planning to develop the time series that is biological, like  
12 blooms and die-offs, or physical, temperature, storms. What  
13 specifically do you have in mind?  
14

15 **NANCIE CUMMINGS:** Thanks, Reni. I don't think that's- Oh, it was  
16 Vance. Sorry. I don't think- excuse me. I don't think that that's  
17 something that I'd want to, like, spell out a whole research  
18 project here. I mean, we can- maybe give us an hour or so, and  
19 maybe Adyan and I can come up- I'll give you some in the morning,  
20 some suggestions, but think you want to think about it carefully  
21 before you make a recommendation because there's all kinds of- you  
22 know. And we're not just kicking it down the street, but. To be  
23 better informed. And also to use the money wisely for, other  
24 critters that might be affected by similar kinds of processes.  
25

26 **RICHARD APPELDOORN:** Kevin?  
27

28 **KEVIN MCCARTHY:** Thanks. So, Kevin speaking. I'm looking around  
29 the table, and I'm seeing everybody pretty wiped out. But we do  
30 have a bunch of decisions that we need to hear from you all. So,  
31 I'm going to throw this out there as a recommendation. Shannon's  
32 been taking notes. Adyan's been taking notes. Nancie's probably  
33 been taking notes. I'm just relying on my poor memory. But anyway  
34 so there are a number of things that seem to be causing the group  
35 consternation. We're aware of that. So, we're going to need  
36 recommendations on how to move forward. And in general, we're going  
37 to need at some stage, whether or not you all are- have sufficient  
38 confidence in the data after discussion for us to move forward.  
39 I'm going to say, maybe we talk about that in the morning because  
40 now is not the time because everybody, as I- again, as I look  
41 around, everybody's pretty wiped out. So, we're going to put  
42 together our list of what we've heard, and if we've missed  
43 something, by all means, in the morning, let us know and just sort  
44 of go down the list and discuss each so that we can move forward  
45 or not as the committee sees fit. That's my recommendation for  
46 wrapping this up during this meeting.  
47

1 **RICHARD APPELDOORN:** Yeah. There is a bit of burnout here. I'm  
2 wondering whether we can get from you, so we can think about this  
3 between now and tomorrow morning, a short list of what are the  
4 concrete decisions that the Center needs so we know what we need  
5 to provide in terms of those decisions tomorrow.  
6

7 **KEVIN MCCARTHY:** Sure. So, Shannon and I were just discussing this  
8 outside. So, she's got a list, and I would also ask Adyan and  
9 Nancie, if you've got a list running. If you hear something of  
10 import that Shannon doesn't mention, please speak up. So I'm going  
11 to turn it over to Shannon because she's got the list.  
12

13 **RICHARD APPELDOORN:** Yeah. So, this would be separate from a list  
14 of, say, recommendations or things we would like to have done  
15 because that would be- those are things that would get us to the  
16 point where we tell you, "Okay, this is what we recommend want."  
17

18 **KEVIN MCCARTHY:** Right. So, these are the things that we heard  
19 from you that are causing the committee some concern and that we  
20 need to discuss.  
21

22 **RICHARD APPELDOORN:** Okay. That's different from saying you need  
23 concrete decisions on some points, but I guess we'll get there.  
24 Graciela, you've been- Okay. Erik is online, and then we'll come  
25 back to this.  
26

27 **ERIK H. WILLIAMS:** Yeah. Thanks. This is Erik. I was just going to  
28 add to that conversation a little. I think, you know, one of the  
29 things we learned from a lot of the discussion is that a lot of  
30 the, let's say, consternation about this whole assessment has to  
31 do with the data. And really, as you deal with the characterization  
32 of the uncertainty in that data, and I think that's what folks  
33 might benefit from thinking about tonight. What are some of the  
34 major things we've talked about today, data- focusing on data  
35 uncertainties, that maybe weren't characterized properly in the  
36 model or the way we would have wanted to see them characterized in  
37 the model? I think that's the starting point and I think depending  
38 on the list that we might come up with of sort of data issues,  
39 that would lead us to how to resolve those data issues. If it's  
40 short, we could probably give a quick homework assignment to the-  
41 to the Center folks and make it go off and come up with solutions.  
42 But if it's lengthy and maybe there's a topic that need more in-  
43 depth analysis or discussion, then maybe we might be leaning more  
44 towards something like an in-depth workshop to look at the data or  
45 characterize the uncertainty of the data in a more formal way. But  
46 I don't know between those two, what the outcome might be. But it  
47 does seem to me that, you know, there's some modeling issues too,  
48 but I think all those modeling issues are going to be resolvable

1 once we sort of get the construct of the data with a good, fair  
2 characterization of the problems or uncertainties that we have  
3 with the data. That's just my take. Hope that helps.

4

5 **RICHARD APPELDOORN:** Okay. Shannon?

6

7 **SHANNON CASS-CALAY:** Thanks, Rich. So, I've been recording kind of  
8 the major uncertainties that I've heard this group discuss, and  
9 one of them is the catch itself, of course. And so, the decisions  
10 that we would need are, essentially, are the catches biased, right?  
11 Are they too high or too low? If there is evidence of bias, then,  
12 for example, we do have a study from the MER consultants group  
13 that gives us 17 months of observations, but we would still need  
14 to know how to adjust our time series based on that MER consultants  
15 data. And so, we would need to have a decision about whether to  
16 apply, for example, a calibration factor backwards in time to  
17 adjust the entire time series. So that's one possibility. Another  
18 possibility is something, you know, more sophisticated where, you  
19 know, you actually treat somehow the uncertainty within the  
20 modeling framework and that we'd have to put some thought into to  
21 be able to describe what we would intend to do. We talked about,  
22 in the early part of the time series or perhaps throughout, some  
23 species aggregations that were occurring, and Todd brought up some  
24 work also with MER consultants that might help us address whether  
25 there are species other than Queen Snapper in this data that could  
26 be removed. We talked about the- Queen Triggerfish. Thank you.  
27 [laughter] I do so many stock assessments. We have-

28

29 **RICHARD APPELDOORN:** Was it Queen Conch? [laughter]

30

31 **SHANNON CASS-CALAY:** Sure. We do have two indices that conflict in  
32 parts of the time series, and that was noted. We had a long  
33 conversation about whether we had more faith in one than another,  
34 and there were a number of concerns raised about the NCRMP index.  
35 So, this group need to determine whether we would change the  
36 weighting of that index in some way or even remove it from the  
37 stock assessment model if you don't think it a proper index of  
38 abundance for this stock. The equilibrium catch, that initial catch  
39 in 1982 applied to the model, was discussed and how sensitive that  
40 model was at that initial catch estimate. So that's something that  
41 we could certainly investigate. And then as far as the projections  
42 were concerned, we talked about the use of a proxy when it appears  
43 that steepness is estimable in this model. This group could choose  
44 to just not use a proxy at all but go forward with  $F_{MSY}$  itself  
45 and use the spawn and recruit relationship in the projections. If  
46 the group wants to retain the proxy of SPR30, for example, then we  
47 have to look at the time period of recruitment that we would assume

1 would continue in the short term, at least, for the short-term  
2 projections. So those were the major uncertainties.

3  
4 **RICHARD APPELDOORN:** I'm sorry. Could you run that very last thing  
5 by me again? If we're using the proxy, we need to do what?

6  
7 **SHANNON CASS-CALAY:** Sure. If you want to use the p- see, the issue  
8 is that when you have the Beverton-Holt stock assessment- stock-  
9 recruit relationship and a steepness value fixed in the model, you  
10 know, you are basically fixing  $F_{MSY}$ . And so, if we want to trust  
11 the estimate, we could just use it at  $F_{MSY}$ , right? Yeah. If you  
12 want to retain the proxy, then when we project, we wouldn't project  
13 right off the spawner recruit curve. We would basically make an  
14 assumption that we don't know the spawner-recruit relationship.  
15 We're not willing to assume that the steepness is known, and we  
16 would just project the recruits- some expected recruitment rate  
17 into the future. So, what we usually do is take a recent time  
18 period where the data are fully available, for example, and we  
19 say, "Recruitment will continue as it has in that time period."

20  
21 We also need to determine the year for those relative Fs. Nancie  
22 showed you the- we were using 2017 through '19, and frankly, it's  
23 a customary approach, but you're correct that when there's a major  
24 event that occurs in that time period like a hurricane that might  
25 change the way fishermen fish, we probably would exclude those  
26 years in the projections. Were there other major uncertainties  
27 that the group was interested in seeing an evaluation of?

28  
29 **TODD GEDAMKE:** Okay. for me, there's two comments I want to make.  
30 One is that my gut tells me that L-infinity is driving this whole  
31 thing and I think that the von Bert and aging growth is- really  
32 needs to be looked at. I'm not exactly sure how or what people  
33 want to comment on that, but I think that, that- when this is-  
34 reduces out, that's, that's really going to be driving it.

35  
36 The other thing that, Richard, for this and members of this  
37 committee, that have been on this committee forever, I have fought  
38 with a number of you for numerous times that the landings data are  
39 crap. And there's been a couple people that have come out,  
40 vehemently saying that the landings data in Puerto Rico are worth  
41 nothing. And if you remember, the ACL because the data are worth  
42 nothing, people on this committee, a number of them, decided that  
43 we should average all of the years of Puerto Rico data because  
44 they're all crap. We could submit five years' worth of SSC meetings  
45 to do that. So those members that have said that the landings data  
46 and estimates are crap really need to stand up here now because  
47 this is a statistical catch and age model. If you don't trust these  
48 landings, then you're back to snapshot. Thanks.

1 So I think that, you know, we're are not getting at it now, but  
2 think about how that's going to work because the driving force now  
3 is a time series. It's no longer looking at a [inaudible], and  
4 these statistical catch and age models are what we evaluated back  
5 with ACLs when they first were coming into place. And because of  
6 this committee's decision to not trust the landings data, we went  
7 very, very different routes. So now that same exact thing is on  
8 our plate right now again in this new situation. So keep that in  
9 mind as we- as we discuss the uncertainties.

10  
11 **SHANNON CASS-CALAY:** Sorry, I was waiting so patiently. [laughter]  
12 Thank you. There's also the hypothesis that there could be cryptic  
13 biomass, and one way we considered to evaluate that was allowing  
14 the trap selectivity to be dome-shaped to see if the model then  
15 estimates cryptic biomass. It's an imperfect way, but it's a way  
16 to evaluate whether the model is sensitive to that assumption about  
17 selectivity. And then just a reminder that the current ACLs are  
18 also based on the landings history, so unfortunately, right now,  
19 it's difficult to get away from that. But one thing that the Center  
20 is working on in both the Gulf and South Atlantic regions, and we  
21 could certainly apply here as well, is what we call an interim  
22 assessment approach, which means that once you set an OFL and ABC,  
23 they can be adjusted frequently using indices of abundance. And  
24 so, in that sense, if the indices continue to increase, for  
25 example, we could continue to increase the OFL and ABC which might  
26 allow us to better- I mean, to not rely as heavily on the catch  
27 information as we do today.

28  
29 **JORGE R. GARCÍA-SAIS:** Regarding catch - I have to address this  
30 anyhow - I think that the- our acceptance of an expansion factor  
31 into the data is actually an acceptance that there is a great  
32 uncertainty in our catch data. And just, you know, a really small  
33 example of what I'm saying is what Todd referred to this morning  
34 regarding the catch data for Queen Triggerfish. Says that, okay,  
35 so it's a variable across species, and if we would use the  
36 expansion factor on the Queen Triggerfish data, we'll be off by  
37 100%. I mean, what else do you want to- I mean, how do you want me  
38 to interpret that? You know, I mean, if not by saying that we have  
39 a huge uncertainty on the data, you know? And that's why we attempt  
40 to reduce that uncertainty by the application-run expansion  
41 factor. Then we have variability across species. And I don't even  
42 want to think that we have that amount of variability across years.  
43 So, it's that complicated, you know? So, I mean, it's not that we  
44 believe that it's crap or not crap, you know? It's that we're  
45 trying to figure it out. We've been trying to figure it out for 20  
46 years, and we'll keep on on this- We approach this in a different  
47 way about putting a lot of money into port sampling and things  
48 like that. It has to be like that, and we have to accept that and

1 then try to figure it out, a way of reducing the uncertainty in  
2 one way or another.

3

4 **RICHARD APPELDOORN:** Nelson, go ahead.

5

6 **NELSON CRESPO:** Two quick comment. I think that, Shannon, you are  
7 right. It's very important, you know, [inaudible] let the indices  
8 of abundance. And you have to remember that during the- I don't  
9 remember exactly the day, but during the 2000s, the government  
10 requested the fisherman to apply for a commercial fishing license.  
11 They had to fill the tax forms. In that moment, all the catch  
12 reports declined, and that caused a big issue in the past.

13

14 **TODD GEDAMKE:** What year was that?

15

16 **NELSON CRESPO:** During the 2000, but Pedro Rosello more or less,  
17 it, uh- [laughter] no pero cuando-

18

19 **RICHARD APPELDOORN:** Question for Todd. You talked about looking  
20 at the growth stuff. So I understand why L-infinity is going to be  
21 a really important factor in something that's being driven by  
22 essentially length composition. Is there something in the length  
23 analysis that, Virginia and her colleagues did that is setting off  
24 something that is why you're questioning this?

25

26 **TODD GEDAMKE:** Absolutely not. And I'm saying that so strongly and  
27 I'm laughing right now because as I was getting ready for this  
28 meeting, I was reading it. I'm going, "Something's wrong with this  
29 L-infinity." I can't figure out what it was. Virginia's work  
30 totally supports it. Sure, her work totally supports that value  
31 that's in there, so I- you know, we've got max individuals. I  
32 didn't understand some of the cutting of the sizes that was done,  
33 chopping over 56, but the observed max I think we've seen a good  
34 bit bigger than that. And that doesn't mean that that's L-infinity.  
35 It, it just means L, L<sub>max</sub>. But I think that the problem that we  
36 have across the board with this is potentially a deeper population  
37 or a deeper pattern. But regardless, I'm not saying there's  
38 anything that is wrong or right. What I'm saying is that that L-  
39 infinity is critical to this assessment, and I think that, you  
40 know, Virginia's work supports forty- the 43. And if you look at  
41 the pairs that have been done over the years, 0.15, 0.18, they're  
42 all- that's about the same for K, you know? That's what it's coming  
43 up with. The problem is that if you start taking that L-infinity  
44 and moving it at all, you're going to change your F in a big way,  
45 and then you also got- I don't know. I forget how [Emmy?] and  
46 Lorenzen for the base on that. But, you know, it's also going to  
47 start- you get a feedback on the F NEM that starts getting a little  
48 crazy.

1  
2 **RICHARD APPELDOORN:** So there was a nice opinion article written  
3 some years ago entitled "You Can't Catch a Fish With an ROV" and  
4 then someone has added an ROV where you could do that. So maybe we  
5 can send those down and pick off some of the larger fish. But in  
6 the meantime, we would like to know, for instance, well, just how  
7 sensitive this is to a change in L-infinity as a way to approach  
8 that. Would you-  
9

10 **TODD GEDAMKE:** I'm hesitating right now because I would like to  
11 see this group have a discussion about- we have a- I think Shannon  
12 laid it out very clearly. We have to have- first, we've got data  
13 inputs that I think we need to look at, discuss, and then we can  
14 talk about recommendations. Does that- that's kind of- and I don't  
15 want to jump to recommendations because I could come up with a  
16 list of things on here. But, you know, I'm not sure if they're  
17 going to be critical, and we don't want to waste the assessment  
18 team's time.  
19

20 **RICHARD APPELDOORN:** Shannon, it's after 5:00, so I'd like to break  
21 up for the day. Shannon?  
22

23 **SHANNON CASS-CALAY:** Yeah. One of the conversations that came up  
24 during our development of this model too was that Virginia  
25 Shervette's data almost entirely comes from very recent period.  
26 And so, if the stock is in fact already depleted, you know, and if  
27 larger fish had been extracted by fishing removals, then the L-  
28 infinity would be too low, right, because you're not seeing a  
29 population that allows the fish to grow to be large sizes. So  
30 that's what we really don't know yet about L-infinity is if this  
31 fishing pressure was reduced, would these animals grow larger? Are  
32 these larger fish, in fact, present in deeper waters and simply  
33 not observed? So, L-infinity is a major axis of uncertainty in  
34 this model.  
35

36 **RICHARD APPELDOORN:** So museum collections have [inaudible] a list.  
37 Todd?  
38

39 **TODD GEDAMKE:** I mean, I think if Virginia was here right now,  
40 she's traveling, I think she would- She's traveling right now. But  
41 you know, part of the collection of this data are from very limited  
42 locations and not really that limited, but at the same time, if  
43 you are sampling in an exploited segment- I mean, Shannon's talking  
44 about if you've got- everyone here would say serial depletion. I  
45 mean, what's close to the shore? Where are these things coming  
46 from? Is it possible you have animals that are actually growing  
47 differently in two- I don't know the answer to that. But I don't  
48 think you have a full across-the-board sampling that would- I mean,

1 I stared at this thing last night forever, looking at this, and if  
2 you zoom in on that, the driving force is two fish. Two fish take  
3 this down to, to 430 in there. And if you take- right? If you zoom  
4 in there, those two fish, if you take your thumb and remove those  
5 two fish, you're up at 48, 49.

6

7 **RICHARD APPELDOORN:** Okay. Um-

8

9 **NANCIE CUMMINGS:** Before you close, I just- yeah. I just want to-  
10

11 **RICHARD APPELDOORN:** Okay. Nancie, and then-

12

13 **NANCIE CUMMINGS:** Thank you. From, from Shannon's laundry list  
14 there, I just want to- yeah, of the data, we had two- not issues,  
15 but questions you'd might want- we have to resolve- but those are  
16 projection-related. I have- I hear fear about of six items on the  
17 laundry list. And so, I was trying to identify quick ones and easy  
18 ones, and that would be L-infinity and also exploring the impact  
19 from the initial catch in terms of that initial catch that was  
20 used to inform the 1982 point. But you'd have to make a decision  
21 what you wanted that initial catch to be. Or the equilibrium catch,  
22 um. Those would be two quick things but doesn't get to your other  
23 issues.

24

25 I think the one- um- first of all, the species that are lumped  
26 together, identified Triggerfish, you can't get back to that in  
27 time and so you'd have- only have some current years to inform  
28 you. So, that might take something else out of here, but also about  
29 the catch, the bias, I mean, in that. So, how to handle that would  
30 be a bigger issue. And then I would hope that the indices that one  
31 could- at this meeting that the team hasn't- could- of the data  
32 that's presented, you have the information, and Adyan has prepared  
33 more slides on the indices that might help decide a little bit  
34 more on that index. So that's a bit, out of the six, two are pretty  
35 quick, I think, once you could decide on a sensitivity for L-  
36 infinity. And then also deciding on the indices would be- if you  
37 can at least make some quantitative decision on whether to keep  
38 them both or just more discussion that would help you make that  
39 decision. You know, Adyan does- we do have more slides on the  
40 indices that we could show you in the morning. Thank you. Thank  
41 you.

42

43 **MICHELLE SCHÄRER-UMPIERRE:** Michelle, for the record. I'm just  
44 thinking that the data we're looking at is limited in depth, and  
45 I was wondering if we could look at the depth distribution on some  
46 of the trap data to know if, actually, they are fishing out there.  
47 And if they are and they're not going into the funnels, I would

1 suggest we find some other size data from those depths, maybe from  
2 Reni's work, just to settle that and move forward.

3  
4 **JULIAN MAGRAS:** Thank you. Thank you, Mr. Chair. Julian Magras,  
5 for the record. I'm here sitting, thinking of how we did  
6 collections of samples for Virginia in Saint Thomas/Saint John.  
7 And something just rang a bell in- she's going to be on tomorrow  
8 you know? She's traveling today. I already texted her and tell  
9 her, "Please come on tomorrow to answer some questions," because  
10 if fishers were asked to collect samples, what's the hardest fish  
11 for the fishers to sell is the bigger fish. And if you're saying  
12 that you seen a lot of these fish at- larger fish and you're not  
13 seeing the smaller ones, it's because- this is my thinking of it.  
14 The fishers provider her with the fish that they cannot sell and  
15 sold the smaller-size fish. Now, when I collected samples for her,  
16 I gave her a variety of sizes of fish that she requested, and even  
17 to some of the very small ones that I don't like to bring in  
18 because they're undersized, she needed some of them for the study,  
19 and I brought some of those in. So it just- you know, it's just  
20 something, food for thought, that are the fishers just bringing in  
21 fish for her to sample that they can sell and keeping the other  
22 sizes. So, you know, that's an uncertainty, and I think that's a  
23 questions that should be asked. Thank you.

24  
25 **RICHARD APPELDOORN:** Adyan, did you- Do you have to?

26  
27 **TODD GEDAMKE:** [laughter] Do I have to? Julian, very good point.  
28 I think Virginia would be on board, and I look forward to her  
29 commenting on that.

30  
31 **RICHARD APPELDOORN:** Okay. With that, we're adjourned until  
32 tomorrow at 10 o'clock again. Is that correct?

33  
34 **GRACIELA GARCÍA-MOLINER:** Oh, [inaudible] the starting time. You  
35 are free to change the time. So, if you want to start earlier,  
36 that's fine.

37  
38 **RICHARD APPELDOORN:** Well, I do have pity for our West Coast  
39 colleague, and, um-

40  
41 **NANCIE CUMMINGS:** Thank you, everyone.

42  
43 **JORGE R. GARCÍA-SAIS:** 10 or earlier

44  
45 **RICHARD APPELDOORN:** 10.

46  
47 **JORGE R. GARCÍA-SAIS:** 10, Okay.

48

1 (Whereupon, the meeting adjourned on August 1, 2022.)

2  
3 - - -

4  
5 August 2, 2022

6  
7 TUESDAY MORNING SESSION

8  
9 - - -

10  
11  
12 **RICHARD APPELDOORN:** Okay. Good morning, everybody, we'd like to  
13 get started. Today is August 2nd. This is the continuation of the  
14 SSC meeting. It's now 10:11 in the morning. And we will start again  
15 with the roll call, starting- Walter, would you start us off?

16  
17 **WALTER KEITHLY:** Walter Keithly, SSC member.

18  
19 **VANCE VICENTE:** Vance Vicente, SSC member.

20  
21 **MICHELLE SCHÄRER-UMPIERRE:** Michelle Schärer, SSC member.

22  
23 **JORGE R. GARCÍA-SAIS:** Reni García, SSC.

24  
25 **ADYAN RIOS:** Adyan Rios, Southeast Fisheries Science Center.

26  
27 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC Chair.

28  
29 **JUAN J. CRUZ MOTTA:** Good morning. JJ Cruz, SSC.

30  
31 **TODD GEDAMKE:** Todd Gedamke, SSC.

32  
33 **SHANNON CASS-CALAY:** Shannon Calay, Southeast Fisheries Science  
34 Center.

35  
36 **NANCIE CUMMINGS:** Nancie Cummings, Southeast Fisheries Science  
37 Center.

38  
39 **KEVIN MCCARTHY:** Kevin McCarthy, Southeast Fisheries Science  
40 Center.

41  
42 **LIAJAY RIVERA GARCÍA:** Liajay Rivera García, Council staff. Buenos  
43 días.

44  
45 **GRACIELA GARCÍA-MOLINER:** Graciela García-Molinera, Council staff.

46  
47 **ALIDA ORTIZ SOTOMAYOR:** Alida Ortiz, Outreach and Education  
48 Advisory Panel.

1  
2 **IRIS N. OLIVERAS:** Iris Oliveras, Council staff.

3  
4 **MARCOS HANKE:** Marcos Hanke, CFMC Chair.

5  
6 **NELSON CRESPO:** Nelson Crespo, DAP Chair of Puerto Rico.

7  
8 **JULIAN MAGRAS:** Good morning. Julian Magras, DAP Chair, Saint  
9 Thomas/Saint John.

10  
11 **RICHARD APPELDOORN:** And online?

12  
13 **LIAJAY RIVERA GARCÍA:** Online, we have Cristina Olán, Carlos  
14 Farchette, Doug Gregory, Erik Williams, Jesús Rivera Hernández,  
15 Julie Neer, Nicole Greaux, Rachel Eckley, Sarah Stephenson, Sennai  
16 Habtes, Stephanie Martinez-Rivera, Tarsila Seara, Virginia Rios  
17 Shervette, and that is all.

18  
19 **SSC Recommendations to CFMC**

20  
21 **RICHARD APPELDOORN:** All right. Thank you. Again, a reminder for  
22 people when they're making comments to please state your name for  
23 the people who have to do the transcripts for us later on. Any  
24 other announcements, Graciela? No? Okay. So, we're going to pick  
25 up where we left off yesterday. Nancie gave us a great presentation  
26 on the work that was done. It was very attentive to lots of  
27 questions that we had. And again, we thank her for that. I think  
28 we are now in a situation of, you know, "Okay. Now what do we want  
29 to do?" with the ultimate decision is going to be is this committee  
30 going to recommend that this analysis or some future version of it  
31 depending on how we go is acceptable for stock assessment purposes.

32  
33 Uh, I think that the first question that I had - and I think a lot  
34 of other people had - was the assumption of stock synthesis  
35 treating the data as- the catch data as reliable and what impact  
36 does that have on this considering that we've all had qualms about  
37 the reliability of the Puerto Rico catch data. And that you know,  
38 to what degree might this affect that analysis given the  
39 assumptions? and maybe as a lead-off into where we might be able  
40 to go with this Shannon has kind of asked to- I had a conversation  
41 with her, and she had some ideas about how we might move forward  
42 and what the implications of these things are. So, I'd like to  
43 maybe get her comments on that and then we can just start the  
44 larger discussion. So, Shannon?

45  
46 **SHANNON CASS-CALAY:** Yes, thanks, Rich. Yeah. I think we have  
47 discussed many times- and I'll agree that there is uncertainty  
48 associated with the catch data, and that isn't even entirely unique

1 to the Caribbean. We have similar issues in the Gulf of Mexico,  
2 particularly with the recreational fishing component. we need to  
3 do a variety of sensitivity runs to explore, you know, the  
4 performance and essentially the sensitivity of the model to  
5 different assumptions about the catch. So, we have a short list of  
6 some runs that we have proposed. You can review them and request  
7 others if you are interested in different analyses. One thing that  
8 is likely is that if we were to adjust the catch, for example,  
9 using the MER results and it was, for example, calibrated all the  
10 way back to the beginning of the time series using a constant  
11 value, it's unlikely to change the stock status from the model. It  
12 will change the catch recommendations. They will scale similarly  
13 to the adjustment that we would apply. So the reality is the catch  
14 is important to the stock assessment model. If the catch is biased,  
15 right, but it's biased in the same way throughout the time series,  
16 then the stock assessment model is fairly insensitive to that  
17 change in magnitude, with the exception that it does absolutely  
18 change the recommendations for catch that come out of the  
19 projections.

20  
21 If the values have changed during the time series - and the  
22 evidence suggests that that probably is the case - that's much  
23 more complicated to model and would really require then for us to  
24 try to determine if there is a way to calibrate the catch for the  
25 time series based on reliable information. But that brings up the  
26 question of, you know, if you don't have reliable catch, all of  
27 our management approaches today do require catch estimates,  
28 including the tier four of the control rule. It relies on catch  
29 alone, in fact, and expert judgement about stock health condition.

30  
31 So I did want to just mention the direction the Science Center has  
32 been heading in both- well, primarily in the Gulf of Mexico. But  
33 now we are doing research to extend this process and evaluate  
34 whether it's effective in the South Atlantic. And that is called,  
35 well we're calling an interim assessment procedure, although it  
36 could just as easily be called, essentially, an adaptive  
37 management-style procedure. And that really tries to get us away  
38 from being forced to rely on uncertain catch information for  
39 example. Because what it would do is you do need to have a stock  
40 assessment for the initial determination of what the stock is  
41 undergoing overfishing or overfished. And some idea of the catch  
42 recommendation, OFL and ABC. But after you have that, then you go  
43 with more of an adaptive management process where you look at  
44 indicators, where you look at length-composition data, and you try  
45 to look at whether there are trends in real time in the water that  
46 suggest the stock is growing or being depleted. Right? Or basically  
47 becoming in a worse condition. And then you adjust the catch  
48 recommendations based on those real time indicators on the water.

1  
2 Now, the reason why it's important to have a stock assessment first  
3 is that there is a bar that we need to meet with general Council  
4 requirements, that what we're doing is consistent with Magnuson,  
5 which requires that the stock is not overfished or that it- you  
6 know, not experiencing overfishing and that you rebuild depleted  
7 stocks. And so having a stock assessment model allows us to do the  
8 evaluations needed through simulation studies to determine whether  
9 the adaptive approaches are consistent with the Magnuson-Stevens  
10 Act to prevent overfishing.

11  
12 So that's essentially the requirement that we've been asked to  
13 demonstrate in the federal fisheries. But that, you know, that is  
14 an advantage. It does require us to understand the sensitivity of  
15 the assessment model to catch and be willing to accept that the  
16 assessment model could be used in this way to provide useful  
17 management advice for the stock. That is better than using catch  
18 alone, for example, in tier four. So, we could go through this  
19 list. I mean, the first item on the list is some suggestions from  
20 the Science Center about evaluating the sensitivity of this model  
21 to catch. And then we have an extensive list of other sensitivity  
22 runs as well for your consideration.

23  
24 **RICHARD APPELDOORN:** Uh, Erik, you have a comment? Suggestion?

25  
26 **ERIK H. WILLIAMS:** Sure, I thank you, Chair. This is Erik. So,  
27 before we dive into whether to use SS or not how we would use SS,  
28 we need to be clear on a couple things here. One is what is the  
29 purpose of a sensitivity run versus an alternate base run? So,  
30 sensitivity runs are typically used just to detect model behavior  
31 with a perturbation to some input. It- and that's it. It just tells  
32 you, "Okay, the model will shift this way or that way if you change  
33 input X or Y." That's very different from an alternate base run  
34 where we think it's an alternate state of nature but we haven't  
35 captured in the initial runs. We need to be very clear on the  
36 difference between those two because people get these mixed up all  
37 the time. An alternate base run means you actually believe that  
38 that's a plausible outcome. And that is not a sensitivity run. I  
39 mean, you shouldn't use that phraseology for that.

40  
41 The other thing I'll add is, I think we all agree that uncertainty  
42 is one of the main impediments for the stock, but it shouldn't  
43 prevent us from moving forward. I mean, that's what science is all  
44 about, is one thing we can do is characterize that uncertainty  
45 fully and that's what our mission should be. And really, the only  
46 framework to do that in is an integrated analysis or an SS-type  
47 model because it basically forces us to put all the inputs in and

1 then we can be explicit about what the uncertainty is with all of  
2 those inputs and settings. And that will give us the full picture.  
3  
4 Now in the end- I haven't seen this happen yet, but maybe this  
5 could be the case- where there's so much uncertainty that what  
6 comes out the back end is- doesn't help management because it's  
7 just way too uncertain. I haven't seen that happen yet. Maybe this  
8 will be the case. I don't know. But I think that's the way we  
9 probably need to go. I mean, these integrated analyses are the  
10 state of the art for stock assessment. State of the art doesn't  
11 mean that we have to fully parameterize them. We have to have all  
12 that information. What it means it's the state-of-the-art  
13 construct that we can do a lot with, and we can characterize the  
14 uncertainty. And I would suggest that one of the things we need to  
15 think about is moving away from the delta method uncertainty  
16 characterization. It's currently being used in the assessment and  
17 probably even move away from this idea of somehow doing plus-one,  
18 minus-one sort of sensitivity runs and then somehow putting those  
19 ensembles together. In the end, that gets all messy. And move to  
20 something like what we do in the south Atlantic, which is a Monte  
21 Carlo Bootstrap Ensemble process where you actually cast  
22 uncertainty around all of your important inputs and settings and  
23 then you still caustically run the model 1,000, 2,000, however  
24 many times it takes, and what you get out is the final uncertainty  
25 distribution.

26  
27 That I think is the way to go. That's just my opinion. but the  
28 problem with all of that- and I think Shannon recognizes this.  
29 It's a lot of work. A lot of work. And a lot of the work goes into  
30 just carefully characterizing the uncertainty on all those inputs.  
31 And as we've talked about, just trying to characterize the  
32 uncertainty around the catch and the landings is difficult enough.  
33 So just wanted to put that out there.

34  
35 **RICHARD APPELDOORN:** Well, thank you, Erik for those comments. And  
36 um-

37  
38 **GRACIELA GARCÍA-MOLINER:** So Shannon, there is a question here  
39 from Virginia. How is what you're explaining different from the  
40 interim Caribbean lobster assessment that is underway this year?  
41 Thanks. Graciela here.

42  
43 **SHANNON CASS-CALAY:** So, I believe that the interim- we may have  
44 called it an interim assessment of Spiny Lobster. But in fact,  
45 that is an update assessment. We are literally updating the entire  
46 model. And the reason we're doing that for Spiny Lobster is that  
47 the last year of that model was 2016, and there is no index in

1 that model. And so, it's easier, frankly, given the fact that there  
2 are few model inputs just to go ahead and do a full update.

3  
4 **RICHARD APPELDOORN:** So on the screen, not that I can read it, is  
5 what started out as a I think a compiled list coming out of the  
6 Science Center from based on discussions yesterday. And it's been  
7 added to by certainly by Erik and Jason and I think somebody else.  
8 Hmm? No, not necessarily.

9  
10 **GRACIELA GARCÍA-MOLINER:** Can, can you read it now? Is it better?

11  
12 **RICHARD APPELDOORN:** Well, I mean, we were discussing the  
13 fundamental issue of the data and the model approach. So we've  
14 heard from Erik on some things that he's recommending. But no one  
15 at the moment's talking about throwing out the stock synthesis  
16 model. So, but I'm open to, you know- we're here to discuss this,  
17 so if people have something to say.

18  
19 **TODD GEDAMKE:** I'm not sure what to say. How we move on now is  
20 challenging on this. Erik just started out clarifying that there's  
21 a real difference between uncertainty and alternate-based runs,  
22 alternate realities. And then he ended with, "We need to  
23 characterize the uncertainty in the landings." We don't have an  
24 ability of characterizing uncertainty in the landings. All we can  
25 do is do alternate realities on it. You have an assumption on any  
26 of these time series that reporting patterns have been captured  
27 correctly. We know that reporting patterns have not been captured  
28 correctly. We know that 2015 responds right after the tax  
29 reporting. We don't have that characterized. This is the same exact  
30 discussion that we had with the ACLG. I mean, there's nothing  
31 different. Nothing's changed. The data are the same. There's no  
32 new information. There's no correction on the correction factors,  
33 on the expansion factors. We can go back and you have the head of  
34 assessment of NOAA right now, Jim Berkson. Repeatedly, repeatedly  
35 we went through every bit of this to try to figure out whether we  
36 had a reliable catch series. He developed a procedure at that time  
37 called Only Reliable Catch Series. He published that at the time,  
38 walked into every SSC meeting here, and said, "We don't have a  
39 reliable catch series in the Caribbean." I followed that up. We do  
40 not have a reliable catch series in the Caribbean. Sissinwine  
41 followed that up. "We don't have a reliable catch series in the  
42 Caribbean." Porch followed that up. "We don't have a reliable catch  
43 series in the Caribbean." We can continue, and we can repeat these  
44 conversations over and over and over. Or- and we- I mean, we have  
45 Reni, "We don't have a reliable catch series." Walter, "We have-  
46 don't have a reliable catch series."

47

1 We can go on and on and on, on this. And the fact that we're re-  
2 terming things doesn't change the fact that we don't have a  
3 reliable catch series. So, Erik's opening statement on this whole  
4 thing was SS assumes a reliable catch series. So, I don't  
5 understand how we, we go from that to jumping to, "How can we do  
6 the sensitivities?" And, and the clarification is very simple. You  
7 have to set your runs up before you get into sensitivities. You're  
8 setting the run up with a time series. Are we going to do every  
9 single possible scenario for these different runs? Or for the, the  
10 landings? You know, the- you can't.

11  
12 So, the expansion factor- you know, Kevin's been fighting with  
13 this expansion factor for 15 years here trying to get clarification  
14 on what was done, how it's done. But in 15 years, we're still in  
15 the same boat on this. So, I think that we're in a really tough  
16 spot here. And I understand the desire for A, an integrated  
17 assessment model. I agree with everything Erik said. But I also  
18 want to recognize, this is a plug and chug approach. This is- we  
19 get this set up; you end up with a- but it does not solve our  
20 problem here. And I think that there's years' worth of records  
21 from every member of this committee and all the leadership at NOAA  
22 to saying, "We don't have a reliable catch series here." And I  
23 would say that, you know, if there is something that I'm missing,  
24 Kevin, Shannon, you can explain it to me, how everyone's opinion  
25 has changed over the last 10 years and no one now stands behind  
26 using this catch series, then I would- that would be great.

27  
28 **RICHARD APPELDOORN:** Okay, Erik and then Shannon.

29  
30 **ERIK H. WILLIAMS:** Yeah, thanks, Chair. This is Erik again. So,  
31 Todd, I hear what you're saying but I have to disagree with you.  
32 I think what- what I think you're missing is that we can  
33 characterize the uncertainty of the landings to use in, like, an  
34 MCBE process. So, if we- we know that the landings aren't 0 and we  
35 know that they're not 1 million. Okay, there's our beginning  
36 bounds. So how can we whittle that down to something that we agree  
37 is a range over which the landings are likely to have occurred?  
38 And that, you know, take for example the- we've talked about the  
39 scaler. If we believe it's anywhere from one to two times, well,  
40 there we go. We can put that into the model with a range of 1 to  
41 2 as a multiplier and resample from it, uniform distribution  
42 between 1 and 2 and create landing streams in an MCBE process. And  
43 then we treat those all equally likely outcomes, and we get a  
44 distribution of outcomes based on a range of landings from 1 to a  
45 multiplier of 2. That's just one example.

46  
47 So, I mean, I hear everybody saying that the landings are  
48 uncertain. We know they're uncertain because we have a sense of

1 the uncertainty, which means if we have a sense of the uncertainty,  
2 we can characterize that. We can. It may be really big, but we  
3 just need to put our heads together and come up with a reasonable  
4 range of possible landings time series, and we could code that  
5 into the model and run all those scenarios at once.

6  
7 So I think just to make sure everybody's clear, what I'm proposing  
8 is you come up with a range for all of these inputs and we sample  
9 from that range thousands of times. And what you get out of the in  
10 the end is a distribution of all of the outcomes. So, it basically  
11 treats all of these scenarios as equally likely, as alternate-  
12 based runs, and what we get is a nice distribution of the  
13 uncertainty in the end. What I fear is we're putting- is how much  
14 uncertainty we put in, what we get out of the back end may be  
15 unusable. But like I said, we've done this with many other stocks,  
16 and I have yet to see a case where it's completely useless. I've  
17 seen some large uncertainties come out of the back end, but it  
18 does actually provide some advice that's useful for managers. But  
19 the most important thing it provides is, you know, a direct  
20 estimate of our uncertainty in this whole thing. And if we're that  
21 uncertain, we are that uncertain, and it's our duty as scientists  
22 to give that to the managers and say, "Look, this is what we know,  
23 but this is also what we don't know." So anyways, just wanted to  
24 point that out, pontificate on that a little bit. But I appreciate  
25 Todd's comments. Thanks.

26  
27 **RICHARD APPELDOORN:** Erik just a point of clarification, your MCBE,  
28 I assume MC is Monte Carlo? E might be ensemble. But B is what?

29  
30 **ERIK H. WILLIAMS:** Bootstrap. So, it's a combination of Monte  
31 Carloing and bootstrapping put together into a model.

32  
33 **RICHARD APPELDOORN:** Okay.

34  
35 **SHANNON CASS-CALAY:** So, I think Erik said that very well, and I  
36 think there are tools that we can use to address better the  
37 scientific uncertainty. And, you know, I, I do think that the  
38 Science Center has very much stood behind that concept of providing  
39 you with doc assessment information. We spent two years with you  
40 working on a control role with four tiers. Three of them are stock  
41 assessment tiers, and we intend to use them as the data improve,  
42 as the methodologies improve. So, this is clearly a process, and  
43 we are clearly, you know, not at a final state where we know, you  
44 know, the approach that we're going to use moving forward in the  
45 U.S. Caribbean. But I actually do think that the- what we have  
46 presented to you is the beginning of a very powerful framework  
47 that with some improvements that can be made at the Science Center.  
48 You know, we can bring you back something that I think is very,

1 very clearly, defensively an improvement over using catch advice  
2 alone, which is what you'd be forced to use without a stock  
3 assessment is the very catches you're claiming are unreliable.

4  
5 **TODD GEDAMKE:** And therein lies the challenge. You know. You have-  
6 you have two people here that are promoting- that, that are not  
7 really that familiar with the landing series, nor have- were they  
8 involved in the discussions that we had over this for many years.  
9 We did this. And Kevin, you were here for all of that, so- and  
10 you're on the record for all of that. So, you know, with the  
11 uncertainty, you have a question of how do we characterize that  
12 uncertainty? Does anyone else remember days and days of our life  
13 trying to come up with characterizing that uncertainty? I mean, we  
14 did this before. Reni, you know, Reni will jump in here too. but  
15 you have a- you have a question here of- I mean, Shannon, you just  
16 said, will provide us with a very powerful framework. And Erik  
17 said- Nancie said there's a developer this and a developer that.  
18 You- give us a software package. I mean, that's really the bottom  
19 line. And because the data are uncertain, you do a Monte Carlo  
20 setup on it. And for those that don't know what a Monte Carlo is,  
21 you basically- what I said in my question, which didn't sound as  
22 scientific, is, "Are you going to just try every single  
23 combination?" And yeah, that's what you're saying is you, you try  
24 every single combination, and then you use a statistical way of  
25 describing it. And Shannon, I'm not saying that. That is the  
26 reality of it is that you're, basically, throwing all of it in  
27 there. And you're going to have to make assumptions that are  
28 constant assumptions in that you're going to say you have a- like  
29 Erik said, a scaler. We discussed this scaler. We said, "Is it  
30 between 0? Is it between- is it a quarter? Is it more?" you know,  
31 for Queen Trigger, we have one point in there. The question is,  
32 you know, how do you- what do you- what do you do with it? And so,  
33 Kevin, could you comment on the different- and how the opinion has  
34 changed from all of the discussions we've done previously as an  
35 SSC member and where we are now?

36  
37 **RICHARD APPELDOORN:** Yeah, so JJ wants to comment first.

38  
39 **JUAN J. CRUZ MOTTA:** Unless you want to reply that. Okay. Look. I  
40 don't know if this is an advantage or disadvantage. But I was not  
41 part of those discussions before about the quality of the landings  
42 data. The only thing that I have seen now is that for one year -  
43 and I know that has a lot of limitations - the data that was  
44 collected by MER says that it matches what the landings report-  
45 without the expansion. Thank you, Rich. And unless there is a  
46 specific reason for thinking that only- thinking, like, that wasn't  
47 untypical year in which for- just by chance, it matched. I could  
48 say that we still with some uncertainty, we still can use that as

1 a basis that perhaps the data can be used at this stage. But this  
2 is just a, a comment on the details of this- on the quality of the  
3 data. But then, I also wanted to comment on the general view  
4 brought by, by Shannon. I really like the idea that if we can come  
5 up with T0, times 0 - let's call it a stock assessment - upon which  
6 we can then do this year by year assessment, that would be great.  
7 Right? So if we can, you know, acknowledge all the weaknesses of  
8 the data we have now. But if we can come up with the times 0, I  
9 think it will be great if we could follow that route. In terms of-  
10 I see that as an efficient way. I really like the idea of using  
11 indicators or indices to follow-up on what's happening and not  
12 rely on long-term data. Thank you.

13

14 **RICHARD APPELDOORN:** All right. Vance and then Shannon.

15

16 **VANCE VICENTE:** I like very much Erik's point about- Oh, Vance  
17 Vicente. I appreciate the comments of Erik, for two reasons. I  
18 think that even though we have discussed that our data is affected  
19 by multiple factors, I think it's time to tabulate them. Like you  
20 said, characterize them. More than that, first itemize them. And  
21 then weigh them to see which ones we believe are the ones that  
22 most affect, these catch numbers. We went through a lot of hours  
23 analyzing the ecosystem-based approach. And we, in a way, itemized  
24 the different factors that, both from an economic standpoint,  
25 ecological standpoint, from pollution standpoint, a habitat  
26 standpoint, etcetera. So, in a way, we have itemized them. But I  
27 think for the purpose of this meeting, we should really tabulate  
28 them, itemize them. We will have all criticized the data, but why  
29 don't we write them down and see which ones are more important  
30 than the other? That's it. Thank you.

31

32 **RICHARD APPELDOORN:** Shannon?

33

34 **SHANNON CASS-CALAY:** Thank you, Rich. This is Shannon. I'd- you  
35 know, I think that the Science Center is obviously well-aware of  
36 the issues with catch. In fact, you know, Kevin McCarthy and I  
37 were instrumental in working with Todd and Steve Turner to fund  
38 the MER study. It's the Science Center that funded it. And the  
39 Science Center works with the Caribbean Territorial Initiative  
40 money to improve the data quality in the Caribbean through several  
41 different efforts. I, you know, I think you acknowledge the  
42 scientific uncertainty. You attempt to do the best  
43 characterization possible. And the approach that Erik is talking  
44 about is widely regarded as a state-of-the-art methodology. It is  
45 something that we could do given enough- you know, given a little  
46 time to execute because it's not part of the SS toolbox. So, what  
47 I don't- what frustrates me, I suppose, and concerns me is the  
48 notion that we leave the Caribbean with nothing to offer,

1 essentially, because the requirements right now of, of Magnuson to  
2 manage the federal fisheries, you know, are based on concepts of  
3 status determination and catch recommendations. And that's where  
4 we've come to trouble in the past when we brought data-limited  
5 methodologies to the SSC. Is they are informative. They help us  
6 understand whether the fishing rates might be too high, for  
7 example. But they have not given us the ability to determine a  
8 status determination overfishing, you know, overfish definitions.  
9 And they haven't been able to be extended by this SSC at least to  
10 characterize a catch recommendation. Although we did demonstrate  
11 how that could be done.

12  
13 So, you know, I do think the big advantage that I think we can  
14 have in the U.S. Caribbean is to open the door to those adaptive  
15 approaches that I discussed earlier, where we can go to index-  
16 based approaches. But you've got to have something to adjust from.  
17 And unfortunately, those catch recommendations are scaled by your  
18 concept of the landings history, right? So, if we were to say,  
19 "Okay, actually, they caught twice as much as we think, on  
20 average," the catch recommendations will also scale upward. But  
21 you'll have to monitor in those same scaled units, right? So, we  
22 do recognize the scientific uncertainty. And in that sense, nothing  
23 has changed. But what has changed is our ability to bring tools to  
24 the table that can characterize that uncertainty, and also,  
25 adaptive approaches to the table to make adjustments in the future  
26 based on real time information from indices and from length-  
27 composition studies that do not require the same long-term time  
28 series that stock assessments do.

29  
30 **RICHARD APPELDOORN:** Kevin.

31  
32 **KEVIN MCCARTHY:** So, Todd, I was not ignoring you. I was- I, as no  
33 longer a member of this committee, I'm always going to defer to  
34 the SSC speaking before the invited guest. I agree with JJ. I agree  
35 with Erik. I agree with Shannon. And I agree with what you- I think  
36 what you were saying yesterday. What's changed is, is not the way  
37 the data are collected by Puerto Rico. What's changed is we have,  
38 albeit limited- we have an independent estimate, right, from 17  
39 months. And what I thought I was hearing yesterday was the notion  
40 that, you know, that provides- helps provide some bounds to a  
41 range. And what I'm also hearing from Erik now is a proposal to  
42 use a new approach which we haven't used before to try and get at  
43 that uncertainty. So, I would say that methodologically, we've got  
44 a change. Information content, we've got a change because we've  
45 got 17 months of another way of estimating the landings. So, I  
46 think that those combined provide us with some new information  
47 that we haven't had before. And JJ said it and Erik said it. And  
48 Shannon said it. And I think that it's you know, going to be

1 informative for us. And it's certainly worth trying because you're  
2 already- you being the Council and the SSC are already using, as  
3 Shannon noted, the landings that we all agree are uncertain. But  
4 we're using them to manage. So, they're already in use. but now  
5 we've got another way of getting at some bounds and and estimating  
6 uncertainty that I don't think we've tried before.

7

8 **RICHARD APPELDOORN:** Walter, Reni, and then JJ.

9

10 **WALTER KEITHLY:** Thank you, Mr. Chairman. Actually, I have two  
11 questions. Different questions, but I'd like them both answered if  
12 possible. At the last meeting, Kevin, if I'm not mistaken, you  
13 said that the MER project had not yet been verified. And I'm trying  
14 to remember back whether you said you were trying to determine-  
15 bring in an independent committee into reviewing it or just to  
16 review it internally. So my first question is has it been reviewed  
17 yet and validated?

18

19 **KEVIN MCCARTHY:** So, this is Kevin. So there's money for CIE review  
20 that it has not happened yet. I think we're on- I hope we're on  
21 the calendar for the fall because there's a lot of- you know, a  
22 lot of competing folks who need that review, so.

23

24 **WALTER KEITHLY:** Okay, well, my point is it seems like we're  
25 jumping kind of ahead here by talking about using the MER work to  
26 scale or whatever the traditional data when it has not been  
27 reviewed yet. Okay, that's what- thank you.

28

29 The second question I guess maybe Nancie but I'm not sure. I should  
30 have written it down. Yesterday you made a comment that you thought  
31 Puerto Rico landings were systematically underreported. I think  
32 that's what you said. Am I mistaken or- I'll go on. And I think  
33 you meant after you even used the extrapolation factor. And, you  
34 know, again, there's a lot of uncertainty. Todd's correct. I've  
35 questioned the catch data, the uncertainty. But I haven't- I've  
36 never attempted to say whether systematically biased upwards or  
37 downwards. You may just have a lot of error from year to year,  
38 random error in the data. And that's what I'm trying to figure out  
39 at this stage. Thank you.

40

41 **RICHARD APPELDOORN:** Yeah, if- to respond to that?

42

43 **KEVIN MCCARTHY:** Yeah, I can respond to both of those. So, the  
44 first one is- you're right. It has- we don't have the CIE review  
45 yet. But it does provide a second independent estimate which might  
46 help us set some bounds on where we think the real landings are.  
47 Right? So, we can get it- uncertainty, we've now got two estimates  
48 of the landings, one from DNER and one from MER. So, I think we

1 ought to use that information as we'd use other sources of  
2 information. the systematic underreporting that's why there's an  
3 expansion factor, right? That's why there's a correction factor.  
4 It's recognized by, by DNER that there's underreporting, and that's  
5 why they developed this expansion factor.

6  
7 **WALTER KEITHLY:** Well, if I'm not mistaken, that was included in  
8 my question. I think Nancie was inferring - and again, correct me  
9 if I'm wrong - that they were underreported even after using the  
10 expansion factor.

11  
12 **NANCIE CUMMINGS:** It was the former. Nancie Cummings, Southeast  
13 Fisheries Science Center. The underreporting was before the  
14 expansion-

15  
16 **WALTER KEITHLY:** Okay. Okay. Thank you.

17  
18 **NANCIE CUMMINGS:** I haven't seen the data. So, I really haven't-  
19 I think there might be some other members- not members-  
20 participants on the calls that are very much more familiar with  
21 the state of it. I'm concerned that we- I was part of a stock  
22 assessment. I think Todd might have been there. I don't recall. It  
23 was- we did three stocks and a couple- somebody just came in off  
24 the street almost with a set of new landings data. It was in Saint  
25 Thomas, and it was lobster. And so, all of us could come up with  
26 our own set of data, and we could ask as a member of the public to  
27 consider that. So, I guess- I think the information should be  
28 vetted because all of our other data inputs are vetted through a  
29 review process before we go out to spend a lot of time. Just my  
30 feeling.

31  
32 I have an idea that I want to put forth later for getting some  
33 bounds on the certainty. I love Erik's approach by the way, but it  
34 would take a lot of time, I think, to do it correctly. And I think  
35 Shannon has echoed that. But- and I- because I think that's a very  
36 sensible way of characterizing uncertainty. Catch would be one of  
37 those, and obviously some of the other variables. And I have an  
38 idea how to get maybe a bound on that but that's not- also not  
39 part of this.

40  
41 **RICHARD APPELDOORN:** Reni, are you going to change the subject?  
42 Because I know Todd wants to respond to it.

43  
44 **JORGE R. GARCÍA-SAIS:** I just want to make you know, some  
45 clarification here because we're talking about uncertainty of  
46 fisheries in the U.S. Caribbean. And I think that we should start  
47 by partitioning a little bit that, that generalization. I don't  
48 think that the uncertainties in the Saint Thomas fisheries is the

1 same as Puerto Rico, for example. I think that there's a great  
2 deal of variation between islands regarding the uncertainty of the  
3 fishery data. And the nature of the uncertainty perhaps comes from  
4 a different, perhaps- we have more, in Puerto Rico, more  
5 information, less uncertainty regarding the species composition of  
6 the catch than U.S. Virgin Islands that have perhaps a more  
7 reporting precision but perhaps in the past less species  
8 information. Nowadays they are catching up. You know, they've  
9 caught up with the new reporting forms, and perhaps the nature of  
10 the uncertainty is less in the V.I. since they don't even have an  
11 expansion factor. So, in Puerto Rico, the scenario is completely  
12 different, you know, from my perspective. Maybe I'm wrong. But  
13 from my perspective, the scenario of this variability concept, of  
14 the uncertainty concept, is completely different. You know, we  
15 have huge recreational input into this fishery which by itself  
16 carries on a lot of uncertainty because of the lack of reporting.  
17 And the commercial sector also has had its timely gaps of reporting  
18 which have also increased the uncertainty.

19  
20 Essentially, what we try to do- I was not here, you know, in the  
21 physical meeting when it happened. But apparently, the first  
22 attempt for the Puerto Rico fishery to minimize the uncertainty  
23 was to build that expansion factor and build it on into the catches  
24 so that, you know, we knew we was underreporting by some  
25 percentage. So, we tried- we made an attempt to minimize that  
26 uncertainty by introducing that expansion factor. And perhaps,  
27 when we attempted to do that, it was not 15%. It was not 20. It  
28 was 100. It was huge. And now we're dealing with a monster, you  
29 know? With a monster of uncertainty. It's not a few percent, you  
30 know? It's not a 5%. It's not something that you can trim down by  
31 adjusting a model to it, you know? It's something huge which it  
32 doesn't make any sense for me to try to model- you know, try to  
33 see how the interactions of our model can minimize the uncertainty  
34 because you're starting with such a big error that it's very  
35 difficult to control, you know, mathematically.

36  
37 I was very, very amused and very interested in the concept that  
38 Todd brought yesterday in saying that there is variability between  
39 species in terms of the uncertainty. And perhaps, we can use that  
40 to start by saying- it's like starting with a budget 0, you know?  
41 Start with a catch, with a real catch- with what we know is true.  
42 You know? We know there's pounds there. You know? And then see  
43 through some other exercise what species are better predicted by  
44 the actual catch. And then the others that are not readily  
45 predicted by the catch that need an expansion factor we try to  
46 readjust the expansion factor to the reality of the problems of  
47 reporting for that particular species. That's the only way I see  
48 it, you know? But, you know, I just want to make the first- I know

1 it's very difficult, you know? Very difficult to actually figure  
2 out, you know, what the uncertainties in the reporting cause by  
3 the lack of reporting or the underreporting or the overreporting  
4 are. But I just wanted to, more than anything else, to establish  
5 that there are difference between islands, and we should take that  
6 into consideration before we talk about U.S. Caribbean fisheries'  
7 uncertainties.

8  
9 **RICHARD APPELDOORN:** Well, right now we're talking about Puerto  
10 Rico. Todd?

11  
12 **TODD GEDAMKE:** A couple things. one, I would prefer if NOAA  
13 referred to this report as the NOAA report or the port sampling  
14 report. It is- you contracted me to do the report. It is your work.  
15 You've had the work for two and a half years at this point, and  
16 I'm- you know, someone said that all data inputs are CIE reviewed.  
17 Has the expansion factor been CIE reviewed? Has the main thing  
18 that does all of the data in Puerto Rico- have those been CIE  
19 reviewed? Have the other ones? No. This is- and I don't know how  
20 that works or why you're taking this stance, but this information-  
21 Nancie had all this information to come here today and do this  
22 work. She didn't have it because she wasn't given it. So, somewhere  
23 in there, you know, it took one year for them to even receive it.  
24 So, we're now at a point where I would love for you to stop doing  
25 the MER, like, putting that on someone else. That would be great.  
26 and I- you know, this is another one that if we're here doing this  
27 now, why don't we have all the available information? We had Queen  
28 Trigger spatial patterns in places. We have species composition  
29 breakdowns. This is so- but I'm not- let's not go there but, but  
30 I would appreciate that.

31  
32 Reni, you made a comment about big error and, you know, I hope  
33 Erik and others recognize that I understand the power of an  
34 integrated assessment. I mean, the power of that is going to be  
35 fantastic. I do not like the idea that is being proposed in some  
36 way, that is being trinkled around of the- that we can put up what  
37 is essentially a phony assessment because we're just making  
38 something up to use as year 0 on this. We can't- I mean, if that's  
39 what we all want to do off mic and go, "Yeah, let's just put  
40 something up and get this done so that we can all move on and plug  
41 and chug from there," then great. But I don't think that what we're  
42 doing is our base-case scenario here.

43  
44 So with the big error on this, we have a lot of noise in this data.  
45 And you can do the MC chain on this. You can run Monte Carlo on  
46 the whole thing and profile it. It does not ex- these are not- you  
47 know, every one of those scenarios is equally as valid as the other  
48 one. These are alternate states of reality. And if you look at the

1 uncertainty on this, we're not talking about uncertainty that's  
2 going to go one tiny little bit. You're talking about uncertainty  
3 that's going to be double, 2 and a half, and 50 percent below.  
4 That does not negate there being underlying trends in the data.  
5 That does not negate full declines in the data. And when you  
6 profile that MCMC, what are you going to get out of it? You're  
7 going to get a normal distribution that shows a flat thing which  
8 is going to just scale the catch recommendation. So, Shannon's  
9 been saying, "It's not going to change anything. It's not going to  
10 change anything. It's not going to change anything." Well, that's  
11 if you say the data all go just up and down in the same direction.  
12 But the fact is that we don't believe that. We know that that's  
13 not the case. You look at the beginning of the '80s in there. Where  
14 is that going to go? But you literally- if you look at that time  
15 series and you imagine those error bars that Nancie showed on some  
16 of the CPUE, you take those error bars that are half of the screen  
17 long and you say, "I'm going to model that in there." And you're  
18 going to tell me that it's just going to scale the catch  
19 recommendation? Because if you profile that, you know what you're  
20 going to get. You're going to get the most- you're going to get a  
21 series of results that you can't treat as a distribution of  
22 uncertainty. These are alternate realities. They are alternate  
23 scenarios in it. So, the fact you're going to come out with  
24 something that yeah, all it's going to do is scale it. But that  
25 does not exclude the possibility of there being trends that are  
26 underlying that we're missing.

27

28 **RICHARD APPELDOORN:** Is someone on the line?

29

30 **LIAJAY RIVERA GARCÍA:** Yes, you have a raised hand from Erik  
31 Williams.

32

33 **RICHARD APPELDOORN:** Erik?

34

35 **ERIK H. WILLIAMS:** Yeah, this is Erik again. Thanks for those  
36 comments, Todd. But I think you're a little off base in the sense  
37 that the way the integrated assessment can work with the  
38 uncertainties is we can include not just scale but time- changes  
39 in time trends. We can include correlation among the uncertainty  
40 that feeds into it. I think what everybody's missing is we've  
41 talked about, you know, just- I'm amazed at just even the  
42 conversation that occurs over the uncertainty in L infinity and K  
43 in the growth curve. Well, guess what? The integrated assessment  
44 puts all of that into one package. We put all of the uncertainty  
45 into it, and it allows us to be very explicit about all these  
46 uncertainties we're talking about and actually put them into the  
47 model. And it will spit out something. This is where I think Todd  
48 might be stretching it a little in predicting the outcome. I've

1 been doing assessments for 20-some odd years, and I still don't  
2 try to predict outcomes on assessments because I've been burnt too  
3 many times on that. We don't know what we're going to get. And but  
4 I think it's a tool worth using. The other thing that will- that  
5 this tool provides, which I think goes underappreciated, is it  
6 gives us a construct to look at and understand where we get the  
7 biggest bang for the buck in trying to improve our knowledge about  
8 certain things. You know, is it worth spending a lot of money to  
9 get a better growth curve estimate? Is it worth spending a lot of  
10 money to narrow down these landings? Where is the biggest bang for  
11 the buck? Well, this modeling construct can really help us answer  
12 those questions. So, anyways, just wanted to add that.

13

14 **RICHARD APPELDOORN:** JJ?

15

16 **JUAN J. CRUZ MOTTA:** Yeah. You still right that- what I like about  
17 that approach is that it allows, whatever times 0 is, it allows to  
18 propose a specific hypothesis of what we expect to, to see in the  
19 future, right? However, what I have is a question for the experts  
20 on this. And it's the following. Let's suppose we go with the  
21 phony, assessment. Like, we are out of the charts. We're saying,  
22 "Okay, we can catch millions," and we cannot. The question is,  
23 using these indices approach, can we detect that within a year and  
24 then correct our predictions? Or- Thank you.

25

26 I can answer that.

27

28 **JUAN J. CRUZ MOTTA:** Okay. Yeah. Any expert.

29

30 **TODD GEDAMKE:** Shannon, please tap me if I- This is Todd here.  
31 Shannon, tap me and correct me and chime in on this one. But I  
32 think the question here is if you come up with an assessment and  
33 you start tracking indices, how soon can you validate the results  
34 of the assessment? The big problem with indices here is a lack of,  
35 of any sort of contrast to it. So, in these fisheries, you're going  
36 to have a very, very difficult time with using CPUE to get you  
37 back at the underlying MSY. You can use it to guide the models,  
38 but you're going to have a very difficult time without massive  
39 changes in the fishery- or significant changes in the fishery. So,  
40 you're using it as an adaptive, which by the way, Shannon, and I  
41 hope- and no one in here misinterprets the fact that I have been  
42 promoting exactly what Shannon is saying for the start of my career  
43 here, for 15 years. And I think that getting to where Shannon wants  
44 to go and getting to where Erik wants to go and getting wherever  
45 the Center wants to go is where we need to be. And I don't want  
46 anyone to misinterpret my comments in that in any way, shape, or  
47 form. I just can't- it's hard to find myself on both sides of this  
48 argument at different points in time.

1  
2 So, you're- initially, it's not going to be a year. You're going  
3 to have a base in there. You're going to be looking at many years.  
4 I mean and the assurance that you're going to get an assessment  
5 out of it is going to rely on better data as you move forward. So,  
6 you can use the indices. You can use mean length as super easy  
7 indicators that can be collected by a small number of people to  
8 guide your catch recommendation for the following year. It doesn't  
9 change the needs for an assessment.

10  
11 So, as you move forward, we're going to have the same questions in  
12 terms of landings, removals, and you're going to need a time series  
13 of information. So, when you look at indices, you're looking at a  
14 clean set of indices. You're looking at many years for, that index  
15 to be informative for MSY. And it generally takes a contrast, a  
16 change, a drop, a fish- you know, it's a one-way trip.

17  
18 **JUAN J. CRUZ MOTTA:** But in the meantime, can you detect, like,  
19 something is really wrong, like, unless- and then you Trigger  
20 whatever major assessment?

21  
22 **TODD GEDAMKE:** So JJ, what we're talking about right now and what  
23 you're asking about is exactly where all of us landed on this. And  
24 whatever disconnect that I'm having with the Center right now on  
25 these things, our objective is totally, entirely the same. And  
26 it's to get to that exact scenario. Whereas you've got basically-  
27 but there's the legal end, which I'll just skip on this. Okay?

28  
29 **JUAN J. CRUZ MOTTA:** Yes, yes, yes, yes.

30  
31 **TODD GEDAMKE:** But you have the other end which, you know, if I  
32 were king on this, you'd basically go in and say, "Okay, we're  
33 going to start with length metrics. We're going to go average catch  
34 on it. And we're going to track length, and we're going to track  
35 CPU." So in- we did an adaptive in- I did it in Belize. We did  
36 CPUE, length, previous year's catch, catch rates at the beginning  
37 of the season. We put five indicators in there, and every season,  
38 as it opened, the computer would just run and plug and chug it.  
39 And you'd send someone out and measure and you'd look at all your  
40 indicators. And then we had a decision tree that followed that.  
41 So, you could then look at it and say CPUE is up. Length is up.  
42 And therefore, CPUE is going up. You're catching more. Your size  
43 is going up. That's real- those are both good indicators.

44  
45 Okay? But the decision tree also can recognize the fact that you  
46 have CPUE going up and length going down. And that's just basic  
47 data [instants?]. Those conflict. There are conflicting signals.  
48 What do you do with that? The decision tree can then go from there

1 and say, "You have a conflicting signal in CPUE and length going  
2 down." For those that deal with length all the time, that's a  
3 possibly a recruitment pulse. So, you'd say, "Okay, we have to go  
4 get some other information to find out whether the mean length  
5 going down is a recruitment pulse or not." If you can't get the  
6 information, you can apply the precautionary principle and say,  
7 "You know what? We're going to sit where we are and look for two  
8 years worth of index." So, I think that every single person in  
9 this room would love for us to get to that point right there. It  
10 is figuring out ways of getting from here to there that are-  
11 they're going to form our base on this. And if we got the- I mean,  
12 the memo for NS1- if that alternate does come in in there, they're  
13 going to be allowed some more flexibility. But we're still trying  
14 to fit into the old package and the old legal guidance from NS1.  
15 Fair?

16  
17 **SHANNON CASS-CALAY:** Yes, that is completely fair because having  
18 just participated in the redrafting of NS1, it's still based very  
19 strictly on Magnuson because Magnuson has not changed. It has not  
20 changed. And so, there is recognition of the need for additional  
21 flexibility. But the Magnuson law has not changed.

22  
23 I do agree with Todd that largely we are trying to go in the same  
24 direction. I mean, what we're largely trying to do is establish  
25 some kind of defensible base line based on the best scientific  
26 information available to us at this moment. And then, we are very  
27 much interested in using adaptive approaches to introduce changes  
28 to the management based on observations on the water. And you know,  
29 some of the lingo of that is empirical harvest control rules or  
30 decision trees like Todd just said, where, you know, maybe the SSC  
31 and the Science Center or the Council, basically, establish a  
32 procedure to adjust the annual catch recommendations based on  
33 increases in indices, changes in mean length, etcetera, etcetera.  
34 But you must have some kind of a simulation framework in there to  
35 test that is consistent with Magnuson basically that it's not  
36 likely to cause overfishing and it has the potential to rebuild an  
37 overfished stock. And that's where the stock assessment or a  
38 simulation that shares the characteristics of a stock assessment  
39 comes in very handy is in demonstrating to the lawyers that we are  
40 doing our due diligence to meet the law.

41  
42 **RICHARD APPELDOORN:** My understanding of the debate here is not  
43 putting what you just said into question at all. It's whether the  
44 approach to do that, given the uncertainties in the data, I guess  
45 using this kind of Monte Carlo bootstrapping approach, is a valid  
46 first step to get there or not. Or we just so, um- I mean, is the  
47 data just so poor that we cannot identify, as Vance was saying,  
48 what the potential problems are, list those out, and that start

1 trying to look at what the, the bounds on those might be. And can  
2 we then go into this kind of Monte Carlo approach? Or, you know,  
3 are we really stuck? And you know, I don't have the expertise and  
4 the models to say one way or the, the other. We have, we do have  
5 people on the committee, Erik, Jason, Todd who are familiar with  
6 these models, who are- some of whom are very familiar with the  
7 data. Others perhaps less so. But we need, at some point either a  
8 way to go forward or a determination that there isn't a way to go  
9 forward. So, with that we have who online?

10  
11 **LIAJAY RIVERA GARCÍA:** Yes, you have Doug Gregory with a raised  
12 hand.

13  
14 **RICHARD APPELDOORN:** All right, Doug?

15  
16 **DOUGLAS GREGORY:** Thank you. This is Doug Gregory. I'm shocked at  
17 some of this language, and particularly, calling something phony.  
18 The first stock assessments were done 38 years ago in 1984. We- in  
19 the U.S. the only trip ticket information we had was with the  
20 shrimp fishery. We had nothing for swordfish, very little for  
21 swordfish, nothing for the reef fish, and we did the best we could-  
22 the Center did the best they could doing the models and I and  
23 others reviewing them, to put management on a solid scientific  
24 footing. Back then, we didn't even have fishery dependent indices,  
25 much less fishery independent indices. And so, it's been made every  
26 step of the way. So, we don't throw out this assessment or throw  
27 out the catches that have even been adjusted because of a known  
28 understatement. We do- I like Erik's recommendations. But we need  
29 to go forward and quit throwing bombs in the middle of this stock  
30 assessment. Thank you. I'm highly insulted by this so far.

31  
32 **RICHARD APPELDOORN:** Yes, Todd?

33  
34 **TODD GEDAMKE:** Doug, I apologize for insulting. I didn't mean to  
35 use the word phony, but I also would just like to point out in  
36 1984, we didn't have Magnuson nor the legal requirements to meet  
37 up with this in 1984 when, when we were working on some other  
38 things that it was a different ballgame. I think we have a legal  
39 requirement now, and the other aspect of this is that in 1984, you  
40 didn't have 15 years worth of record of people making statements  
41 about the same data inputs, so. I feel that there were reasons why  
42 almost every member of this committee and other people made these  
43 decisions previously. And I don't feel like we- you know, that  
44 much has changed. I will say that I think that I will not comment  
45 on the rest of this discussion and let the SSC take it from here.  
46 And I think that everyone's opinion on this issue has already been  
47 on the record numerous times. So, I'll step back and let you guys  
48 do it.

1  
2 **RICHARD APPELDOORN:** I don't think you get off that easy. um-  
3  
4 **TODD GEDAMKE:** We're fighting again.  
5  
6 **RICHARD APPELDOORN:** Yeah. I understand this. Um-  
7  
8 **TODD GEDAMKE:** So many times.  
9  
10 **RICHARD APPELDOORN:** No, no. I- you know, we have what I would say  
11 is a general recommendation of how to go to this using this kind  
12 of Monte Carlo, whatever, approach. And it's not going to be easy  
13 because we're going to have to discuss about what we think are the  
14 issues that can then be somehow incorporated into that that  
15 approach. And so, I guess my question to you, Todd, is do we have  
16 an alternative? And, you know, within the legal framework? And I  
17 hate to put it that way, but that's the framework we're stuck with.  
18 Is this either that approach or we go home? Or is there something  
19 else you can think of that would help?  
20  
21 **TODD GEDAMKE:** The argument hasn't changed. And, I understand that,  
22 you know, we have this great desire to- but we have a square peg  
23 in a round hole here. We have a biomass-based requirement, and we  
24 don't know biomass. We don't know removals. So, we can do these-  
25 I mean, we looked at simulation models. We looked at this exact-  
26 we did a recreation of landings. We analyzed- I mean, I just don't-  
27 so the- it's the idea of, is there nothing to do? Well, you're  
28 asking, "What do we do?" Do we take this set of information that  
29 has been questioned hardcore, and I have- I was on the exact  
30 opposite end of this if you remember correctly. I was the one  
31 saying, "We have to do something. We have to use this data." This  
32 is where I sat on this argument 12 years ago, and I fought and  
33 fought and fought. And I'm not comfortable arguing against this  
34 right now, but this is what the record has built from this  
35 committee is that- So moving forward here, you have two choices.  
36 You can go with- let me figure out a good word. And you can go  
37 with a- as what you suggest, a very complex, very complex model in  
38 a data-limited situation. And when we come up with the results of  
39 this, I mean you're moving forward options are to give them a  
40 charge of exploring, of coming back and saying, "Here's what you're  
41 going to do with- here's what we go with this." And that might be  
42 an easy way to do it is say, "Let's take a look at the landings."  
43  
44 You know, we also have to- or, yeah. We basically come to the same  
45 decision that three years worth of meetings did in 2008 to 2011  
46 that said- I'm not even going to repeat it. You know what we  
47 concluded. You know what's on the record in there. So, the question  
48 is, how do you- you know, I don't know what to do. I think that

1 we're at the same situation we've been in before. And we all said,  
2 "Okay. Let's figure out another way of looking at this. Let's come  
3 up with an alternate meth- a way and use a scaler." And I don't-  
4 I wasn't comfortable with it then. I'm not comfortable with it  
5 now. But I don't think hand-waving in front of some of it to make  
6 it feel better is doing a whole lot. And moving over to, you know,  
7 where this is a model that they want to go into and use as the  
8 ability to go to the Virgin Islands. We don't have a correction  
9 factor in the Virgin Islands, so get ready for that discussion. If  
10 you don't have a correction factor on it, you've got 75% drop that  
11 is due solely to the fact that it's been in reporting- how should  
12 I phrase that? There's been a drop. There's been a change in  
13 reporting. So, and we don't have a way of correcting that.

14  
15 So, my question is, you know- that's why I wanted to step out  
16 because I've already argued these things for many years. And I  
17 think that the option now is to let them go with the catch and see  
18 if, you know, if they can maybe review. A CIE review. We've got  
19 money. Does it need to be reviewed? Just how are we going to deal  
20 with this information and move forward, or are we not? So, I  
21 babbled a lot there. I don't have a good way forward. And no one  
22 has had a good way forward. So, I'm wondering now what, you know,  
23 what do we do? That's why I wanted to- I'll let you guys-

24  
25 **RICHARD APPELDOORN:** Okay, but that's what I wanted to hear. I  
26 think we have someone. Erik?

27  
28 **LIAJAY RIVERA GARCÍA:** So, we have a turn to speak for Erik  
29 Williams, and we also have a comment from Virginia Shervette in  
30 that order.

31  
32 **RICHARD APPELDOORN:** Okay, and then Shannon. Go ahead, Erik.

33  
34 **ERIK H. WILLIAMS:** Okay, you know, this is Erik. Thanks everybody.  
35 Yeah, Todd, I hear what you're saying and don't get discouraged.  
36 I mean, your opinion here matters just like everybody else's. And,  
37 and I understand- I think what we're worried about here is we're-  
38 this, this SS model construct or integrated assessment model  
39 construct is we're not bought into it yet. I don't- at least, I  
40 haven't heard back yet. I mean, this is- it needs some work and  
41 I'd like to see the work go forward. The problem is the amount of  
42 work it needs is substantial. So, this is going to be an investment  
43 on the Center's behalf on this, and we don't know if it's going to  
44 work. But I would say that this integrated analysis assessment is  
45 much like any simulation analysis you would have underpinning sort  
46 of an approach that Todd was talking about, like an indicator  
47 approach where you have a lot of metrics that are coming in and  
48 you make adjustments based on whether those things go up or down.

1 But in order to know how much to adjust, you have to have some  
2 underlying simulation model that tells you what your hypothesized  
3 population dynamic response is that would lead to those ups or  
4 downs of various metrics.

5  
6 So anyways, they're both valid approaches. But I think that this  
7 integrated assessment is the state of the art. It is complex. But  
8 it can boil down to some very simple- it can use simple data. What  
9 I'd say is, I don't think the SSC has anything to lose to go  
10 forward with this and try to get this model to a point where we  
11 can then just say, "Okay, it's useful or it's not." I mean, it  
12 may- it may very well come out that if we put realistic  
13 uncertainties into this model, we get garbage out of it. And it's  
14 just not going to be useful for managers. I'm not taking that  
15 option off the table in any way, shape or form. That could be the  
16 outcome of this. So, anyways, just wanted to add that.

17  
18 **RICHARD APPELDOORN:** Thank you, Erik. Virginia?

19  
20 **LIAJAY RIVERA GARCÍA:** Yes, she made a comment in the chat. It  
21 says, "Shannon made a great recommendation of sorts yesterday,  
22 that it may be useful to have the SSC involved in the data-scoping  
23 process of these assessments. I know for life history SSC members  
24 were invited to participate. But Shannon's idea was great too, to  
25 have a review of data, meeting especially with the SSC prior to  
26 moving forward with running assessment models."

27  
28 **RICHARD APPELDOORN:** Shannon.

29  
30 **SHANNON CASS-CALAY:** In all hone- I was responding when I raised  
31 my hand to a comment from Todd. And I think there have been a  
32 number of steps that we have participated in, the Center and the  
33 SSC, since SEDAR 46, the data-limited assessments. And primarily,  
34 they were in building the control rule and the SEDAR 57 stock  
35 assessment of Spiny Lobster, which shared a number of the same  
36 data concerns, right? And in fact, that assessment lacked indices  
37 of abundance entirely. And so, you know, from our impression, you  
38 know, there are a number of substantial improvements that have  
39 been made since SEDAR 57, you know, to develop indices of  
40 abundance, to get much better life history information from  
41 Virginia. And, you know, there are always ways that we can continue  
42 to advance the model. It is- we can continue to improve this model.  
43 Some of them have been suggested here. But, you know, it is- I'm  
44 not trying to by any means say that we are fully confident in the  
45 catch series. But we're not fully confident in the series of  
46 removals for any stock assessment that we do in all honesty. And  
47 what the trick then is to try to develop a management system that  
48 you think is relatively robust to those important uncertainties.

1  
2 And, you know, that's one reason why when the stock assessment- if  
3 we are able to produce the stock assessment and it is complete, we  
4 would continue to monitor the behavior of the population with  
5 indices to determine whether those observations on the water are  
6 consistent with the understanding that we received from the stock  
7 assessment. So, for example, you know, if we tell you that you  
8 should be able to catch 50,000 pounds of Queen Triggerfish and you  
9 catch 50,000 pounds of Queen Triggerfish and the indices are  
10 continuing to increase, that would suggest that you can catch more  
11 Queen Triggerfish than that, because the indices are suggesting  
12 that the stock has continued to increase. So, in that sense, these  
13 adaptive approaches, although they cannot verify in a short time  
14 series that your MSY estimate is correct, what it can do is say,  
15 in the short-term, "It looks like it's not correct, and so we need  
16 to adjust."

17  
18 Right. So, I did want to point out that, you know, we do have a  
19 successful assessment using an SS methodology. And that's the three  
20 assessments of Spiny Lobster. Which did undergo a CIE review as  
21 well as an SSC review. And many of the same data uncertainties  
22 were acknowledged at that time. And it was not considered an  
23 impediment to using the results to try to manage the stock. And in  
24 fact, we are updating that assessment in November of this year.

25  
26 **JORGE R. GARCÍA-SAIS:** Yeah, I sort of agree with the proposal of  
27 comprehensive review of the data before we proceed with any final  
28 decision regarding how to look at the data. But I will also pretty  
29 much like to see a comprehensive review of the expansion factor  
30 because, I mean, if- like Shannon was saying, okay, if you can  
31 catch- say that you can catch 50,000 pounds of Queen Triggerfish  
32 and you catch 50,000 pounds of Queen Triggerfish. At the end, are  
33 those 50,000 pounds real? Or are they based on the expansion  
34 factor? And then, okay, so it's with the expansion factor. So how  
35 real is that? I mean, is it a phony number? I mean based on what?  
36 I mean, here, as long as I've been here, we've never had a real  
37 discussion, an evaluation, and less, and even a validation of that  
38 expansion factors. And I keep on nailing on this because the thing  
39 is that it's not a small thing. It's a huge thing. It drives our  
40 numbers. I mean, it drives our numbers. It's not a matter of 5%  
41 adjustment. We're sometimes talking about 100% of the data.

42  
43 So, I mean, any kind of conclusion based on what we have brought  
44 up a figure of landing based on an expansion factor, for me, it's  
45 a huge uncertainty. And that's where we stand right now. So, I do  
46 believe I, you know, in order to proceed with this, I think we  
47 need a comprehensive review of the data and a comprehensive review  
48 and validation of the expansion factor for Puerto Rico.

1  
2 **RICHARD APPELDOORN:** Okay, I'll make a comment and then over to  
3 Shannon. You know, back in ancient times when this current  
4 expansion factor was developed and then subsequently modified, it  
5 was all done in collaboration with Steve Turner's group at the  
6 Center. And, you know, it was a statistically valid way of  
7 approaching the issue. The problem you're really talking about is  
8 that the results of that showed that they're missing a heck of a  
9 lot of the catch. You know, that's a whole different issue. But  
10 you're right. When you expand by something that's a high number,  
11 you are expanding any kind of errors you have in that way as well.  
12 The expansion factor was designed for total, island-wide biomass  
13 catch. It was not designed for individual species, and that's where  
14 the real uncertainty is coming in because we know from the  
15 behaviors of different sectors that they're all not behaving the  
16 same in terms of reporting. There have been issues. I mean, there  
17 were tax issues. There were protests. There were *Diadema* die-offs.  
18 There are all kinds of things that are happening both in the socio-  
19 legal context of the fishery and economic content and the  
20 biological systems that make some species behave differently than  
21 others. So yeah, it's a problem. But the expansion factor  
22 calculation was set up I think in an appropriate way. The problem  
23 is that hasn't been looked at in, oh, I don't know, 30, 25 years?  
24 Something like that? And so, you know, it could be up for review.  
25 If we want to go that way. So, Shannon.

26  
27 **SHANNON CASS-CALAY:** So, Nancie reminds me that there was a SEDAR  
28 procedural workshop in 2009 to address calibration factors. But,  
29 you know, obviously, that was some time ago. And there may be new  
30 information available. In fact, there is because the NOAA report.  
31 [laughter] You know? Does it- so it may well be that it's time to  
32 suggest another procedural workshop to review the catch and make  
33 better estimates. However, I will warn you that those procedural  
34 workshops take time to put on the calendar. And so, there are  
35 assessments that are on the calendar now that would benefit from  
36 that information. But there could be a timing issue with some of  
37 those stock assessments. So, I strongly do recommend honestly,  
38 that we continue to try to improve these estimates. And if a  
39 procedural workshop is helpful, I certainly am very happy to  
40 recommend it.

41  
42 **RICHARD APPELDOORN:** JJ.

43  
44 **JUAN J. CRUZ MOTTA:** Thank you. JJ here. A question for the Science  
45 Center. How do you intend to use the core sampling NOAA report?

46  
47 **KEVIN MCCARTHY:** Well, one of the things-

48

1 **GRACIELA GARCÍA-MOLINER:** Name, please.  
2  
3 **KEVIN MCCARTHY:** Sorry, Kevin speaking. So, one of the things that  
4 was being talked about that wasn't a full-on recommendation but  
5 one of the things that was talked about was to use those data to  
6 inform a, you know, we were using the term sensitivity yesterday.  
7 But we call it what you will. an alternate landing series. We  
8 hadn't worked out the details of that, right? But it was going to  
9 be the basis for another landing series adjusting as necessary.  
10 We'd have to figure out how to do it because we've got the 17  
11 months that coincide. But then how do we project that back in time  
12 it's stuff to work out. So that's one way to use it. In the broader  
13 sense, right, we can look at- and in the report a lot of this has  
14 already been done, looking at various species and how does that  
15 compare to the Puerto Rico landing series as we have it. How does  
16 the port sampling compare? And some match up pretty well, and some  
17 match up when they're, you know. So, there's a variety. It's the  
18 species difference thing that we're all talking about. So, we would  
19 use it in that sense as well. But for this assessment, you know,  
20 we could have another proposed landing series based on, you know,  
21 that 17 months of data and however we figure out how to project it  
22 back in time. That's one way to use it.  
23  
24 **RICHARD APPELDOORN:** Please tell me you're thinking of the ultimate  
25 goal is to completely revamp how Puerto Rico is collecting their  
26 data based on the statistics of the sampling design that were used  
27 here and the technology and methodology so that we're not talking  
28 about using this as a one-shot deal. But that based on this, we  
29 will have a much, much improved sampling program instituted in  
30 Puerto Rico.  
31  
32 **KEVIN MCCARTHY:** That is exactly the reason for having the work  
33 done. But in using it for right now.  
34  
35 **JUAN J. CRUZ MOTTA:** Thank you.  
36  
37 **TODD GEDAMKE:** Can it be used before the CIE report is done?  
38  
39 **KEVIN MCCARTHY:** If this SSC wants to do that, it absolutely can.  
40 This is Kevin.  
41  
42 **RICHARD APPELDOORN:** Was there another comment over here? I-  
43  
44 **NANCIE CUMMINGS:** I had my hand up once.  
45  
46 **RICHARD APPELDOORN:** Nancie?  
47

1 **NANCIE CUMMINGS:** Thank you. Nancie Cummings. I've had my hand up  
2 a couple times, and I keep lowering it. I just want to remind the  
3 group that in your repository of documents for this meeting, you  
4 have a copy of the review of the expansion factor, at least that  
5 was done in SEDAR procedures 3. It's R something- reference paper  
6 11, I think it is. But it's the Cummings, Matos-Caraballo. And  
7 just if you look at that paper, you'll see that there was work  
8 done for the U.S. Virgin Islands as well. We never came to an  
9 agreement for the U.S. Virgin Islands. So, I would hope that if  
10 there was an update, that that work wouldn't be lost and that could  
11 be incorporated into. There was a lot of controversy, and there  
12 was a lot of work done on the U.S. Virgin Islands expansion factor.  
13 Thank you.

14  
15 **RICHARD APPELDOORN:** Yeah, I'm sorry-

16  
17 **GRACIELA GARCÍA-MOLINER:** My apologies, but we're trying to- we're  
18 tracking the recording because we've been having problems with it.  
19 So, we're making sure that everyone states your name, you know,  
20 speak close to the microphone because the person who transcribes  
21 this has a hard time when, you know, the volume it's reduced,  
22 etcetera. So I apologize for that, but we're tracking the recording  
23 over there.

24  
25 **RICHARD APPELDOORN:** Oh, okay. It's your hand signals, they were  
26 not clear. Todd?

27  
28 **TODD GEDAMKE:** Just a comment on the procedural workshop. I- that  
29 procedural workshop, Nancie, you're right. That was done. It'll  
30 take a look at the expansion factors. There's also the data  
31 improvement project, and I would hope that the Center would really  
32 look back at those before we recommend redoing it. Read it and  
33 process it and tell us whether there's anything new because with  
34 the expansion factors there's nothing new. There's nothing new to  
35 look at. And we beat our head against the wall for that forever.  
36 And I could be wrong on- but I don't think anything different has  
37 been done on that. So, you know, the procedural workshop and the  
38 data evaluation workshop, the part of the ACLG and the procedural-  
39 all three of those I feel like we've lost track of those. And  
40 there's a lot of work that was done at that time. Kevin and Nancie  
41 were on both of those, all of those and, you know, I think that,  
42 that is our basis. Rather than restart everything now, we've got  
43 most of this work already done.

44  
45 **RICHARD APPELDOORN:** Okay, Nancie?

46  
47 **NANCIE CUMMINGS:** Thank you. Nancie Cummings again. There's part-  
48 most of that was true, but the species work was not done at that

1 time. And there was, you know- there was this- in terms of the  
2 port sampling project on the- not the port sampling project but  
3 the correction factor survey that Daniel has led for many years,  
4 it should have extended to species. But I think there were  
5 implementation issues. So that part has not been done.

6

7 **RICHARD APPELDOORN:** Todd?

8

9 **TODD GEDAMKE:** And just another one for the notes too is I know  
10 you're talking about a data triage. But that was also done at that  
11 time. And that can be updated. But I know you're- because that  
12 goes through the species and samples and which species might be  
13 most likely to be able to conduct an assessment. A lot of the same  
14 language that we're talking about now too. So that's another I  
15 want to make sure that is put back on the table for folks.

16

17 **RICHARD APPELDOORN:** I'm hesitant to summarize because of the way  
18 the committee operates is it'll just go with that. And, it's not  
19 my intention to say this is the way forward. But I'll put it out.  
20 You know, legally we're stuck. And given that, I think the approach  
21 that Erik had introduced, as a way forward is perhaps the only  
22 thing we can look at, especially in light of his comment that  
23 something useless might be the actual result of this. And if that's  
24 the case, that's a very good indicator of where we are because  
25 then that would be saying the uncertainties are so great that you  
26 know, that's it. But hopefully that would not be the case and we  
27 won't know, as he says, until we actually run something because,  
28 as he said, trying to predict the outcomes is a losing proposition.

29

30 So it sounds like that is perhaps the way to go. And so, it's up  
31 to the committee whether they kind of agree with that sense of  
32 what the discussion has been moving forward to. And then it would  
33 be if I understand this correctly trying to characterize in some  
34 kind of quantitative sense the nature and extent of the kinds of  
35 variabilities in catch that we would like to see incorporated in  
36 the Monte Carlo analysis. And that might get over to Vance's  
37 suggestion of let's just itemize what the sources- potential  
38 sources of variability might be. And then we can talk about what  
39 the magnitudes of those might have been and then, you know, see  
40 what happens. We have a whole list of things that were in this  
41 document that's on the screen. But if we don't get past this issue  
42 of how to treat the landings data within a framework or to not  
43 deal with it all, then we're not really going to go anywhere. So,  
44 I'd like to hear back from the committee on that. So, Todd?

45

46 **TODD GEDAMKE:** I agree. I think at this point doing at least the  
47 next- letting them proceed with the plan sounds- let them at least  
48 put that up. But I think that I would also put out there a review

1 from the Center and on the landings data. Kevin is the expert.  
2 There's no one that knows more about the expansion factor than  
3 Kevin and Nancie. They are the ones that know it better than anyone  
4 else, and they should be the ones to basically make a white paper  
5 quantitative so that you can do an analysis on it, take a look at  
6 it, and just give us an opinion from there and run this. Because  
7 the scenarios that are going to come out for that landings that  
8 get fed in are going to be the most- what I think is the most  
9 critical, probably, part of it. So, I'm thinking a landings  
10 evaluation from that and just add that to the beginning. I think  
11 that makes sense.

12  
13 **RICHARD APPELDOORN:** Todd I'm going to ask for clarification  
14 because you've used just the term landings evaluation. In your  
15 mind, since you're putting it forward, what are they looking at?  
16 Or what kinds of questions are being asked in that? Or, you know,  
17 what do you want to see come out of that? So I- we all understand  
18 what you mean by landings evaluation.

19  
20 **TODD GEDAMKE:** Sure. I mean, basically, when you're going into  
21 the, the modeling, you have to say, "Here's your landing series,  
22 and here's your uncertainties on it." And rather than us argue  
23 about all this, let's have the people that work with these data  
24 all the time, to come up with what those scenarios would  
25 potentially be. I mean, that's really our argument is using that  
26 time series as is. So, you know, I think Shannon mentioned we can  
27 use the recent port sampling report and say, "Yeah, for Queen it's  
28 the same. So, let's run report it." That's one scenario. So, it  
29 would kind of be just a two-step process in that the review of the  
30 information that we're questioning or have questioned over the  
31 years and how that would be fed into SS. So, I'm just saying rather  
32 than dive right into it, let's have them address the concern about  
33 the landings time series before we get into actually running those  
34 scenarios.

35  
36 **RICHARD APPELDOORN:** All right. again, point of clarification. Are  
37 we talking strictly in the context of Queen Triggerfish? Or are we  
38 talking something more broadly? So that's the first question.

39  
40 **TODD GEDAMKE:** I mean, I don't know. It's going to be the same  
41 across the board. So, could- for Queen, right? I mean, Queen  
42 Trigger is one. So, I'm talking just Queen Trigger. I mean, it's  
43 for this assessment. Just, just Queen Trigger.

44  
45 **RICHARD APPELDOORN:** Okay. All right. Let's switch again. The  
46 reason I ask is because there's been a couple things that have  
47 been brought up. And one is whether it's the question of what was  
48 happening before 1983 which I think was substantial. There is the

1 question of what was the impact of Diadema die-offs which would be  
2 early in that thing, which would not be affecting, say, other  
3 species. So that's something unique to Queen Trigger. There seems  
4 to be and- or at least an argument was made that there is- while  
5 there's not a directed fishery for Queen Trigger a lot of Queen  
6 Triggers being caught, it did not show up in your top- I forget  
7 what list- top 20 list? Uh, it's in the report. And you have the  
8 graphs there, right? but I don't think it was on the-

9  
10 **TODD GEDAMKE:** Yeah, I'm pretty sure- I'll call it up right now.  
11 But I'm pretty sure it's con- and I don't know the directed fishery  
12 or not. But you know what? I'll guarantee you there's not a  
13 fisherman from Puerto Real that swims past a Queen Trigger.

14  
15 **RICHARD APPELDOORN:** Well, yes. I understand that. And because of  
16 the comments being made that it's not going to the restaurants per  
17 say, but it is going into the empanadilla trade, which is, you  
18 know, is huge in Puerto Rico. And so there's a market for that if  
19 it's being used for that and therefore it becomes an important  
20 species. And I don't know if that's something that has developed  
21 recently. But I'm willing to bet it's something that developed  
22 since 1983. So, there's, you know, possible drivers that have  
23 changed relative to the use of that. But you know, I'm just  
24 throwing these things out. I think historically Queen Trigger's  
25 never been thrown back. So, if they've been catching it, they've  
26 been using it for something. And maybe that's sufficient to say,  
27 "Okay, it's been caught as by-catch throughout," and that's fine.  
28 But I- so anyways, my question is- so I think there's some things  
29 that we need to think about that might be specific to Queen Trigger  
30 in that review that have been brought up at the meeting. So, Todd  
31 and then Shannon.

32  
33 **TODD GEDAMKE:** Queen Snapper is number six on the list for all of  
34 Puerto Rico. Queen Trigger is 10, 7- 10, 7, and 9, depending on  
35 how you categorize it. It is clearly in the top 10.

36  
37 **SHANNON CASS-CALAY:** Yeah, so certainly what Todd suggests is  
38 appropriate. It is a very tall order, you know, I'm- to have the  
39 Science Center go back and make independent corrections to data is  
40 unlikely to be successful, right? It's really something that's  
41 going to require the participation of the territories, the  
42 participation of probably, you know, some of the scientists who  
43 are very familiar with the data collection that's going on in the  
44 territories. So, I think what we could do is move forward and  
45 discuss how we are intending to characterize the uncertainty and  
46 make sure that we understand all of the sources of uncertainty  
47 related to catch statistics that you would like us to evaluate. I  
48 think that getting a catch series that we actually have confidence

1 in is going to require a larger collaboration and probably a  
2 procedural workshop. So, if you want to set that as the bar, then  
3 it really does delay moving forward with the stock assessment. At  
4 that point, we'd pause the stock assessments, take them off the  
5 calendar, concentrate on the procedural workshop. And that's also  
6 possible, but it would take- you know, the SSC would have to  
7 present that to the Council and say, "You know, we essentially  
8 want to pause the stock assessments until such a time as we have  
9 a better approximation of the landings history." We'll tell Julie  
10 to wipe the calendar and put the procedural workshop on the table  
11 instead and then reset the calendar for the Caribbean.

12  
13 It's not such a terrible imposition because we do have a Caribbean  
14 fisheries branch now that is relatively independent in terms of  
15 the data pulls and the analytical work. And so, it doesn't affect  
16 the other SEDAR assessments the way it used to. So, we have some  
17 flexibility. But what I don't want to do is be sent away to say,  
18 "Come up with a landing series that we all have confidence in." Do  
19 the analytical work on the stock assessment, bring it back to you,  
20 and have you still have concerns about the catch series. Because  
21 then all of the work to improve the stock assessment model is  
22 wasted.

23  
24 **RICHARD APPELDOORN:** Todd, and then Vance.

25  
26 **TODD GEDAMKE:** Yeah, my recommendation wasn't for you to come up  
27 with a single catch series. It's been vetted. It's to take the  
28 knowledge of the people- forget the scientists, the local- I mean,  
29 these are statistics and data. And there's no expert more than is  
30 sitting right there, you know? I mean, and so, my question's not  
31 to say to go back and determine what is. It is to say exactly what  
32 you said, Richard. I mean, do we- what about the tax year in 2015?  
33 Do we do- you know, there's multiple aspects that need to be taken  
34 into consideration, so. Mine was to get this moving and the option-  
35 the other one is the procedural workshop is what would be different  
36 than the last time we did it?

37  
38 **SHANNON CASS-CALAY:** Well, in all honesty, I think the major  
39 difference is the new science information brought, you know,  
40 through the NOAA collaboration with MER consultants. And maybe an  
41 improvement in the spatial data. But, you know, we're still going  
42 to have a number of uncertainties. And it's very likely that at  
43 different parts of this time series, you know, there may have been  
44 different- the uncertainty biases may be different, right? We're  
45 dealing both with uncertainty and potential for bias here. And  
46 they're hard to wrap your head around. But I think that's why what  
47 we can do is outline the uncertainties you want us to address in  
48 the stock assessment framework and work with Erik Williams to bring

1 some of the Beaufort approach, that MCBE approach, capability to  
2 the stock synthesis realm, you know? And that does require  
3 development, right? That basically is not a tool that SS has right  
4 now in its framework, but it is easy enough to code. Where if by  
5 easy, I mean it will take us months of hard labor. [laughter] But  
6 it's possible.

7  
8 **RICHARD APPELDOORN:** All right. thank you. Vance there's been  
9 someone on, online, waiting.

10  
11 **LIAJAY RIVERA GARCÍA:** Yes, you have a comment by SSC member Erik  
12 Williams. He agrees with your summary, Mr. Chair, and you have a  
13 raised hand from Doug Gregory.

14  
15 **RICHARD APPELDOORN:** Yeah, go ahead, Doug.

16  
17 **DOUGLAS GREGORY:** Hello, this is Doug. Did you call me? I was  
18 coughing at the time. I'm sorry. [laughter]

19  
20 **RICHARD APPELDOORN:** Yes, you had your hand raised?

21  
22 **DOUGLAS GREGORY:** Yes, I did. I've been involved in a number of  
23 stock assessments, as I said, since '84, '86. Acadian Red Snapper  
24 in the Gulf with Nancie, way back in those early days. And stock  
25 assessments build upon one another. Sometimes a mistake is made.  
26 Sometimes the change is incremental, small increments. Sometimes  
27 it's major increments. Sometimes either the CIE reviewers or the  
28 SSC itself changes assumptions, which can flip a stock assessment  
29 from being healthy to being unhealthy. It is a whole gamut of that.  
30 And the whole purpose of this is to strive to reduce our  
31 uncertainty using what data we can use. Now what I would support  
32 is this wish list that we have before us, for the Center to go  
33 back through that, and evaluate what they can. I don't know how  
34 much work would be involved in that, but to evaluate what they  
35 can, and then bring it back to us. But questioning the catch  
36 history of the entire Puerto Rico and this is just one species.  
37 You can't just do one species. So, that seems counterproductive to  
38 me. Thank you.

39  
40 **RICHARD APPELDOORN:** Thank you, Doug. Vance?

41  
42 **VANCE VICENTE:** Going back to Erik's first, statement about  
43 characterization of uncertainties. Every time- I mean, I'm  
44 listening to all of your suggestions and I have been exposed to  
45 different models, which I really, you know, have a lot of problems  
46 understanding the details. I am not a mathematician definitely.  
47 I'm a field ecologist. But the way I see it, my recommendation is  
48 to itemize, what those uncertainties are. Write them down, you

1 know? Characterize them the best we could so that we can prioritize  
2 them. Determine which are the principle uncertainties. If it lies  
3 on the fishermen, get the fisher more involved in all of these  
4 studies that we do. That's [inaudible] if that is the problem, you  
5 know? Whichever way they need to be involved. And then second, I  
6 don't know much about the models. But I believe that each model  
7 has their pros and cons. Once we list and itemize what the  
8 uncertainties are that we believe are most important, you know,  
9 lay out all the different models and see which one addresses the  
10 uncertainties that we have determined that are important or more  
11 significant affecting the catch. That's my recommendation. Thank  
12 you.

13

14 **RICHARD APPELDOORN:** Graciela, procedural question. Is lunch in  
15 fact going to be ready at noon?

16

17 **GRACIELA GARCÍA-MOLINER:** Yes. Lunch should be ready at 12 sharp.  
18 So you have- you haven't had a break this morning. Maybe you want  
19 to take a break right now. You have five minutes left to noon.

20

21 **RICHARD APPELDOORN:** Yeah, so actually, that's what I- where I was  
22 going with this. Maybe we break now. We have a few minutes before  
23 lunch is ready. But that allows us to be back here at 1 o'clock.  
24 And I would suggest that we actually start with Vance's suggestion  
25 of when we're talking about the uncertainty in the datas, let's  
26 start itemizing what we mean in terms of either, you know,  
27 variabilities or biases or whatnot, and perhaps some scales of  
28 those so we can give the center some guidance when they go back to  
29 look at all this. So, back at 1:00.

30

31 (Whereupon, the meeting recessed for lunch on August 2, 2022.)

32

33

- - -

34

35

AUGUST 2, 2022

36

37

TUESDAY AFTERNOON SESSION

38

39

- - -

40

41

42

43 **RICHARD APPELDOORN:** Let's get started again. Sorry for the delay.  
44 a reminder for everybody to give their name when they're speaking  
45 into the microphone. So, this is Rich. We have a fairly full agenda  
46 still ahead of us that we'd like to make some progress on. And so  
47 I'm looking for a way to close out our discussion from this morning  
48 and with some way to move forward and try to do that as quickly

1 and expeditiously as possible. We have a list of things that a lot  
2 of people have contributed to. The base of that was something  
3 presented, I think by Kevin, representing some thoughts on the  
4 part of the Science Center and then Erik added to that and others  
5 added to that. So what I'm hoping not to do is slug through that.  
6 I think, however, there's some things there that I think are fairly  
7 straightforward, clearly, the stuff that- for the most part, that  
8 came from the Science Center. They have ideas about how to handle  
9 that, or they would not have put them forward.

10  
11 So, the real issue that we've been discussing, of course, has been  
12 the data and what to do about that. And I would- well, my suggestion  
13 is I would go to Shannon or Kevin, whoever wants to address this.  
14 But clearly there's some really open questions there that it would  
15 be unfair to say, "Oh, Science Center, here, deal with us." So,  
16 you know, how can we bound something down to where you can deal  
17 with it and be in a somewhat timely fashion, timely being, whatever  
18 scale we work at. And, you know, that we think will help as opposed  
19 to kind of pieing the sky stuff, which would be nice, but we really  
20 don't think we're going to get there. So, do you have some comments  
21 on that?

22  
23 **KEVIN MCCARTHY:** Shannon, you can go. You're the boss.

24  
25 **SHANNON CASS-CALAY:** All right. I'll go. So, this is Shannon. Thank  
26 you. And so, I think what we can do is focus on the major  
27 uncertainties, and I think there are some lesser uncertainties  
28 that we will also explore, but perhaps we can just give the Science  
29 Center the discretion to complete those explorations on our own  
30 and present them in the future. But the major uncertainty, as I  
31 see it is the catch series itself. You know what- and I would like  
32 some advice from the Science Center about kind of the range of  
33 options that they want us to explore. Because I think that of the  
34 most concern is whether the catch series could be biased. And so  
35 the plausible range of bias might be important to get some feedback  
36 on. And the L-infinity is also the-

37  
38 **JORGE R. GARCÍA-SAIS:** Can you come again? What is the main  
39 uncertainty?

40  
41 **SHANNON CASS-CALAY:** So, the more difficult matter to handle in  
42 the stock assessment is whether there could be some bias. So, is  
43 the true catch higher or lower than what the estimates say in a  
44 systematic way? If that is not the case, then it's a little bit  
45 easier to handle just through, you know, broadening the uncertainty  
46 range that we're using. If it's a systematic bias - and that's  
47 what the SSC wants us to explore - we could use some information  
48 about the plausible range of bias. The other-

1  
2 **RICHARD APPELDOORN:** Okay, if I could just- clarification point.  
3 So, when you say systematic bias are you just saying whether there  
4 should be some kind of scaler that as opposed to the nature of the  
5 bias changing over the- whatever it is, 25-year time period or 20-  
6 year time- excuse me, 40-year time period.

7  
8 **SHANNON CASS-CALAY:** So that does become very complicated, and we  
9 would need to have some kind of qualitative information about that  
10 to characterize it well, unless Erik Williams is much clever. He  
11 could well be more clever than I.[laughter] And, but I think we  
12 can certainly expand the range of uncertainty that we're examining,  
13 and we could consider applying a correction factor, for example,  
14 that's based on the work conducted by Todd and MER Consultants  
15 under NOAA contract, [laughter] trying to be correct. There were  
16 some initial concerns that I brought up with Rich about whether  
17 those first few years of the catch data, which indicate a very  
18 high initial catches, whether we should go ahead and use that data  
19 in the equilibrium catch estimate, or whether we should start the  
20 model at a later start year.

21  
22 The other major axis of uncertainty in this model is the L-infinity  
23 and the natural mortality that results, right? Because the L-  
24 infinity is used to create the Lorenzen M vector, the natural  
25 mortality vector in the model. So, if there is interest in this  
26 group, we could- it's one thing to just use CVs, basically say,  
27 "Okay, we're uncertain about L-infinity, but we know the central  
28 tendency, and so we'll just expand the range." That's easy enough.  
29 If the group is again, concerned that actually, L-infinity might  
30 be higher or lower than what was estimated in a Virginia Shervette  
31 paper. For example, do you want us to explore L-infinity's both  
32 higher and lower? Is it really that you think it could be higher  
33 because of fish and cryptic biomass, right, in cryptic habitats  
34 that are not observed in that study? I suspect it's more that,  
35 that you're wanting to look at the performance of the model if L-  
36 infinity is higher than what was estimated by Virginia Shervette.

37  
38 **JORGE R. GARCÍA-SAIS:** Yes.

39  
40 **SHANNON CASS-CALAY:** All right. So that's probably sufficient  
41 guidance. I mean, do you want to tell us how much higher, like the  
42 maximum size observed as a proxy for L-infinity, which would be  
43 what, 53 centimeters, something like that.

44  
45 **RICHARD APPELDOORN:** Versus- what was the L-infinity? Was 40-  
46 something.

1 **SHANNON CASS-CALAY:** 43 centimeters. Hard to drink coffee with  
2 mask on.

3  
4 **TODD GEDAMKE:** My recommendation on that would be to look at the  
5 plots. Virginia didn't seem to have enough large individuals in  
6 the study. So, if you take out those two individuals that are below  
7 43, if you just look at those two fish and you take those two fish  
8 out, your L-infinity, it's actually the mean estimated from the  
9 same exact data set to give you a fitted, empirical estimate. If  
10 you would just- if we're going to drop 82 and 83, let's just drop  
11 those other points too and give us a range on it. That'll get us  
12 higher. And then I would say the other one is a max observed. Just  
13 use the two. And we know that the max observed we should be an  
14 upper bound on it. So, we would look- interpret that as potentially  
15 too high, hopefully, and I think you get right in the range there.  
16 It's- I don't think your K needs to change a whole lot on it, but  
17 the L-infinity is going to really drive a whole lot.

18  
19 **SHANNON CASS-CALAY:** And so, like Erik said earlier, there is a  
20 subtlety- a difference between what is a sensitivity run, which  
21 would only be used to explore how sensitive the model results are  
22 to a different assumption versus an alternative base case. So,  
23 which one are we actually suggesting for the L-infinity? Is it an  
24 alternative base case that would require full diagnostics, or is  
25 it basically a sensitivity run to determine if the model is  
26 sensitive to that estimate?

27  
28 **TODD GEDAMKE:** I think this is an important one that Erik touched  
29 on before, and that maybe we should at least tiny bit revisit it,  
30 because he said, "Let's make sure that we understand the difference  
31 between uncertainty and different states of nature." You were just  
32 discussing the time series of landings as uncertainty. That's  
33 really different states of nature. So, we need to consider this.  
34 And Shannon's point is very, very important. It's, are we going to  
35 rely on a single base case and take that as truth and then do  
36 sensitivities off of it? Or are we, we saying what we've said all  
37 along, which is we don't know really which way it is? So, I think  
38 that my recommendation there is going to be to treat at least one  
39 higher L-infinity as a base case and run a little bit off of that.  
40 Once you're set up and running on this, you should be able to run  
41 sensitivities pretty quick. So, I don't think it's too much of an  
42 ask to say, "Hey, let's take a look at the higher L-infinity." I  
43 think there's a few of us gut level that think that that's probably  
44 a realistic setup. And then the complicating part is the other  
45 one, the time series. But I think Erik's comment there is very  
46 important to- and I'm not sure if everyone gets that, but I think  
47 it's a key point.

48

1 **RICHARD APPELDOORN:** Well, I'm going to ask just as a point of  
2 clarification. If you do a sensitivity analysis that's banding  
3 those higher suspected values and you're not getting much change,  
4 does that say you really don't need to do the other alternative  
5 state, or are these really separate things that you need to do  
6 one, then do the other? That's just is my ignorance, sorry, on the  
7 process.

8  
9 **SHANNON CASS-CALAY:** Well, I do see that Erik has his hand up, and  
10 he may be- he is on the SSC, so I'll defer.

11  
12 **RICHARD APPELDOORN:** Okay. Erik?

13  
14 **ERIK H. WILLIAMS:** Yes, this is Erik. Thank you, Rich. So yeah, I  
15 think the answer is the beauty, I guess of the MCBE process is we  
16 can include the uncertainty in a growth model that actually comes  
17 from the uncertainty in the fitting of it. You know, you could  
18 actually pull out using, you know, classical methods for  
19 characterizing the uncertainty in L-infinity and K and T0, and  
20 even with their correlations among those parameters in the fitting  
21 process and just throw that right into the model so that each  
22 iteration of the MCBE draws a random plausible growth curve. And  
23 uses that as one of the alternative states of nature. I think  
24 though, to get back to sort of the question of, is this important  
25 to include, I think that's where sensitivity runs come in, is to  
26 understand what pieces of information are going to be critical to  
27 the outcome of the model. You know, if we did an- let's say we get  
28 this model sort of up and running and you put in that alternate  
29 high L-infinity and it just doesn't change anything then is it  
30 worth pursuing all this extra complication to put in a random  
31 growth function into the MCBE process? Or is it not really worth  
32 it because it just doesn't change much? So, that's kind of the  
33 distinction between how a sensitivity run can help you in  
34 determining what sources of uncertainty really need to be included  
35 versus some that maybe just they're not that important, or they  
36 get washed out by other things that are going on in the model.  
37 but- so I hope that helps with the conversation.

38  
39 **TODD GEDAMKE:** Erik, it's Todd. That does. Thank you.

40  
41 **RICHARD APPELDOORN:** So I guess a little bit back to Shannon. So,  
42 we haven't talked about the guidance you need for the catch yet.  
43 But I think it sounds like we're kind of set on the L-infinity  
44 approach. And is there something else before we circle back to the  
45 catch issue? And, Graciela, you have?

46

1 **GRACIELA GARCÍA-MOLINER:** For the record, Virginia says that they  
2 have a paper in press for L-infinity for Queen Trigger from SEUS.  
3 So, she's online if you need to-

4

5 **RICHARD APPELDOORN:** Sorry. From what?

6

7 **GRACIELA GARCÍA-MOLINER:** SEUS. Southeast US.

8

9 **SHANNON CASS-CALAY:** So, another issue that was discussed was  
10 actually the reference point, but those are very difficult  
11 discussions to have without a scientific basis, essentially. So,  
12 I would ask that we defer that discussion until the Science Center  
13 has a chance to actually look into it, and we can make a  
14 recommendation. And if there's simply no ability for us to make a  
15 recommendation then we might, you know, actually have to do both,  
16 but I suspect that we can look at the evidence about whether there  
17 is a plausible stock-recruitment relationship, and then look at  
18 the evidence about whether those parameters are estimable. And if  
19 they are, then we could go forward with an FMSY calculation. If  
20 they are not, then we'll retain the F\_SPR30%. And then the only  
21 decision we'd have to know is, you know, does the SSC want to  
22 essentially assume that recruitment will continue as it has during,  
23 you know, during the recent time period, which might be 10 years.  
24 Now recall that during the last 10 years, the recruitment has  
25 actually been lower than average, or would you want to use the  
26 full-time series, which just basically says recruitment will  
27 continue on average as it has since 1982? Or again, does the SSC  
28 wish to just leave that to the discretion of the Science Center,  
29 and we'll come back and just tell you what we did and why we did  
30 it that way?

31

32 **RICHARD APPELDOORN:** Go ahead, Todd.

33

34 **TODD GEDAMKE:** Just question, Shannon. I think what Richard's  
35 suggesting is step one. I think what you're talking about is step  
36 two and three on this. I mean, I think what we would like to see  
37 is that evaluation of the data, how this gets set up and how it  
38 works. I think Erik just calmed my mind a little bit in some of  
39 how it will be approached. I also was kind of able to somewhat  
40 visualize how that output would look, which I haven't really been  
41 able to visualize before. So, I think that's good, but I think I  
42 would- I would be reticent to take us to making reference point  
43 decisions at this point until we get a look at what we've got and  
44 where we're going. I mean, it's going to take a little while to  
45 pick through the data on this.

46

47 **RICHARD APPELDOORN:** Okay. Thank you very much for those comments.  
48 I think they really help. So, let's get back to the data and what

1 kind of guidance we can provide the center in terms of- I think  
2 there's two questions here. One was this question of bias and the  
3 other was the question of the starting dates and the calculation  
4 of the catch prior to the start of the- whatever time series is  
5 being used obviously from the issues of the trap fishery.

6  
7 And I'll start off by making it messy. We're talking about whether  
8 there's a systematic error there. Okay. We have one, I think rather  
9 really rigorous data point that suggests that our- the true catches  
10 are below what's been reported with the expansion factors. My  
11 understanding is that that would just be a scaler impact. And so,  
12 I'm not sure that's- you know, it's a question of how you use it,  
13 but then, you know, if you get guidance getting down to ABCs, you  
14 also have to interpret the catch data also with that new scaler.

15  
16 So, to me the question is not one of, is there a scaler, but would  
17 that scaler have changed over time? And I don't know the answer to  
18 that, but I think there's a lot of things that have happened since  
19 1983 and this fishery, and I'll just signal a couple of them. First  
20 of all, at that time the Puerto Rico Fisheries by far dominated by  
21 traps, that is no longer the case. Commercial diving has become  
22 very big. Traps have dropped as proportion extensively. The trap-  
23 nature of the trap fishery has also changed going from one where  
24 it was basically a reef fish focused, generally targeted fishery  
25 to one that's really targeting lobster. And of course, take the  
26 fish to come. But how they're fishing the traps and where they're  
27 fishing the traps is not the same as what was happening early in  
28 the time series.

29  
30 You know, there was the question about the Diadema die-off and  
31 what impact that would have. But I would throw out that if you go  
32 back to prior to '83, all the information that we have says that  
33 catch rates, overall, were much, much higher than what they were.  
34 You know, in other words, '83 coming down to about '85 was  
35 basically a collapse of catch. And so, the scenario that has been  
36 pitched forward, although not scientifically really examined is  
37 that well, Diadema bloomed into incredible numbers because their  
38 predators had been fish, and that would be Queen Trigger among the  
39 most likely suspects in that. And therefore, if that's the case,  
40 you accept that one, that means Queen Triggers were depressed much  
41 more so way before the die-off occurred. And the die-off was  
42 something like 90, I don't know, 7 percent. It was, you know, huge.  
43 And so that obviously would had impact, but we had impacts onto  
44 the fishery way before that. And that's just, you know, affecting  
45 the beginning years so, you know.

46  
47 And then we have the protests in reporting that were associated  
48 with the tax changes. And there's some question and things. I

1 mentioned the 2005 East Coast expansion factor seems to be wacko.  
2 And we've discussed that before, and these are isolated things,  
3 and it'd be very difficult to, you know, go year by year and say,  
4 "Okay, what was happening in this year that would affect the ratio  
5 of Queen Trigger to the rest of the catch?" Which is, you know-  
6 the question is on how we would go back and alter the scaler. So  
7 I'm thinking there are things that would affect that because of  
8 the changes in the fishery that I mentioned, but I have absolutely  
9 no idea how you deal with that and, you know, other than to shorten  
10 your time series where you aren't dealing with those kinds of  
11 issues. But, I find it a sticky problem, but I don't know if  
12 there's solutions to that. So, I'll hand it over to Todd who  
13 hopefully will straighten me out.

14  
15 **TODD GEDAMKE:** No, not at this point, Richard. I think that  
16 Shannon's comment yesterday when JJ was asking about the ecosystem  
17 stuff is going to be repeated here in that if Diadema is of concern,  
18 what is the quantitative aspect to putting that in the time series?  
19 So- and I don't know what that answer is, and I agree with you  
20 that it will take forever to go through one after the other. But  
21 my point is that procedurally, you're going to need that to go to  
22 this with a couple other things, 2015, the taxes. For your comment  
23 about '82 and '83, the collapse of the catch, that turns into an  
24 F starting point, that is what level above MSY. So, you take the  
25 F\_MSYproxy, if that's what you believe, and that's what everyone  
26 else believes, you say, "This thing was totally overfished. Given  
27 our F\_MSYproxy, we're going to go two times F\_MSYproxy," or three  
28 times, whatever you want to say. But you would start at, you give  
29 that starting point a reflective of that.

30  
31 Um, Erik, if you're there, JJ, and a couple of others, we're asking  
32 questions about how the MCB worked. And I think that would be  
33 helpful in term- how you resample a time series to get into this.  
34 I understand how you deal with a parameter distribution. Are we  
35 talking about distributions on every single data point that can be  
36 adjusted? In other words, are we talking about going at reporting  
37 to two times reporting 50% below for each data point, and then  
38 resampling from that? And if that's the case, then this committee  
39 could say that for the year Diadema, we want the distribution for  
40 that year to reflect these biological processes and the  
41 uncertainty, and you could- so for example, your tax year, you're  
42 going to say underreporting was greater. You wouldn't want to- in  
43 that year, if you say that Queen Trigger, what we've seen is that  
44 that equal to reporting right now, so we say, yes, that's one run.  
45 So, in there one run is to take reported values without expansion.  
46 We are asking them for that one scenario. And then we go from  
47 there, which is, we believe that, but Nelson and others say, "No,  
48 no, no, no. That tax year, definitely people were underreporting

1 that year of everything." So, we could actually take that  
2 distribution up there. But let Erik answer if he can, on how we  
3 draw from a time series, given some of these, because I think that  
4 will determine how we provide guidance on some of this.

5  
6 **ERIK H. WILLIAMS:** Yeah. Thanks, Todd. So, this is Erik again.  
7 Yeah, we could make the- what you're basically doing is setting up  
8 a little mini model to generate random landing streams. And so  
9 that can take any complicated form you want. If it is just a  
10 scaler, then the only parameter going in if you scale the whole  
11 time series up and down over some, you know, expansion factor. And  
12 that could be- and you put in an expansion factor with a uniform  
13 distribution, say from one to two, and then that's your landings  
14 generating model. But it can certainly get more complicated if you  
15 have more information. So, like you said, if you know a specific  
16 year was in a certain situation, yes, certainly. Let's model that  
17 specific year that way in the random generation of landings. Also,  
18 if there's suspicion of a change in a parameter, so let's say that  
19 scaling parameter's suspicion that it changed over time. Well,  
20 what's the suspicion of that change over time? Let's build it in.

21  
22 It's as complicated as we want to make it in terms of trying to  
23 generate these landings, but it's also flexible enough to include  
24 every bit of uncertainty we know about. You know, there's certain  
25 uncertainties we don't know about, and those will just have to  
26 kind of guess that. But, that's great information to know some of  
27 those historical facts because you can build those in. And just to  
28 point out, I mean, I know this seems like a bad situation where  
29 you don't even really have confidence in your landings, but we  
30 actually have a case in the Mid-Atlantic where they actually used  
31 a Delphi method to create recreational landing, because they had  
32 zero data. So, it can get worse than this is what I'm trying to  
33 say. So be glad that you actually even have some sort of sense of  
34 things like a tax year and things like that. That actually helps.  
35 It helps to narrow down this uncertainty. But hopefully, everybody  
36 gets the idea that what you're trying to do is build a little  
37 submodel of how we are going to generate random landings time  
38 streams that are all viable, essentially, where it could be  
39 reasonably considered an alternate reality.

40  
41 **TODD GEDAMKE:** Erik, thank you. Todd here. Could you- and that- by  
42 the way, thank you. That was perfect. That explained it in my  
43 brain. I could actually go to my desk and try doing it now which  
44 I wasn't able to do 20 minutes ago. In terms of results from all  
45 those different scenarios, I'm just thinking about the  
46 distribution of results and how the Center and an analyst deals  
47 with compiling all those different streams, and then they come  
48 out. So, this committee has a habit of putting a whole lot of

1 things on the list. So, if we're looking at hundreds or thousands  
2 of different scenarios- I mean, it's not going to be that many.  
3 Let's just say it's 10, even for that matter. Let's say it's 10  
4 different states. How do you put weight on those in the end as to  
5 which one you go with?

6  
7 **ERIK H. WILLIAMS:** Yeah. Good, good question. You know, the default  
8 method we use in the South Atlantic, we just assume they're all  
9 equally likely and that what we try to accommodate is with the  
10 probabilities in the sub-sampling model. So, let's go back to the  
11 scaling parameter. Let's say that we thought it ranged from one to  
12 two, but the probability of one and two probably tapers off, you  
13 know, at maybe only 25% probability at the ends, and the higher  
14 probability is somewhere around 1.5. That is a sort of self-  
15 weighting method right there because we're weighting the random  
16 generation of that data. You can do it that way. Or you could do  
17 it the other way and just assume, all right, we've got just uniform  
18 distributions across everything, and then we'll use some other  
19 mechanism to weight the runs, either you could use likelihood  
20 values; you could use all sorts of things. So, there's a tremendous  
21 amount of flexibility, which of course means a tremendous amount  
22 of decisions to be made.

23  
24 But I think what you'll find is if you can come up with this  
25 reasonable landings generation model so to speak, with some sense  
26 of probability- so again, using the scaling factor, as an example,  
27 do we really think it's one to two and that one is as equally as  
28 likely as two? That's fine. If that's what we think, then that's  
29 what you would put in, and you'd allow all those runs then to be  
30 equally weighted. But maybe there's some sense that, well, two's  
31 possible, but it's not as likely as 1.5 or something like that.  
32 And that's where expert opinion comes in. It's where, you know-  
33 yeah, even discussing this with the fishermen. I mean, this is  
34 where you can really get complicated. We could- if you got enough  
35 fishermen that have been in the fishery for long enough, you know,  
36 you could put a survey out there and start to get a real good sense  
37 of what trends they thought they've seen in the data over the years  
38 and somehow feed that into your whole landings generation model.  
39 I mean, it can get as complicated as you want it to.

40  
41 **TODD GEDAMKE:** Thanks, Erik.

42  
43 **RICHARD APPELDOORN:** Yeah. Shannon.

44  
45 **SHANNON CASS-CALAY:** So I just wanted to make sure it's understood  
46 that the Science Center is certainly willing to make this  
47 investment. And I do think that it does improve the state of the  
48 art. You know, it's widely recognized that approaches like what

1 Erik Williams is discussing are considered state of the art. But  
2 that said, you know, we'll need to talk about how to bring forward  
3 the U.S.V.I. models because they are essentially final. We have  
4 not given you the reports yet, but I assume that in many of these  
5 same changes that we've discussed here we'll want to consider for  
6 the U.S.V.I. models. And so, I'm just putting that out there. We  
7 don't have to discuss it at length today. But the reality is this  
8 will have an impact on our assessment calendars until we get an  
9 approach that is coded and can be easily maintained because right  
10 now those- we'd have to create that system.

11

12 **RICHARD APPELDOORN:** Julian.

13

14 **JULIAN MAGRAS:** Just to answer into that, I think I'm going to  
15 speak for the Saint Thomas/Saint John sector. Number one, we don't  
16 use expansion factors in the U.S.V.I. And I think that the  
17 information that has been collected for the St Thomas/Saint John  
18 sector is very extensive. And I think there's enough information  
19 there that can really show what our fishery is doing. And if you  
20 looked at the ACLs over the history of time, even to when we went  
21 to a species specific, Queen Triggers always had a category where  
22 they fell in. And it would show that our numbers are not far off  
23 of the annual catch limits compare to Saint Croix. But I wouldn't  
24 speak about Saint Croix because Saint Croix has their own island-  
25 based management plan. And we have done a lot of work with Virginia  
26 Shervette. The Saint Thomas Fishermen's Association has done a lot  
27 of study with Queen Trigger. We did study with Todd and John  
28 Hoenig, I think is his name. So there's a lot of information that  
29 I think that we shouldn't have as much of the issue that we are  
30 having here with the Puerto Rico information. So, I just wanted to  
31 put that on the record.

32

33 **RICHARD APPELDOORN:** Yeah. But- thank you. But the topic here is  
34 Puerto Rico. And I understand that discussions here will have  
35 impacts on what's coming down the road, but please let's deal with  
36 the issues at hand. So, I've been running through here because I  
37 had some, some data hoping that Triggerfishes were there. So at  
38 least by family level Puerto Rico's been catching- characterizing  
39 the catch data since- well, let's just go 1980. It's somewhat  
40 before that actually into the '70s. But there's some questions  
41 about the earlier data I'm just looking at. This is just proportion  
42 of the catch. Triggerfishes, as a group, were fairly constant from,  
43 there's some bumping up and down, but fairly constant from '80 to  
44 about 2000, and then it starts going up. There's a proportion of  
45 the catch. So that would suggest that there is not just a single  
46 scaler, but you have a change in the trend starting somewhere  
47 around the year 2000.

48

1 And this is an analysis that only went up to 2010. So, I don't  
2 know whether that's continued or not, but- so that's something  
3 that could be at least looked at. Is, what is the proportion of  
4 Triggerfishes in the catch and has this been reported and how  
5 that's changed. It doesn't deal with the expansion factor issues,  
6 but it would say that maybe a proportion of that is not constant,  
7 and therefore it would be a basis for how we might want to look at  
8 that change, so. And this is all- I assume this is data, Kevin,  
9 you have or, your group has. It's, you know, the same. That's where  
10 the data came from. So, all I did was looking at it was plotting  
11 that stuff.

12  
13 **KEVIN MCCARTHY:** Yeah, this is Kevin. So, I'm not- I think the  
14 data that we have goes back to '83. So, if you've got stuff prior  
15 to that we don't. We don't. so, maybe we need to get ahold of that.

16  
17 **RICHARD APPELDOORN:** Well, you should have all that data because  
18 it's, you know, historically been all there. You know, Nancie was  
19 involved in the- one of the data evaluation things in 2009 that  
20 looked at some of that past data, though, probably from a lumped  
21 point of view. And you know, there was a question about the  
22 confidence in that data, and that's why it's not being used for  
23 anything that we're doing now. But I've said, I was just looking  
24 at it from 1980 on, and it seems to be, you know, bumping up and  
25 down, but fairly constant until about 2000. Then there seems to be  
26 an upward trend as a proportion of the catch. And, you know, a lot  
27 of things are affecting that. So, for example, you know, Dorado  
28 really wasn't a commercial fishery until '86, '87, somewhere in  
29 there. And then it just skyrocketed up until about 2010 and then  
30 skyrocketed again. And so that's a whole new component coming into  
31 the catch of which this is a proportion of. So, you know, it's-  
32 there's a lot of dynamics going on underneath those things. But  
33 maybe these proportional catch kind of thing is just the way we  
34 can get a handle with that as a suggestion. Shannon and then  
35 Nancie.

36  
37 **SHANNON CASS-CALAY:** So, I do think there's enough complexity that  
38 it would be difficult for us to describe exactly what needs to be  
39 done at this meeting. So, I think I would propose that we meet  
40 initially by correspondence to discuss the data we have available  
41 and what points have been made about the data to date and then  
42 maybe make a proposal for how we intend to proceed that gets  
43 reviewed through some process with the SSC. I mean, whether we ask  
44 for another hour to meet in the future or bring it to the next SSC  
45 meeting. But my concern is there's- it's unlikely in my mind that  
46 we're going to come to a decision about this in the next hour,  
47 unless we want to just be very pragmatic and just say, "Do this,"  
48 and then we will try to execute that decision. But I'm hearing a

1 need to identify historical data that was not included in the  
2 initial model run to identify a point of inflection where the  
3 calibration's going to possibly change. And so, that all seems to  
4 require review before we move forward with the modeling process.  
5

6 **RICHARD APPELDOORN:** Nancie, you want to answer that?  
7

8 **NANCIE CUMMINGS:** Thank you, Chair. The electronic data, the  
9 computerized data began in 1983.  
10

11 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, so the Science Center might  
12 have that data from '83 onward, but the reports from Julie and  
13 other is from way back when- before Codremar and stuff like that.  
14 I should provide information from 1967 to 1983 to catch up. But,  
15 the thing is that they might not have the total poundage for Queen  
16 Trigger, for example. But they would have the proportion of the  
17 catch that was Queen Trigger. So, between '67 and '80 changed  
18 between 2% and 7% of the catch for those years. So, we could  
19 reconstruct it, you know, back like I think Bonsack did at some  
20 point for something or other if that's- you know, but I don't know  
21 that the Science Center actually has all that information  
22 available.  
23

24 **RICHARD APPELDOORN:** Todd?  
25

26 **TODD GEDAMKE:** I think that you can capture this in the starting  
27 values of the population. So, I think that rather than all the  
28 details and digging through the old reports, you know, this is  
29 where you look at it and you go, "Okay, should we look at-" I think  
30 that most people believe that it was exploited. It's exploited at  
31 what level? So, it was exploited moderately, high, extremely high.  
32 And I think that that's where we start with this. And if we find  
33 out that F start is just unimportant to the results that come out  
34 later on, then we don't have to worry about this. But if we find  
35 out that F start is critical to where this thing goes, then we go  
36 back and dig out those reports.  
37

38 And I think that's where step one and step two comes in this  
39 process. We've got some data things that need to happen with it  
40 but that's the way we can take those concerns for the whole time  
41 series and all the issues and really captured in one parameter  
42 input to the model.  
43

44 **RICHARD APPELDOORN:** So again, this is just a point of  
45 clarification. We have those first couple of years where the catch  
46 is high, and they're being used to estimate the starting point. Is  
47 there a preference between, okay, going back and looking at the  
48 still older data and seeing what that was saying and adjust

1 accordingly, or just, hey, we'll just start in 1985 and where we  
2 have a couple of years where the catch really isn't popping around  
3 very much at that point and start there and, you know, solve the  
4 problem by getting to some place where things were kind of stable,  
5 and then we will work there?  
6

7 **SHANNON CASS-CALAY:** So, I can directly respond to your question.  
8 I do see Julian's hand up. This is Shannon. So, I think that is a  
9 pragmatic suggestion, Todd. It certainly is a good first step, and  
10 it is essentially- it could be the start year of the model. We  
11 could do it that way. But, you know, it could also be just in the  
12 assumption we've made about equilibrium catch, because right now  
13 we're assuming the equilibrium catch is essentially the average of  
14 those first three years of data. But we could also assume that  
15 they're- you know, we could make different assumptions and see how  
16 sensitive the model results are to those assumptions about  
17 equilibrium catch. And that's basically- the assumption we made  
18 right now is that the exploitation rate was very high in the first  
19 year because those initial landings are very high. We could make  
20 different assumptions to see how sensitive the model is to  
21 equilibrium catch.  
22

23 **RICHARD APPELDOORN:** Yeah, that would be excellent.  
24

25 **SHANNON CASS-CALAY:** Is that what you're getting at, Todd,  
26 basically?  
27

28 **TODD GEDAMKE:** Shannon just asked if that's what I was getting at.  
29 Absolutely. That's what I'm getting at. I wouldn't have even taken  
30 it to equilibrium at this point for those that really- what that  
31 means is you have a fully populated age structure. So, you're  
32 feeding an age structure that is at equilibrium in. If Richard  
33 says, "You know what? Those declines are real in the last two  
34 years," and we're at the tail end of a six-year decline on this,  
35 you model a population that is experiencing that high level of F,  
36 and therefore, you'll have the size structure and age structure  
37 truncated towards smaller individuals. So that's even one step  
38 more complicated than I was suggesting now, but I think it's a  
39 very, very reasonable alternative.  
40

41 You know, the problem is, Shannon, we keep talking. You're going  
42 to have a list that is forever and ever and ever. I think a starting  
43 point there. So, for the start point, I would suggest go for, you  
44 know, two or three different levels that are above. Just- I mean,  
45 let's just throw it at the wall on this and then do maybe an  
46 equilibrium and take that F value and run an age structure. And  
47 that's the, like Erik said, the population generation. That's  
48 simple calculations, but you can run that right into the beginning

1 and have some bells and whistles, F start value and equilibrium or  
2 not.

3

4 **RICHARD APPELDOORN:** Julian.

5

6 Julian Magras here. Like, I just wanted to make a little statement  
7 about the traps, and it's across all this, the different sectors.  
8 The traps have not really changed over time. What has changed over  
9 time is the material in how the traps are constructed. We still do  
10 have a certain set of fishermen, and it's the same thing here in  
11 Puerto Rico from speaking with some of the fishers that fish in a  
12 smaller funnel to catch a smaller size fish. But you do also have  
13 some fishers who do have sale for the larger fish. So, depends on  
14 how samples are being done and where they're being done is what  
15 you're going to capture coming out of that fishery. So, I just  
16 want to put it on the table because traps are still there. They've  
17 been there from the very beginning they were made out of weirs,  
18 then they went to chicken wire, now with slanted coated wire welded  
19 steel traps, but they all the same. The funnel entrances are all  
20 the same dependent on what type of fishing you want to do. It's  
21 how they're constructed. So, I don't know how that would fit into  
22 the model, but I just wanted to put that information out there.  
23 Thank you.

24

25 **RICHARD APPELDOORN:** Nelson.

26

27 **NELSON CRESPO:** Thank you, Mr. Chair. Adding to Julian words, this  
28 is through, especially on my experience in the west coast of Puerto  
29 Rico, that we are developing a project with Todd. We are using  
30 different size of funnels, you know, to see which one, you know,  
31 works better for our lobster fishery. But also, by myself, are  
32 using another type of entrance, not funnel for the trough and ramp  
33 style and everything that we copied from the Saint Thomas friends.  
34 And we don't catch too many fish because, you know, we make the  
35 funnel, you know, targeting lobster. The fish that we got is only  
36 a limited quantity because our trough is designed to the fish  
37 getting and get out, especially the ramp ones. And that's why we  
38 don't catch a lot of fish. We catch Queen Triggers, yeah, in one  
39 year, two years, maybe three or four, no more than that, because  
40 the most of the fish is not entering to the trap, is in that moment  
41 where we pull the trap, the fish is there. You know, it's coming  
42 out with the trap, but in another way, no.

43

44 **RICHARD APPELDOORN:** Shannon.

45

46 **SHANNON CASS-CALAY:** Thanks. This is Shannon. So, in summary, then  
47 the areas of uncertainty that we've been asked to explore are that  
48 equilibrium catch and whether or not it is an equilibrium in the

1 first year, the initial year of the model, and L-infinity, which  
2 we've been given two alternatives to explore. And then there would  
3 be corresponding changes in M related to the change in the growth  
4 parameters. So is that- I mean, those are the major axis of  
5 uncertainty in the stock assessment. So, are we satisfied that  
6 that is sufficient to represent the advice of the SSC? That's  
7 already a substantial workload.

8  
9 **KEVIN MCCARTHY:** Shannon, this is Kevin. Did you have the catch  
10 series in your list?

11  
12 **SHANNON CASS-CALAY:** Well, my understanding is that Todd has  
13 reduced that analysis, recommended reducing it to an exploration  
14 of the equilibrium catch. And that if we could get a lot of  
15 inference about how sensitive the model is to the catch series by  
16 just exploring the equilibrium catch. Now, I don't know if we do  
17 that exploration and find that the model is intensely sensitive to  
18 it. You know, that might cause additional concerns, right? But it  
19 seems like what Todd has suggested is a stepped approach where we  
20 begin our explorations there to determine whether reasonable  
21 management advice could be developed with different assumptions  
22 about how the historic catch series impacted that at equilibrium  
23 catch value. Is that- I'm paraphrasing Todd and he's sitting right  
24 here.

25  
26 **TODD GEDAMKE:** Shannon, no, no, no, no, no. And I wanted to make  
27 sure that you got it. I mean, that was exactly. But, Kevin, was  
28 your question about the early time series or the main time series?

29  
30 **KEVIN MCCARTHY:** My- I guess my question is about the main time  
31 series.

32  
33 **SHANNON CASS-CALAY:** So, it will be both.

34  
35 **KEVIN MCCARTHY:** Well, that's all right. And, you know, I mean  
36 there's two different things going on here. One is this F start  
37 and the conditions at start, and the rest is the whole time series.  
38 And the concern here is not the F start. It's the whole time  
39 series. And then F start is- but is- you know, as- and, Erik, by  
40 the way, I learned a long time ago never to predict what stock  
41 assessments models do. So yeah, I wouldn't- you know, almost said  
42 something that uh- but I don't- it may or may not, but yeah, two  
43 different things. F start equilibrium and then that population  
44 time series generation model that Erik was talking about with  
45 whatever input from the SSC.

46  
47 **RICHARD APPELDOORN:** So, I'm still not clear relative to Shannon's  
48 question. And Todd's answer was that the assumptions of equilibrium

1 at that point is one thing, but that's separate from the question  
2 of the time series.  
3  
4 **SHANNON CASS-CALAY:** That's correct. So, Todd's clarification, you  
5 know, not surprisingly was that, of course, we still do need to  
6 address whether to apply a scaler to the time series after 1983  
7 and whether that scaler, for example, should be a constant.  
8  
9 **RICHARD APPELDOORN:** Okay. And I would agree with that.  
10  
11 **TODD GEDAMKE:** Are you using scaler and expansion factor?  
12  
13 **SHANNON CASS-CALAY:** Yeah. I'm using scaler and expansion factor  
14 interchangeably, but I essentially mean an expansion factor. Well,  
15 I'm talking about literally, do we just use, for example, the  
16 reported landings without expansion factor?  
17  
18 **JORGE R. GARCÍA-SAIS:** I would agree with you.  
19  
20 **NANCIE CUMMINGS:** Isn't there two questions?  
21  
22 **RICHARD APPELDOORN:** I would like to see you explore, - and this  
23 just may be, you know, a mental exploration as opposed to a  
24 calculation - whether there is a basis for thinking that whatever  
25 scaler that we have now, which is basically the 2000- what year  
26 was that study? '17? No, '18 study, or whether there's- this may  
27 have changed going back since we go back 40 years. And it maybe  
28 something that says "We look at this, but there's really no basis  
29 for saying one way or the other or whatever." But I think the  
30 question needs to be at least thought about. And if there is,  
31 something that comes out of that, then, you know- and you can take  
32 a guess at how it might change and, you know, try to incorporate  
33 that with whatever kind of analysis you can put in there to see  
34 how, you know, sensitivity analysis or whatever that would uh- see  
35 how- what kind of impact that might have.  
36  
37 **SHANNON CASS-CALAY:** So, I think we've beaten it to death  
38 sufficiently that, you know, we'll need to go ahead and describe  
39 what we intend to do, but we will create that random landing  
40 submodel that Erik discussed. And we'll bring it to the SSC for  
41 approval through some process, be that the next SSC meeting or an  
42 informal- you know, a one intercessionally set up by Council staff.  
43 So, I think we have what we need to move forward, and we can bring  
44 our response to your recommendations to the next meeting.  
45  
46 **RICHARD APPELDOORN:** Okay. JJ has a question on that, and, Todd,  
47 you also. Okay.  
48

1 **JUAN J. CRUZ MOTTA:** Yeah. Very short technical question. Perhaps  
2 Erik can answer that. For that random model, what will be the units  
3 that you will resample to build a new data series? Thank you.  
4

5 **ERIK H. WILLIAMS:** Yeah. So this is Erik. I mean, I think what  
6 we're talking about is starting- at least starting with this  
7 initial time series of landings we have now, and then working on  
8 adjustments off of that to then generate random landings time  
9 series that are all plausible. Seems like that's the logical  
10 starting place. Unless we do conclude that there is a clear- which  
11 it doesn't seem like from the discussions I've heard, a clear  
12 scaler that can be applied right now, and that should be our sort  
13 of central tendency if we want to call it that. It doesn't  
14 necessarily mean that this will be the central tendency, because,  
15 like I said, you just need a starting point and then you build off  
16 of that. And if the way to start is with the current time series  
17 that- and then build in a scaler that ranges from say one to two,  
18 that's perfectly fine as well. I mean, what'll end up happening if  
19 you do that and you may use say a uniform distribution on the  
20 scaler from one to two, then your central tendency will actually  
21 be one and a half as the scaler. You know, that's just basic  
22 statistics. So, I hope that helps and answers your question.  
23

24 **RICHARD APPELDOORN:** Okay. Any last thing- Kevin, you're looking  
25 right at me, so.  
26

27 **KEVIN MCCARTHY:** Yeah. I sure am. This is Kevin. So, I think we've  
28 got our first round of tasks, and I'm hearing this as a stepwise  
29 process. So given that we're clearly going to need to reshuffle  
30 the SEDAR schedule, right? Because until we solve this, there's no  
31 sense in going ahead with anything else not to mention staff  
32 availability, you know, the capacity of staff to handle all these  
33 things. So, what is the process for saying we need a delay in SEDAR  
34 84, which is the next one. That's Yellowtail and- Yellowtail  
35 Snapper and Stoplight Parrotfish, which is meant to begin  
36 Novemberish. And does that also impact the Spiny Lobster update.  
37 And remember this is an update of an already accepted stock  
38 assessment but does this exploration of the data at a very  
39 fundamental level change that as well? And therefore, we put the  
40 brakes on that. And then once we figure that out, I think what we  
41 need to do is have the Science Center team get together and come  
42 up with some estimates of how long it's going to take us to do  
43 this first phase of what's just been asked in this meeting for  
44 SEDAR 80. But we can get back with you on of the recommendations  
45 for that, but I need to know going forward what does the SSC think  
46 about- I mean, clearly, we need to delay 84. And what do we do  
47 about the update for 57 in light of all these fundamental  
48 questions?

1  
2 **TODD GEDAMKE:** Is this an SSC decision?  
3  
4 **RICHARD APPELDOORN:** The SSC would be making a recommendation to  
5 the Council on- and we could just say that in lieu of where we are  
6 in SEDAR 84, that's going to require more time and has thrown in  
7 some question about the nature of the data that the Council should  
8 recognize that this would most likely push back the SEDAR agenda.  
9  
10 **LIAJAY RIVERA GARCÍA:** You have Erik Williams raise hand.  
11  
12 **RICHARD APPELDOORN:** Wait- Erik, wait. Todd, you had a quick  
13 response?  
14  
15 **TODD GEDAMKE:** I was just going to say with the- Erik, just let me  
16 jump on the lobster real fast and then follow up. Shannon, am I  
17 right that lobster's not using the time series?  
18  
19 **SHANNON CASS-CALAY:** What?  
20  
21 **TODD GEDAMKE:** Is lobster- you mentioned the lobster's not using  
22 indices, or I was not part of that?  
23  
24 **SHANNON CASS-CALAY:** Lobster is actually an SS assessment SEDAR  
25 57. It was conducted with length frequency catch information, no  
26 index life history information. And so, it has OFLs and ABCs that  
27 were derived directly from stock synthesis. And unfortunately,  
28 that assessment model was determined year 2016. And the information  
29 we've received in 2017, '18, and '19 suggests that the landings  
30 are higher than the ACL. And so, if we update the stock assessment  
31 model, you will have an opportunity to reevaluate the OFL and ABC.  
32 If we don't update that stock assessment model, the agency will  
33 have to take action on the fact that the landings are higher than  
34 the ACL. So, that's the issue you face right now is that without  
35 that update, we can't adjust the OFLs and ABCs. But they should be  
36 adjusted because the model is now relatively old by stock  
37 assessment standards. It needs to be updated with the new  
38 information, which will give you a chance to potentially set OFL  
39 and ABC higher if warranted.  
40  
41 So that's the kind of problem we face is that we have an accepted  
42 model. We can update it. We could update the fishery management  
43 information, but it doesn't use the same approaches that we've  
44 just, you know, now decided that require additional thought. And  
45 so, you know, at the very least, we're going to have to put a halt  
46 or delay SEDAR 84. We could still do a strict update of the Spiny  
47 Lobster model and present it to you. I mean, it's a workload  
48 challenge, but it is something that can be done.

1  
2 **RICHARD APPELDOORN:** Okay. Erik.  
3  
4 **ERIK H. WILLIAMS:** Yeah. Thanks. this is Erik again. I think  
5 somebody mentioned it earlier, and I'm probably reiterating some  
6 of this. A lot of this is not really the purview of the SSC, in my  
7 opinion. I mean, we're charged with science, not SEDAR schedule.  
8 What we can say is how important this analysis might be not only  
9 for say Queen Triggerfish, but if some of the things that we get  
10 out of this spawn off or spin-off to impact other species, well,  
11 then it might have a higher importance in terms of the science  
12 that it produces. But ultimately, what is the priorities in terms  
13 of analysis? That's a management decision, and that's a Science  
14 Center negotiation with the managers. I don't think the SSC should  
15 be commenting on what we should or shouldn't be doing. Just  
16 prioritizing is really all we should be doing for the managers.  
17  
18 **RICHARD APPELDOORN:** True. But we can make the Council aware that  
19 this is something they need to address.  
20  
21 **MARCOS HANKE:** Okay. Yes. I have been on the SEDAR meetings and so  
22 on. And I want to highlight what Shannon just said that there is  
23 a workload, whether she recognized the importance of the lobster.  
24 At the beginning of this meeting, she stated that it was a  
25 different stage, a different process from the Triggerfish and the  
26 lobster. There are some differences in there. I really encourage  
27 you guys for the need of the lobster fishery in Puerto Rico that  
28 is extremely important resource that suffer many, many changes and  
29 many, many controversies over time to follow up on it. We cannot  
30 leave it hanging there for too long. And I really appreciate an  
31 extra effort not to leave it hanging, the lobster- the effort to  
32 address the lobster. Thank you.  
33  
34 **RICHARD APPELDOORN:** Thank you, Marcos. Todd.  
35  
36 **TODD GEDAMKE:** Marcos, good, good statement. I feel like there's  
37 an intense amount of pressure right now being put on. We're going  
38 to have to cancel this, and we're going to have to postpone this,  
39 and we're going to have to do this- that- our job is to basically  
40 evaluate this assessment right now. And I think that, that it's-  
41 Marco's jumping out of his seat over there going, "Well, don't  
42 hold off the lobster," that's- I mean, that's an immense amount of  
43 pressure. That's not what we're tasked to doing right here.  
44  
45 **MARCOS HANKE:** May I follow up on what I'm saying is the thing is  
46 that I feel the responsibility to give the sense to the body, what  
47 we hear from the fishing industry and as a Council dynamic, what  
48 we expect, and we are looking as priorities, right? The priority-

1 lobster is a main priority for the Council. And we have been  
2 involved on this for a long time. If it is a matter of just putting  
3 data there and seeing the output, because we have new data, like  
4 Shannon just mentioned, that is not a huge workload, let's not mix  
5 that with this process that you guys are doing to address future  
6 stock assessments that come up, the Queen Triggerfish, Queen  
7 Snapper and other species, right? I'm just, just asking this body  
8 to recognize the importance on doing something for the lobster  
9 first keeping the schedule and doing an extra effort to do that,  
10 so. And I would like to hear the opinion of the rest of the body.  
11 I'm pretty sure that Nelson and the rest here are in agreement  
12 with my statement. Thank you.

13  
14 **RICHARD APPELDOORN:** I think that what, you know, we- I don't have  
15 any problem with your statement. I think what the SSC is saying is  
16 that, that this is not an SSC call. It's a Council call, and you  
17 Chair the Council. So, I'm sure that the Council will treat that  
18 priority with the respect that it warrants and, you know and things  
19 will be adjusted accordingly to meet that. But that's not our  
20 decision at all.

21  
22 **LIAJAY RIVERA GARCÍA:** Raised hand from Doug Gregory.

23  
24 **RICHARD APPELDOORN:** Go ahead, Doug.

25  
26 **DOUGLAS GREGORY:** Thank you, Chair. I agree with Erik that the  
27 Council makes the management decisions, but my experience is that  
28 the Council usually wants to be informed by recommendations from  
29 the SSC. And maybe we can't weigh one approach against the other  
30 today, but we can maybe get prepared for the Council having to  
31 make that decision based on updated information from the center  
32 once they look at their schedules. And we could give the Chair the  
33 authority to share our preferences as we know it now. I think that,  
34 that way we'd be prepared in case the Council does want our opinion  
35 on this, but clearly, we don't make that decision. I agree with  
36 Erik on that. Thank you.

37  
38 **RICHARD APPELDOORN:** Okay. thank you, Doug. And, and maybe we will  
39 deal with that right at the end because there's going to be some  
40 discussion about who's going to report to the Council. It will not  
41 be me. I will be at travel. So, I would help put together that  
42 report, and we can agree about what we need to present to the  
43 Council at that time. You know, if there isn't anything else except  
44 for Michelle-

45  
46 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle Schärer. I just was  
47 wondering if there's any approach that can be taken with the

1 recreational data in this is Queen Triggerfish assessment, or if  
2 we just totally leave it out of the equation.

3  
4 **SHANNON CASS-CALAY:** So, Nancie did incorporate the recreational  
5 catch estimates, and you want to speak to that, Nancie?

6  
7 **NANCIE CUMMINGS:** No, you're good. I'm good.

8  
9  
10 **SHANNON CASS-CALAY:** Okay. So, essentially what she was able to do  
11 is look at the limited link composition data we have for the  
12 recreational series. And it was very similar to the commercial  
13 trap, correct? And so they're aggregated. The landings- the  
14 removals are aggregated with the commercial trap, but they are  
15 included in the stock assessment, both the recreational landings  
16 and the dead discards.

17  
18 **MICHELLE SCHÄRER-UMPIERRE:** Yes, I understand that. But the CVs in  
19 the recreational is the main concern as it's always been. So, I  
20 was just wondering if we want to address that or not.

21  
22 **TODD GEDAMKE:** It's a simple one Michelle, and, and yes, make the  
23 recommendation to include recreational and take a mean value in  
24 relation to the commercial landings and jack it up by 10%. I mean,  
25 this is what we're dealing with. We're not dealing with being able  
26 to take these [inaudible] values of 40,000 pounds one year and a  
27 pound the next year. Plugging that time series in is just  
28 neglecting our scientific responsibilities for evaluating the  
29 data. So that's an easy one to do, just kick it up that the  
30 proportion is- so what you have is competing scalers here or  
31 competing expansion factors where you- we're talking about coming  
32 down with one or another, but that's the parameter. How would you  
33 incorporate that? You just put a difference in that time series of  
34 removals, and that's really what this is removals. So, you're just  
35 trying to track that and adding that recreational, and it's not-  
36 it shouldn't be a problem. So, if someone make the recommendations,  
37 these guys going to need to know, do you think it's 5%, 10%, 20%?  
38 What is the exact number that we would like that range to be  
39 checked?

40  
41 **SHANNON CASS-CALAY:** So, may I, Rich? Thanks. This is Shannon. So,  
42 one thing just to be aware of though from the fisheries management  
43 side of the house is that whatever changes- adjustments that we  
44 make to calibrate the historical time series, you're going to have  
45 to make the same adjustments. When you monitor the ACLs, you cannot  
46 have two currencies where you create a stock assessment that gives  
47 you an OFL and ABC, and then turn around and monitor it in reported  
48 units with no adjustments. So, we'll just have to be very careful

1 in the way that's calculated. We don't create an apples and an  
2 oranges situation.  
3  
4 **RICHARD APPELDOORN:** Okay. I'm hoping we can close on this point  
5 then and try to get through some of those stuff that's left on our  
6 agenda, except, uh-  
7  
8 **TODD GEDAMKE:** Just a clarification, it may ease up on the center.  
9  
10 **GRACIELA GARCÍA-MOLINER:** Say your name please.  
11  
12 **TODD GEDAMKE:** Sorry. Todd. Shannon, you mentioned getting the  
13 time series model set up and bringing that back. I think that  
14 that's a pretty simple setup. I don't think we need to review the  
15 time series on that, the generation on that, but I-  
16  
17 **SHANNON CASS-CALAY:** I beg to differ because I want the SSC to  
18 bless the approach before we make the investment in all the coding  
19 that's going to be required to create this new approach. And so,  
20 I would very much appreciate the opportunity for the SSC to review  
21 it and say, "Yes, we'd like to see this. This looks like a useful  
22 exercise," or, "No, at this point, we want to abandon all hope,"  
23 [laughter] because it's a lot of workload to take on if there's  
24 not any willingness in the SSC to use the results that would be  
25 produced, ultimately.  
26  
27 **TODD GEDAMKE:** Maybe I'm missing something then, because aren't we  
28 talking about basically taking the values of the known time series  
29 using CVs or some other thing, and just literally generating time  
30 series out of that, the time series generation model. There's  
31 nothing- I mean, we could both code that up in Excel in a day. So,  
32 what, what-  
33  
34 **SHANNON CASS-CALAY:** Well, yeah, and then I'll bring it here with  
35 all the work that we did to actually generate the stock assessment  
36 models again, and we'll spend another day and a half throwing the  
37 landings under a bus. And so, you know, I don't want to commit the  
38 staff time until I'm much more certain that the SSC is satisfied  
39 that we're incorporating the scientific uncertainty and the  
40 landing history in a productive manner. It will not be perfect,  
41 but if it is deemed useful to produce management advice, then I  
42 think we can make the commitment to create all of this  
43 infrastructure that's needed to run all of these. I mean, we don't  
44 have- Erik Williams' shop uses a different stock assessment model  
45 that already has all this infrastructure associated with it. We  
46 have to build it in SS. It's not impossible. It's actually not-  
47 it's time-consuming. That's it. And I am not yet confident, to be  
48 honest, that we won't be in the same situation when we present

1 this work again that the argument will be we don't know the landing  
2 history well enough to use stock assessments. And I just don't  
3 want to waste six months or an eight months of several people's  
4 time and effort if it's not useful for management purposes.  
5

6 **TODD GEDAMKE:** I'm sorry. Six, eight months doing what?  
7

8 **GRACIELA GARCÍA-MOLINER:** Say your name.  
9

10 **TODD GEDAMKE:** It's Todd. Sorry.  
11

12 **SHANNON CASS-CALAY:** Six, eight months doing the actual MCBE, the  
13 development of that process, and running the model, rewriting the  
14 reports, etcetera, etcetera.  
15

16 **TODD GEDAMKE:** Okay. So- this is Todd again. I apologize because  
17 I thought you had said take the model of the time series and bring  
18 that back to us and then have us review that, and then you go back.  
19 So that was the step I thought you were suggesting bringing back.  
20 Just that one piece. And then the six to eight months being after  
21 we vet?  
22

23 **SHANNON CASS-CALAY:** After we- after you vet the approach we are  
24 proposing to take to incorporate the scientific uncertainty in  
25 landings.  
26

27 **TODD GEDAMKE:** I vet it. [laughter]  
28

29 **SHANNON CASS-CALAY:** If you want to vet it now and just say you  
30 trust the Science Center to do something logical, you know, but  
31 I'm not- I'd like to see a vote on that.  
32

33 **RICHARD APPELDOORN:** I don't think we need a vote. I would agree  
34 with you that it would be much more productive to have that  
35 conversation early, and you can go forward in peace rather than  
36 having a, a cloud over the whole process that, you know, shows up  
37 at the end. That's just not a productive way of doing things.  
38 Kevin.  
39

40 **KEVIN MCCARTHY:** Right. I heard early on this was a multi-stage  
41 process, and I'd like to keep it that way. And step one is let's  
42 get to the point where we've got inputs for the model, the model  
43 not yet run, and we vet those. So as Shannon said, we're not right  
44 back in this same thing, same conversation in whatever time it  
45 takes. And we'll let you know about that and beating up on the  
46 landings again, and stuck. I'd like to proceed in a very methodical  
47 way. And first step is getting- got- getting buy-in from the SSC

1 on all of the inputs and how we're approaching the process. So,  
2 I'd like to do that.

3  
4 **RICHARD APPELDOORN:** So, with that, can we then move on to the  
5 next item agenda, which would be Kevin again? But actually, you  
6 know, we don't have a lot of time left relative to the things on  
7 the agenda. So, I would like to know- well, either people really  
8 speed up, you know, if you have just a short presentation or should  
9 we be trying to cut a few things out to make sure we get to really  
10 important things, which I would have the AM Trigger for Spiny  
11 Lobster, one of them.

12  
13 **GRACIELA GARCÍA-MOLINER:** So, this is Graciela. You have two items-  
14 you had two items in other business but the [inaudible] for SEDAR  
15 84 is scratch. So, you'll recommend to the Council that you are  
16 delaying SEDAR 84, correct?

17  
18 **RICHARD APPELDOORN:** We are pointing up to the Council that that's  
19 a likely thing that they may make a decision on. Yeah.

20  
21 **GRACIELA GARCÍA-MOLINER:** Okay. So, you also have- and this  
22 something that since the research priorities are very important,  
23 but you don't have, except for that that you proceed to do the 10  
24 point or so presented to the Council. One solution to that might  
25 be we're working on the implementation of the Council strategic  
26 plan. The Science Center has a, a strategic plan. So probably the  
27 best approach for this would be to bring in the comparison between  
28 the two strategic plans and see where they meet in terms of  
29 practical, items that we can bring forth. That might be one  
30 solution. And then you should proceed with the other information,  
31 presentations that you have, the outreach and education, which has  
32 been doing quite a bit of a note-taking because of your discussion  
33 here and what needs to be presented to the public, and, the very  
34 short presentations on the lobster AMs and the island base FMP. So  
35 how do you want to change the agenda in terms of that? And the  
36 other business that you have is the charter request of the SSC  
37 from the Council. Did I miss any?

38  
39 **RICHARD APPELDOORN:** What's the what?

40  
41 **GRACIELA GARCÍA-MOLINER:** The charter for the SSC, what is the  
42 SSC- that item of agenda that you have in the- that was added  
43 yesterday? Ah you have the national SSC, the update for the  
44 upcoming presentation. Sorry. I forgot about that.

45  
46 **RICHARD APPELDOORN:** Oh, yes. If they can be done quickly, I'd  
47 like to get the SEDAR stock assessment matrix presentation from  
48 Kevin. And then I certainly want to see the Spiny Lobster thing.

1 So these are things that the SCC needs to deal with to the degree  
2 that the Science Center update is going to give us information  
3 that we need to deal with. We can have that. Otherwise, it could  
4 be postponed to next meeting and the same thing with the island-  
5 based fishery management plan and updates. So, if I'm not hearing  
6 any opposition, I ask Kevin to go ahead and quickly give something  
7 on the matrix.

8

9 **SEDAR-Stock Assessment Matrix-Kevin McCarthy, SEFSC**

10

11 **KEVIN MCCARTHY:** Thanks, Rich. This is Kevin. So I'm actually going  
12 to turn this over to Stephanie Martínez Rivera, and she's going to  
13 give the presentation on the data, matrixing data triage as we  
14 would call it. she's got a, a few slides. I think it's a reasonably  
15 quick presentation to let you know how we're proceeding with that.  
16 So, I will turn it over to Stephanie who's member of the Caribbean  
17 Fisheries branch. Yeah, I hope Stephanie's on the call. She was  
18 earlier. Thanks, Steph.

19

20 **STEPHANIE MARTÍNEZ RIVERA:** Yes. Good afternoon. Can you hear me?

21

22 **KEVIN MCCARTHY:** Yes.

23

24 **GRACIELA GARCÍA-MOLINER:** Yes.

25

26 **LIAJAY RIVERA GARCÍA:** Yes.

27

28 **STEPHANIE MARTÍNEZ RIVERA:** Perfect. Okay. Good afternoon,  
29 everybody. I'm Stephanie Martínez Rivera. I'm a fisheries  
30 biologist for the Caribbean Fisheries branch of the Southeast  
31 Fishery Science Center. And today I will be presenting the update  
32 of the stock assessment matrix project.

33

34 Next slide, please.

35

36 So, I wanted to start with a little bit of background. The branch  
37 has been working on these projects in January 2022, and we  
38 developed a preliminary data triage table to gather all the  
39 information available for some species. And after that first data  
40 triage table, we did a reassessment of the project to improve the  
41 process. So, with that, the purpose of this project is to develop  
42 a standard process to prioritize the species that we recommend for  
43 a SEDAR stock assessment. The objectives are to identify the  
44 federally managed pieces that have enough data to attend the stock  
45 assessment. But also, we want to identify those pieces that will  
46 benefit from additional research and data collection in order to  
47 attempt a stock assessment later in, in the following years.

48

1 This project, I think I mentioned before, will focus on federally  
2 managed species. So, we use the fishery management plan for each  
3 island to get the list of species. Then these species are divided  
4 into groups fish, lobster, and conch. And we started looking at  
5 the fish group where the species are divided by stock complex.  
6 Some of the stocks are single species and some have multiple  
7 species. And then in some of these stocks, you have indicator  
8 species. So, we use this information to prioritize the species for  
9 the data triage table.

10

11 Next slide, please.

12

13 So after that, we identify some data sources that will provide the  
14 data requirements for a stock assessment. So first, we have- or we  
15 need abundance information. And for that we can use fishery  
16 independent survey, such as the reef visual census survey, and we  
17 can also use catch rate from fishers from example, commercial  
18 logbook data. Then we need biological information such as size  
19 composition from the TIP database. We also need like history  
20 parameters, such as maturity, age, growth, and others. And lastly,  
21 we have catch information. This includes commercial and  
22 recreational landings. And for that, we have at least the self-  
23 reporting logbook data. In addition to the information, we also  
24 need several years for all this data in order to attempt a stock  
25 assessment. So, the time series are also important in this project.

26

27 Next slide, please.

28

29 Okay. Here we go. So, after that, we develop an outline of the  
30 process and how we're going to move forward with the project. So,  
31 phase one is to organize how we add the species to the data triage  
32 table. So, we divided the species into four groups: Group A, those  
33 are indicators species, Group B, not indicators species in a single  
34 species stock, then we have Group C, which are species in a multi-  
35 species stock, but doesn't have an indicator species in their  
36 group, and Group D not indicator species in a stock with an  
37 indicator species. After that, we're going to move to phase two,  
38 which is to gather and add information to the table. We're going  
39 to start with looking at the catch information like the commercial  
40 self-report and logbook. After that, we're going to add the  
41 biological information, size comps, length comps, and life  
42 history. And lastly, we will add the abundance information  
43 available for the species. Then we moved to phase three where we  
44 going to do, we are going to conduct further research so we can  
45 focus on each species, and we can look into the special  
46 distribution of the data. We can look at the quality and quantity  
47 of the data. And also, we can start looking at any issues, concerns  
48 that are species-specific. After that, we are going to go- we're

1 going to move to phase four, which is develop the matrix. And with  
2 the purpose that at the end, we can get the list of species that  
3 we want to recommend to attempt the stock assessment and also get  
4 the list of species that need more research and more data  
5 collection in order to attempt a stock assessment.

6

7 Next slide, please.

8

9 So where are we right now in this process? Well, right now we are  
10 in Phase Two A using the Group A, which was the indicators species.  
11 So, this is an example of the data triage table. The species are  
12 listed by island and the stock complex, then we identify if the  
13 species are indicators species, or if they belong to a single  
14 species stock. So, at the end, after we complete the table, we can  
15 filter by those columns. After that we have the data available for  
16 each species. And here we are looking at the commercial landings.  
17 So, we are looking at total pounds, how many years of data the  
18 minimum and maximum year of the landings. And then per data  
19 category, we are going to add a rank column that we will use at  
20 the end to score the species. So right now, in this example, the  
21 rank means the top landed species. So, we're going to do this like  
22 explain by islands and then adding the species by each group.

23

24 Next slide, please.

25

26 So here we have an example of what the matrix would look like, and  
27 we will provide a score for each data category - so those are the  
28 columns - by each species, and the species are the rows. So, in  
29 this case, just for an example, we can look at species number two,  
30 and that species would be a recommended species to attend a stock  
31 assessment because we have available data. However, species number  
32 one will be recommended to get more data collection in the life  
33 history category. And then species number three would be  
34 recommended for future research because it's lacking, you know,  
35 enough information for this stock assessment.

36

37 Next slide, please.

38

39 Okay. Thank you. Okay. The next steps for the project will be  
40 identify more data sources to get biological and abundance  
41 information for each species. We also need to complete the data  
42 triage table for Group A species. And then, we also need to develop  
43 the matrix scoring system, and that's what we're going to use the  
44 ranking columns. At the end, we still need to develop how we're  
45 going to score them. After that, we want to develop a program to  
46 automate the data triage table so it can be frequently updated  
47 using the information from the Caribbean Research Inventory that  
48 Rachel has been working on.

1 Next slide.  
2  
3 And that concludes my presentation. Thank you for listening. And  
4 I will take any questions now.  
5  
6 **RICHARD APPELDOORN:** Any questions for Stephanie? So apparently  
7 you were crystal clear, so thank you very much, Stephanie. There  
8 are no questions.  
9  
10 **STEPHANIE MARTÍNEZ RIVERA:** Thank you.  
11  
12 **GRACIELA GARCÍA-MOLINER:** Graciela here. The Spiny Lobster AM. So,  
13 Sarah, are you online?  
14  
15 **RICHARD APPELDOORN:** Yes, I'd like to go to the Spiny Lobster AM.  
16  
17 **SARAH STEPHENSON:** Hi. Yes, this is Sarah Stephenson. I'm here.  
18 Can you hear me?  
19  
20 **GRACIELA GARCÍA-MOLINER:** Yes. Thank you.  
21  
22 **AM triggered for spiny lobster in Puerto Rico: July 12-September**  
23 **30 2022 EEZ closure**  
24  
25 **SARAH STEPHENSON:** Okay. I believe you have the pres- Oh, perfect.  
26 Okay. I'm going to try to go fast. This is just to give you an  
27 update of the- we implemented an accountability measure closure  
28 this year for the Puerto Rico Spiny Lobster stock. So, I was just  
29 going to explain how that happened.  
30  
31 Next, please.  
32  
33 At the beginning of the year, we usually compare landings to the  
34 ACLs, and at the beginning- whoop, at the beginning of 2022 the  
35 new FPMs, the island-based FPMs were not in place yet. They had  
36 been-  
37  
38 **LIAJAY RIVERA GARCÍA:** Hold on, Sarah. It seems like it has an  
39 automated transition, so I'll have to figure it out how to stop  
40 that.  
41  
42 **SARAH STEPHENSON:** Oh, sure. Yeah, I believe it did that to me  
43 last time.  
44  
45 **LIAJAY RIVERA GARCÍA:** Is it that one? Oh, no.  
46  
47 **SARAH STEPHENSON:** I think it's the one before that.  
48

1 **LIAJAY RIVERA GARCÍA:** Okay.  
2  
3 **SARAH STEPHENSON:** So it was two before that.  
4  
5 **LIAJAY RIVERA GARCÍA:** Okay.  
6  
7 **SARAH STEPHENSON:** Then- yeah, this next one.  
8  
9 **LIAJAY RIVERA GARCÍA:** Okay.  
10  
11 **SARAH STEPHENSON:** As I was saying, the island-based FMPs were  
12 approved by the secretary, but they haven't been implemented in  
13 the regulations yet. So, at the time that we did ACL monitoring,  
14 the regulations that were in place were the ACLs that were set  
15 under the Spiny Lobster FMP, and the AM process under that FMP  
16 says that we look at the most recent three-year average, and we  
17 compare that to the ACL, which is in place, which was the one that  
18 was set under that amendment to that FMP. So, the available  
19 landings at the time that we did this monitoring process for Puerto  
20 Rico were the years 2017 to 2019 and for the U.S.V.I. was 2018 to  
21 2020. There is a clause that says the AM would not be applied if  
22 the Science Center determines that data collection or monitoring  
23 efforts improved. And then if NMFS determines that that overage  
24 resulted from increased catch rather than from improved data  
25 collection, an AM would be applied. And the process for applying  
26 the AM just reduces the fishing season for the stock by the amount  
27 necessary to prevent landings from exceeding the ACL again. And  
28 then the required fishing season reduction- it works backwards in  
29 the year, so it starts on September 30th and moves earlier toward  
30 the year.  
31  
32 Next slide, please.  
33  
34 So based on those landings no AMs were Triggered and thus no AMs  
35 were applied for Saint Thomas/Saint John, or for Saint Croix. but  
36 based on the 2017 to 2019 average landings for Puerto Rico, the  
37 Spiny Lobster stock exceeded its ACL by a little over a 100,000  
38 pounds. And so, the fishing season reduction that was applied for  
39 federal waters is July 12th through September 30th. The season  
40 will open again in federal waters on October 1st. State waters  
41 remained open during this time.  
42  
43 Next, please.  
44  
45 The ACL monitoring under the island-based FMPs, which we have the  
46 final rule, we've completed the proposed rule process. The final  
47 rule is expected to be implemented soon. It's in with GC being  
48 reviewed so the monitoring process under the island-based FMPs

1 will use a spin up of landings in comparison to the ACL. So, it  
2 uses a single year of landings followed by the subsequent single  
3 year of landings followed by a two-year average of landings  
4 followed by a three-year average landings, and then thereafter a  
5 moving three year. So, we'll just be for- if the FMP is effective  
6 for next year, we would compare the single year of landings that  
7 are available to the ACLs. As specified in the FMPs the regional  
8 administrator in consultation with the Council can deviate from  
9 those specific time sequences. So, the specific years that were  
10 listed in the FMP as listed on this slide are expected to be  
11 updated to reflect more recent landings. So, we wouldn't start  
12 with a single year of landings from 2018. We would start with  
13 whatever's available at the time of implementation.

14

15 Next slide, please.

16

17 This group worked on an amendment based on the SEDAR 57 Stock  
18 Assessment. And that amendment is also being- the regulations for  
19 that are being developed. we expect a proposed rule soon to go  
20 out, which will have a comment period. So, in that amendment, we  
21 updated management reference points for Spiny Lobster based on the  
22 stock assessment and application of the controls, the Council's  
23 acceptable biological catch control rule that was included in each  
24 new island-based FMP. We also are going to revise the AM Trigger  
25 for Spiny Lobster stocks. So, it won't use that spin-up process.  
26 It will use just straight three-year average of landings. So just  
27 so you know the status on that amendment, since you did work on  
28 it, help work on it, the Council took final action in August of  
29 last year and were preparing those proposed rule and associated  
30 rulemaking documents.

31

32 Next slide, please.

33

34 And just as a quick refresher to actions in the amendment, the  
35 action one which modifies the Spiny Lobster OFLs and ABCs you  
36 worked with the Science Center to develop those OFL projections,  
37 and you- the SSC recommended both a constant catch approach and a  
38 variable catch approach. And you recommended those to the Council,  
39 and the Council selected as their preferred, the constant catch  
40 approach. So that means that for years 2021 to 2023, which is what  
41 the projections were from the Science Center and the assessment a  
42 constant value for both OFL and ABCs, and then the Council set a  
43 constant ACL from those values. You also, as the SSC put a reduced  
44 value in place for years 2024 and later in the event that an  
45 updated assessment to that SEDAR 57 stock assessment and the  
46 subsequent rulemaking that would be required were not in place in  
47 time. So that's what the second row, the 2024 plus is for. So, you  
48 can see that there's a constant value for each of the OFL and ABC

1 values for the years 2021 to 2023. And then there's a little bit  
2 of a drop for 2024 and forward. So, this is a table straight from  
3 the amendment. That's available if you would like it. Just let me  
4 know, and I can- I can get it to you.

5  
6 Next slide shows the ACLs that were set from those values. So,  
7 the, the same thing. You have a set ACL value for three-year  
8 period, and then another one set for 2024 and later until we can  
9 get the updated assessment from the Center accepted by you,  
10 recommended to the Council, and then put through a subsequent  
11 amendment for rulemaking. So, this is what we will monitor to once  
12 the amendment is effective, and they will basically overwrite the  
13 ACLs that are in the island-based FMPs.

14  
15 Next, please.

16  
17 The second action in the amendment as I mentioned, is just going  
18 to change the Trigger for- so the, the years of landings used in  
19 comparison to the ACL. So instead of that spin-up process, that  
20 protracted spin-up process, we're going to just use the three  
21 years- the most recent three years of landings to evaluate whether  
22 an AM is Triggered. So, an AM would be Triggered if average  
23 landings exceeded average ACLs that are in place during those years  
24 and then of course, similarly before the years of landings can be  
25 used to account for best scientific information available, for  
26 instance, if we get updated assessments or such.

27  
28 Next slide, please.

29  
30 So just quick next step so you know, as I mentioned, we will  
31 hopefully have a proposed rule with, up to headquarters and an  
32 open public comment period soon. There will be a fishery bulletin  
33 that goes out that's announces that. the Science Center, as they  
34 mentioned, are developing updated OFLs and ABC projections using  
35 that SEDAR 57 assessment model which I believe Shannon said will  
36 hopefully be to the SSC to review later in the year Novemberish.  
37 And then the Science Center data branches working with Puerto Rico  
38 DNER to get commercial landings from 2020 and later. I don't know  
39 if you know, but there was a little bit of a delay due to the  
40 implementation of an e-reporting system. So that's why back at the  
41 beginning when I said that the years that were available, that's  
42 why Puerto Rico didn't have 2020 landings data, commercial landings  
43 data available. So, the data branch gives us updates as to what  
44 landings are available. And I believe that's my last slide. So are  
45 there any questions?

46  
47 **Discussion**

48

1 **RICHARD APPELDOORN:** Thank you, Sarah. I'm not seeing any hands  
2 up, so yes Nelson.

3  
4 **NELSON CRESPO:** Yeah. Thank you, Mr. Chair. I think we have a  
5 problem here regarding the numbers. First NOAA [enforcement?]  
6 already have knowledge of what is being entered legal lobster from  
7 the island to Puerto Rico. And they are reporter here on the trip  
8 tickets. This is under investigation according to the info we have.  
9 NOAA knows there is something wrong, but they don't have the  
10 necessary staff to attend this issue. Also, DNR either with only  
11 two port samplers nine to five for the whole island is, so they  
12 don't have enough data, you know, or enough personnel to support  
13 the accuracy of the landings. So, I think that we have a great  
14 opportunity to involve the commercial fisherman that are  
15 interesting to cooperate and try to create a group of commercial  
16 fisherman port samplers. If that fisherman's- you can training  
17 well. They can know, you know, how to manage the product, bring  
18 the information that you really need like, for example, the project  
19 that Todd and us, we are doing- you know, taking picture from the  
20 lobsters or maybe something more simple is going to help us to  
21 attend the issue of running over the ACLs, because I'm pretty  
22 confident that most of this data is not true, that the DNR of, of  
23 Puerto Rico is providing to you.

24  
25 **RICHARD APPELDOORN:** Nelson, you said that they're aware of this  
26 problem?

27  
28 **NELSON CRESPO:** Yes.

29  
30 **RICHARD APPELDOORN:** Okay. Because obviously someone has made a  
31 decision that the overrun is real, and it doesn't sound like  
32 they've at least responded to your concerns about that. And you  
33 look at the overage, it's a 30% increase in what the ACL is. And  
34 we set the ACL pretty high to begin with. So, you know, you have  
35 to ask whether this is something that the fishery has the  
36 capability of actually doing in that kind of short term. But this  
37 has not been presented to the SSC, so, I would share your concerns.

38  
39 **GRACIELA GARCÍA-MOLINER:** The regional office actually wrote to  
40 the secretary of the Department of National and Environmental  
41 Resources requesting further information because we are missing  
42 that percentage of the landings that are part of the e-reporting.  
43 Science Center has been trying to incorporate that data into the  
44 actual landings information, but we are behind. And actually, if  
45 those data are included, it covers about 20 to 30 percent of the  
46 additional landings that, that they would be reporting for Puerto  
47 Rico. So, it's a very serious, but it's an ongoing solution that  
48 we're trying to find, to incorporate, that information into the

1 landing. So, you know, it goes back to- right now, it's a head-on  
2 collision between the update for the Spiny Lobster, the  
3 accountability measures that just went into effect in the EEZ only,  
4 but still that it's- you know, it impacts the livelihood of the  
5 fishers and basically shifts the fishery for Spiny Lobster in the  
6 area. So, we are at a very specific crossroads. And this is the  
7 main- or one of the main fisheries in the EEZ in Puerto Rico.

8  
9 I think María or Sarah can answer. I don't think that they've  
10 received a response from the DNER. There have been some changes,  
11 on those that are the heads of the DNER. So, I don't know what the  
12 status of that is, but yes, we've been made aware of the many  
13 situations with the Spiny Lobster. Thank you. That was Graciela  
14 talking.

15  
16 **RICHARD APPELDOORN:** Yeah, but the closure went into effect.

17  
18 **GRACIELA GARCÍA-MOLINER:** July 12th, and it will go on until  
19 September 30th this year in the EEZ around Puerto Rico. So,  
20 basically, the west coast, any Spiny Lobster fishery that was off  
21 in, you know, well for traps, around Tourmaline and, you know,  
22 Boya 4 or someplace like that, that's closed.

23  
24 **RICHARD APPELDOORN:** But that was done even though there's an  
25 outstanding question of the reliability of the data contributing  
26 to that.

27  
28 **GRACIELA GARCÍA-MOLINER:** Well, the accountability measure are  
29 written the way they are so that we keep track and monitor what we  
30 can. That information comes into the Science Center, goes to the  
31 regional office, regional office, the re-regulatory agency, and  
32 they have to act. So, we've talked, and we discussed the issues  
33 with the Spiny Lobster. We requested additional information to see  
34 if there is anything else that could be done. There are a number  
35 of studies that are going on regarding selectivity, regarding  
36 differences in the fisheries, etcetera. But at this stage, you  
37 know, the AMs had to be- were Triggered.

38  
39 **LIAJAY RIVERA GARCÍA:** Nelson was first but María López has a  
40 raised hand.

41  
42 **RICHARD APPELDOORN:** Yeah. María, go ahead, because Nelson's in  
43 conversation.

44  
45 **MARÍA LÓPEZ-MERCER:** Okay. Thank you. So this is María López with  
46 NOAA Fisheries SERO So yeah that is correct, Graciela. So, I mean,  
47 we do have a mandate to monitor the ACLs, as Sarah said. And when  
48 we monitor these ACLs every year, if there's an overage, then we

1 have to implement accountability measures, and we use the  
2 information that we have available, right, and that information  
3 has been provided by the DNER to the Science Center. And, you know,  
4 we made those determinations based on the process that, that Sarah  
5 explained before. Now, obviously, we were trying to obtain the  
6 most recent information. We was 2020 for Puerto Rico, but that was  
7 impossible for the issues that Graciela mentioned. We have been  
8 dealing with this for a while, and I appreciate all the Science  
9 Center's steps toward getting that information. But unfortunately,  
10 we didn't get that information by the time that we needed to make  
11 a determination. Now, with that said, we used the information from  
12 the most available- most recent available years, which is 2017,  
13 2019, and show that average.

14  
15 Now for- when we make this determination in our office, we also  
16 communicated, we send a correspondence to the secretary of the  
17 DNER, explaining that we were going to close the fishery for the  
18 reasons that I just said. And then we're also requesting  
19 compatibility of a closure to state waters because, you know,  
20 obviously there is an understanding that most of the harvest of  
21 Spiny Lobster occurs in state waters. At this time, we didn't  
22 receive- we have not received any communication back from the DNER.  
23 However, I want to note that during the next Council meeting, we  
24 will- that this will be one of the topics, and maybe there will be  
25 an opportunity to provide a little more information. And just to  
26 reiterate, I mean, we monitor with information we have available.  
27 And of course, if there's additional information that the DNER has  
28 or information that comes from all the projects that are being  
29 done to enhance the data collection that we have with the- all of  
30 that is absolutely well received because, you know, that's the  
31 purpose. But so far, this is what we have right now. And we have  
32 a mandate to, you know, to close the fishery. The landings are  
33 exceeded. Thanks.

34  
35 **RICHARD APPELDOORN:** All right. Thank you. Nelson, you have a- Or  
36 one of you.

37  
38 **MARCOS HANKE:** Just a follow up when María says- this is Marcos  
39 Hanke. I was speaking to Nelson. The fishermen are asking how they  
40 can support you guys with information that is lacking. Information  
41 that is emergency information, things that are needed now. We are  
42 going to still stumble on the DNR roadblock or information that  
43 never gets to us or is too late or is deficient. We have been  
44 spend-spending two days over that hump. And the fishermen, the  
45 industry, are requesting the support from the Science Center, from  
46 the SSC, whoever, to design a sampling protocol or something for  
47 a subsample team, a group of fishermen that have the ability and  
48 the desire to collaborate with the process to provide this

1 information. For me, that's a no-brainer. I just want to highlight  
2 that because looking from outside and going to the Council meeting,  
3 I want this group to know how this step is so important for the  
4 Council process and- Nelson?

5  
6 **NELSON CRESPO:** If you let me Mr. Chair, I just want to add.

7  
8 **GRACIELA GARCÍA-MOLINER:** Name? Say your name.

9  
10 **NELSON CRESPO:** Nelson Crespo. Don't misunderstand me that we at  
11 the Council, for certain species, we want compatibility  
12 regulations in the future, but that have to be, you know, on a way  
13 that is well done. With everything we have now, I don't think- we  
14 cannot go through compatibility regulation because it's going to  
15 be unfair to the fishermen. In this scenario right now, this does  
16 not affect me in the west coast of Puerto Rico, the closure from  
17 the lobster, but from the people of Fajardo, they're going to get  
18 a big hit. So that is very important to determining how we are  
19 going to collect the information. How we are going to, you know,  
20 clean all the data we got in order to do, you know, a better or to  
21 reduce the uncertainty we have right now.

22  
23 **JORGE R. GARCÍA-SAIS:** ¿Pero por qué?

24  
25 **NELSON CRESPO:** Because in the west coast of Puerto Rico, the most  
26 of the lobster fishery is in the coast around the coast. But the  
27 people from Fajardo, they're fishing more away from the nine miles  
28 from shore.

29  
30 **JORGE R. GARCÍA-SAIS:** But what María is saying is precisely that  
31 they are looking for DNER to support the enforcement to be done  
32 across the- state waters as well.

33  
34 **NELSON CRESPO:** We have an enforcement.

35  
36 **JULIAN MAGRAS:** Julian Magras for the record. They- you know, I've  
37 been watching the lobster fishery for Puerto Rico for a very long  
38 time. And over the last six years, they have overran the ACLs five  
39 times. So, what that is telling me is that there are a lot of  
40 animals out there. And I strongly believe that some assessments  
41 and some studies need to be done once again to see if this fishery  
42 can handle a higher ACL than what was given to them. I know we  
43 pounded this to death a few years back, and the numbers that was  
44 there was actually way larger than what was given to all the  
45 fishermen, both U.S.V.I. and Puerto Rico. And I don't think you  
46 would be harvesting the lobsters if they were not there. There are  
47 certain things that can be measures that can be put in place. And  
48 Nelson's been preaching this forever is to get rid of the trammel

1 nets that fishing the lobsters in shore. And the local government  
2 has not been supporting him in passing that rule. And I think that  
3 should be a recommendation that comes from this committee to the  
4 Council to put it on a record, to request from the local government  
5 to implement that. But, you know, to do compatibility right now in  
6 this process at this time, you're going to really, really hurt the  
7 economy and the fishers in Puerto Rico. I'm not saying that down  
8 the line that compatibility can't work, but to try to get it to  
9 work right now during this accountability measure that has just  
10 been implemented, I think it'll be detrimental. Thank you.

11  
12 **LIAJAY RIVERA GARCÍA:** You have a raised hand from María López.

13  
14 **RICHARD APPELDOORN:** María.

15  
16 **MARÍA LÓPEZ-MERCER:** Thank you. María López, NOAA Fisheries. And  
17 just- I just want to make the point that we need to remember that  
18 the ACLs and the monitoring, our sales, they are done with combined  
19 data from the state and federal waters, right? So, our mandate is  
20 to, you know, make sure that, you know, the resource is healthy.  
21 So, in the sense that we are close in the fishery, because the ACL  
22 is exceeded, then that request for compatible closure in state  
23 waters, which is something that is completely outside our  
24 jurisdiction, right - that's all you can do - comes from that  
25 because those landing- this is not exclusive to federal waters.  
26 This is something that is the ACL and the monitoring, and those  
27 landings come from both federal and state waters. And of course,  
28 you know, we all support anything that can be done to, I mean, we  
29 hear you. We- you know, fishers are saying that, you know, there's  
30 bigger lobster, and there's a lot of lobster, and there's a lot of  
31 things, but that's not what we have in our hands. So, it will be  
32 great if many efforts can be done to provide the information that  
33 is needed to continue collecting information for the lobster and  
34 see what it's doing, you know, like what the assessment did a  
35 couple of years ago. Thanks.

36  
37 **RICHARD APPELDOORN:** Thank you, María. it's 3:13. Can we just take  
38 a 10-minute break or 3:25, back at 3:25?

39  
40 (Whereupon, a brief recess was taken.)

41  
42 **RICHARD APPELDOORN:** So, we're trimming down the agenda  
43 substantially to try and give some time here to the discussion of  
44 the research priorities from the SSC. So that's going to be the  
45 next item. and do we have that list? Now, there was a list that  
46 was grouped into categories. Do you have that version?

47  
48 **LIAJAY RIVERA GARCÍA:** Pardon?

1  
2 **RICHARD APPELDOORN:** The one that's grouped into categories. It  
3 was in my presentation. Yes.

4  
5 **LIAJAY RIVERA GARCÍA:** That one?

6  
7 **Discussion: SSC Research Plan Recommendations to CFMC**  
8

9 **RICHARD APPELDOORN:** Oh yeah, but you can go straight to the next.  
10 That's just the intro- okay. So that's where we got actually  
11 started with the recommendations. So just to recap what we did in  
12 a very brief amount of time last time was that each- you know, I  
13 tasked everybody to name, - and I forget the exact number - three  
14 priorities that they each had. Sometimes it was more. Sometimes it  
15 was less. And we just got those on the screen and that was about  
16 as far as we got. They were grouped into a number of headings which  
17 were: improved landings data, collection of biological data for  
18 life history, effort estimation, EBFM, prepare for H2  
19 flexibilities, monitoring the surveys, socioeconomic data for  
20 management. And that last one included a couple of items that  
21 Tarsila gave to me because she was not at the meeting at that time.  
22 She had to sign off early. And so, since it is a list of just  
23 whatever we kind of came up with, I felt it was totally legitimate  
24 to have her give me those things to add in, even though it was  
25 after the meeting. So, there's no priority here in terms of how  
26 these are listed because we never got to that stage or priority.  
27 The only thing that was done was to group these into kind of  
28 subject headings.

29  
30 So this I think, having looked over this list, is a pretty good  
31 starting point, actually - the question then would be did we miss  
32 something important? There's always lots more that we would like  
33 to have. So, I'm not looking for adding things to this list unless  
34 we really miss something that is really important. Do we have too  
35 much here? Is another way of looking at that. Again, this was, you  
36 know, not quite everybody's wish list because it was limited to a  
37 number- just a couple of high-priority things for each person. But  
38 you know, can we cut this down? Should we cut this down? And then  
39 finally, we should try to prioritize as much as possible and maybe  
40 that's by bullet item, maybe that's by category. I don't know, but  
41 that's what we're here to discuss. We have about an hour and a  
42 half, which is more than we've had in the past. And so I don't  
43 know if you want to- we'll go through the list on the slides, and  
44 then we can talk about how we want to proceed, whether it's by-  
45 you know, within each group because that's how it's ordered on the  
46 slides, or whether you want to see the whole thing up there which  
47 would be hard to read, but technically possible. So let me just go  
48 through these, and then we'll cycle back to them.

1  
2 So under improved landings data, something we have been struggling  
3 with, obviously, we had analyzed the MER report for Puerto Rico  
4 landings, which should now not be called the MER report. To improve  
5 port sampling, to look at expansion factor estimation and  
6 application, and look at questions of generating length  
7 compositions, because there was a lot of data collected via  
8 photographs that can be used for that that has- I don't think been  
9 done, but it's available. So it would be a wealth of data that  
10 could go into the system. Second bullet on that was improved  
11 landing's data collection via digital tools. And we had a  
12 presentation last time about some of the digital tools that have  
13 been used in terms of not only just measuring species, but actually  
14 identifying species via machine learning to recognize species. and  
15 this would all improve the speed and accuracy of the catch analysis  
16 by port agents.

17  
18 Next one is evaluate digital formats for reporting and validate  
19 versus paper reporting. Right now, Puerto Rico, for example, is  
20 using both. And so, if we had some comparisons there, we could  
21 make some recommendations about how to move that forward and make  
22 things even better. The last one was a port study of landings in  
23 the Virgin Islands, which I think is already underway. So, hey,  
24 we've met one already.

25  
26 Next slide.

27  
28 The next subject area was collection of biological data for life  
29 history and population parameters. And the bullets there. Improved  
30 biological data collection via digital tools, again, sort of follow  
31 up on what we had in the first slide. And give timely  
32 prioritization of collection by species. Okay. And this is where  
33 I think the SEDAR matrix is going to be able to target those  
34 species. So, then we can say, okay, these are the species we want  
35 to have this life history information for specifically. And so  
36 that's the review and formalized stock prioritization process. So  
37 that's sort of ongoing too, I would guess. Yes, Kevin? Effort  
38 estimation was just the one bullet, develop alternative methods  
39 for estimating effort- or efforts as it's written.

40  
41 Next slide?

42  
43 A number of bullets coming out of EBFM evaluate the effectiveness  
44 and impact of closed areas. It's been a priority complaint among  
45 Council members for a long time. And so that's one research area.  
46 Develop habitat maps from existing NOS multibeam/LiDAR data, which  
47 would facilitate a lot of the- well, facilitate a lot of stuff.  
48 Review of status of spawning aggregations within closed areas,

1 evaluate the closed season relative to spawning seasons,  
2 investigate the functional ecology of our habitats and construct  
3 an electronic species habitat database. And you will all recall  
4 that we had very limited discussion about what some of these meant.  
5 And so, we could expand on that if people want.

6  
7 And there's another- next slide.

8  
9 Prepare for the (h)(2) flexibility. Again, this is the ability to  
10 use indicators, track indicators, to help assess whether stocks  
11 are increasing or decreasing. We had some discussion about that  
12 application under the still necessary requirement for ABCs and  
13 OFLs. But assuming that this is something that's coming, we should-  
14 it was to do the simulations to make- you know, that would allow  
15 us to say, "Okay, here's some really promising indicators that  
16 would help us here in the Caribbean."

17  
18 How to incorporate uncertainty into defining ABCs and OFLs. does  
19 that sound familiar from this morning? And again, collect life  
20 history information which would be necessary to put into those  
21 alternate approaches, especially length-based ones, which would  
22 need, you know, good growth history to ground those in quickly L-  
23 infinities. Monitoring and surveys. Monitoring program of fish  
24 populations in closed areas because otherwise they're not being  
25 assessed through fishing activities, because they're closed. An  
26 increase in cooperative fisheries-based surveys and train and  
27 delegate fishers for fisheries monitoring activities. I think this  
28 is the point that Nelson was making earlier Today.

29  
30 And I think there's one more slide.

31  
32 Socioeconomic data for management. Determine the economic values  
33 of fisheries that can be used in assessing benefits and costs of  
34 alternative management measures. Have periodic systematic  
35 collection of data to provide a baseline and comparative basis for  
36 social impact assessments. And research to assess and integrate  
37 local ecological knowledge into decision-making.

38  
39 So those are all the things we came up with last time. My quick  
40 count says there's 21 of those. A couple of those, as I mentioned,  
41 the study of landings in the Virgin Islands and the stock  
42 prioritization process are already underway. So that would take us  
43 under 20. Are we missing anything? Do we have too much? Maybe  
44 that's kind of the first start, unless somebody has a question on  
45 what a bullet actually means. In which case I'd ask the person who  
46 put that up there to expound on that. So, Michelle?

47

1 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle Schärer. The only  
2 thing I was wondering if when we're talking about landings, we're  
3 talking about commercial and recreational.

4

5 **RICHARD APPELDOORN:** Yes.

6

7 **GRACIELA GARCÍA-MOLINER:** So, to put the recreational fisheries-  
8 Graciela. Uh, ouch. [laughter] that's my punishment for having  
9 been bothering you with your name all day. To put the recreational  
10 fisheries in context, the Marine Recreational Information Program,  
11 MRIP, it's looking to revive the data collection in the U.S.  
12 Caribbean. So, the first conversations have to do with governance.  
13 And that's really on the local government's side of things of- you  
14 know, for example, the recreational fishing licenses and permits,  
15 etcetera. And the Virgin Islands already has a voluntary  
16 recreational fishing license in place that you can, you know, get  
17 for free via the internet. So, that effort's ongoing, but at this  
18 stage, I don't think that there is any actual recreational data  
19 being collected at all. So, after 2017, not in Puerto Rico and in  
20 the Virgin Islands, not since a long time ago. So, conversations  
21 are happening, but it really has a lot to do with the actual  
22 governance of the program within the local governments.

23

24 **JUAN J. CRUZ MOTTA:** Yeah, JJ here. I think that's very important  
25 to bring that to the list. I mean, not to be very specific about  
26 the recreational data, because as our preliminary findings on the  
27 conceptual models for the U.S. Caribbean shows that's one of the  
28 main concerns of fishers not represented in the DAPs is that one.  
29 That we don't know how much the recreational fishery is taken out  
30 of and how much is that contributing to total landings. Thank you.

31

32 **RICHARD APPELDOORN:** So are you recommending that we make a  
33 specific bullet or- because I don't see- when we talk about  
34 improved landings data collection via digital tools, that would  
35 certainly include recreational landings. But a separate bullet  
36 might be determine recreational landings.

37

38 **JUAN J. CRUZ MOTTA:** Yeah. Or perhaps just being explicit about  
39 the landings and recreational and- yeah, let's see, and commercial.  
40 I mean, because all the bullets below will apply also to the  
41 recreational company.

42

43 **RICHARD APPELDOORN:** So, you're saying just make the grouping  
44 improve commercial and recreational landings data?

45

46 **JUAN J. CRUZ MOTTA:** Yeah. yes.

47

1 **GRACIELA GARCÍA-MOLINER:** Well, Liajay it's getting to the bullet.  
2 Grisel Rodríguez from the Fisheries Research Lab is actually  
3 conducting some- she keeps track of the tournaments because by by  
4 law, you have to do that. You have to, tell NOAA when the  
5 tournaments are occurring, etcetera. But she's also doing some,  
6 Kevin will tell you.

7  
8 **KEVIN MCCARTHY:** This is Kevin. So, Grisel is getting started with  
9 a survey design project that's specifically going towards the  
10 recreational fleet in Puerto Rico. And in the U.S.V.I. DFW staff  
11 along with Science Center staff we're working on a survey design  
12 there, in the Virgin Islands, that would include commercial rec  
13 for hire, the whole works. So we've done effort surveys in- well,  
14 we- the DFW staff has done effort surveys in Saint Croix and Saint  
15 Thomas. They're working on Saint John. It's a bit of a challenge  
16 to get folks over there and do that work. And then they will begi-  
17 and they finish those initial effort site usage surveys building  
18 off of some work that had been done previously and updating it.  
19 And so those are complete, and they're going to start pilot surveys  
20 in Saint Croix and Saint Thomas in the very near future. So that's  
21 the update on what's happening there. And of course there's still  
22 work going on in Puerto Rico and on very specialized parts of the  
23 fishery. You know, the initial work had been done. And so, there's  
24 ongoing work to sort of whole fill some areas that needed  
25 additional work.

26  
27 Right. Oh, right, right. And JJ and Todd are going to be working  
28 with some students to help with that work. And we look forward to  
29 getting those folks hired pretty soon. You've got one identified,  
30 right, and on the lookout for a second.

31  
32 **GRACIELA GARCÍA-MOLINER:** You have to let Liajay know. You wanted  
33 separate bullet for the recreational information.

34  
35 **JUAN J. CRUZ MOTTA:** Or just be a specific that when we talk about  
36 improved landings, it includes recreational. That's all. I mean,  
37 it's-

38  
39 **RICHARD APPELDOORN:** So, the group title, would be, improved  
40 commercial and recreational landings data?

41  
42 **JUAN J. CRUZ MOTTA:** Yeah. That's it.

43  
44 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. And charter. And  
45 charter.

46  
47 **KEVIN MCCARTHY:** I'm sorry. I missed the question. This is Kevin.  
48 Oh, it wasn't directed at me. Thank you. Thank goodness.

1  
2 **RICHARD APPELDOORN:** Any other comments on items within this  
3 grouping? Michelle.  
4  
5 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. I think some of these  
6 may sound like not research, like sort of wish list. So maybe  
7 saying, you know, support, steps to improve support sampling, that  
8 type of language to make it sort of more specific.  
9  
10 **RICHARD APPELDOORN:** Well, the heading is just the grouping  
11 heading. It's the bullets underneath that are the research  
12 recommendations. Yes, Sennai.  
13  
14 **SENNAI HABTES:** Was that for me, Rich? Sorry, I couldn't hear you.  
15  
16 **RICHARD APPELDOORN:** Yeah. Did you have a hand up?  
17  
18 **SENNAI HABTES:** I did. Yeah. So, I just wanted to add that, although  
19 it's not part of the survey design for port sampling, the U.S.V.I.  
20 is- DFW is moving towards both electronic reporting for commercial  
21 landings as well as for recreational landings while we're designing  
22 the new rules and regulations for recreational fishing. And under  
23 that requirement, charter fishers will be required to submit  
24 logbooks and are going to be required to, you know, submit catch  
25 reports somewhere to the commercial fishers. That's an ongoing  
26 process because the infrastructure is not currently in place within  
27 the Virgin Islands, but we're working on identifying contractors  
28 to develop that. And in addition, I just make one comment regarding  
29 the research recommendations. I believe the Council could really  
30 benefit in particular from when you have recommendations that  
31 require more coordination with the territorial and local  
32 government agencies that you put specifics, meaning what outcomes  
33 that you request to see from those types of pro- like products  
34 and, and programs, because we currently do work fairly closely  
35 with the CFMC. You know, through a lot of the other technical  
36 panels with the exception possibly of the SSC, though. I'm always  
37 in attendance. I think the problem is there's a lot of nebulous  
38 recommendations regarding the type of work, research projects you  
39 would like the Council to fund within those jurisdictions. I think,  
40 you know, getting specifics from the SSC for the things that you'd  
41 like to see with actual outcomes listed would be very beneficial  
42 for the Council members. With that, I'll go back to being quiet.  
43  
44 **RICHARD APPELDOORN:** Yeah. Thank you, Sennai. Those were good  
45 suggestions. Along those lines, I mean, I was trying to kind of-  
46 had that when I was presenting some of the bullets in my first go  
47 round but we could add that kind of correction focus to the list  
48 here if we wanted to do that. But it would be something like when

1 we're talking about improved landing data collection via digital-  
2 via digital tools. You know, the desired outcome there is to  
3 increase the efficiency and speed of - what do you call it? - port  
4 sampling. Efficiency, speed, and accuracy of port sampling. Yeah,  
5 Michelle?

6  
7 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. Are we talking about  
8 here visualizing a port agent doing this, or is this specifically  
9 for the self-reporting part of the landings data? I'm not quite  
10 sure.

11  
12 **RICHARD APPELDOORN:** This is- um- it actually could be- let's just  
13 take what you put there out. Yes, it could be both because we  
14 discussed a number of things and that require a fair amount of  
15 research before you could actually implement them. So, we had a  
16 presentation last time about the kinds of tools that were being  
17 developed with the cameras and everything like that. But then you  
18 have to- you know, what's the best way to implement those to work  
19 with the fishers to, you know, get through the catch quickly and  
20 efficiently and hopefully more accurately. But there's also things  
21 that were talked about that are further into the future, but  
22 technically possible. I don't want to call these the big brother  
23 approaches. But, you know, there would be a camera that would be  
24 mounted on a boat if that would be possible. And as the catch came  
25 in, the camera would be recording it, and there would be software,  
26 artificial intelligence software, that would be saying, "Okay, you  
27 just caught these species of fish. Their sizes were this." And you  
28 come back in the port, and the data's all entered and whatnot. So  
29 there's obviously a lot of research would need to be done. I would  
30 think both technologically and sociologically in terms of the  
31 ethics of all this and whatnot to get that into a functional  
32 reporting system. So, there's, I think, a lot of research in a  
33 number of ways that digital tools could be used before they go  
34 forward. And some of the questions are going to be, should we do  
35 something like this or not? You know. Go ahead.

36  
37 **MICHELLE SCHÄRER-UMPIERRE:** Yeah, this is Michelle. I would add to  
38 that for the calculations of the correction factors. We need to  
39 improve that.

40  
41 **GRACIELA GARCÍA-MOLINER:** Would that be that bullet - this is  
42 Graciela - under expansion factor estimation and application?

43  
44 **RICHARD APPELDOORN:** Yes. Although that's specific to that report,  
45 but obviously, you know, the sub-bullet means this is where we  
46 want to be able to go with- in adopting a more rigorous  
47 statistically designed sampling program. And that's really what  
48 that study was about, you know. Where do you need to be? When do

1 you need to be there? How much effort do you have? You know, how  
2 long do you need to be there? Etcetera. In terms of the statistical  
3 design. Then the digital tools, now that you're there, how can you  
4 make the best of the time, your time, and minimize the fisherman's  
5 burden to get the information you need and get out of there?

6  
7 And so again it's specific to what that report is saying about  
8 how, in this case, Puerto Rico, can revamp their sampling protocols  
9 to get better estimates, statistically valid estimates, of what  
10 the catch is going to be. And again, with the length composition,  
11 we're talking about data that's already been collected, but not  
12 analyzed for those purposes, but it's there, and it's a lot of it.  
13 And so, those three sub-bullets are specific to that report. So,  
14 unless we, you know- we could go in and, like I said, under each  
15 sub-bullet say, "Okay, here's why we're targeting research for  
16 that." But I think that can get fairly lengthy, but that's okay.

17  
18 **GRACIELA GARCÍA-MOLINER:** But you- we discussed the possibility of  
19 procedural workshop for the expansion factor. You don't want to  
20 include that here?

21  
22 So, you know, you've discussed the possibility of a procedural  
23 workshop for the expansion factor, assign corrected landings,  
24 etcetera. I mean, that might be something that, you know, gets  
25 priority bullet after your discussion of the SEDAR 80. Outside the  
26 MER and outside everything else, just- yeah.

27  
28 **RICHARD APPELDOORN:** Well, the first bullet is addressing the fact  
29 that the study that was a research project. And the research was  
30 collecting the data to determine how we can improve the port  
31 sampling. Until that is analyzed and gotten to the next step, it  
32 still represents research that hasn't been done that it's needed.  
33 So that's independent of the points you're making, which are still  
34 valid.

35  
36 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. So, what I heard  
37 this morning is we might need to look at correction factors or  
38 expansion factors on a species-by-species basis, and that would  
39 improve our estimates moving forward. So, if the result of the  
40 analysis or other things that we need to know about- because this  
41 keeps being a bump in our road, and will continue to be forever,  
42 right, it appears. So, if it's quicker, more efficient, that's  
43 great. But is it more accurate and more precise? I think merits  
44 its own bullet.

45  
46 **RICHARD APPELDOORN:** Your bullet would be what?

47

1 **MICHELLE SCHÄRER-UMPIERRE:** Michelle again. Improving the  
2 correction factors or the expansion factors for our fishery.  
3  
4 **LIAJAY RIVERA GARCÍA:** Could you repeat, sorry, so I can write it  
5 down here?  
6  
7 **MICHELLE SCHÄRER-UMPIERRE:** Improving the expansion factors for  
8 Puerto Rico, I guess, because the U.S. Virgin Islands doesn't need  
9 them.  
10  
11 **RICHARD APPELDOORN:** By this, do you mean changing the way Puerto  
12 Rico calculates their expansion factors. Research that would lead  
13 to that, or- because the study that was done provide- you know,  
14 needs to be analyzed to see whether they would agree that the  
15 comparisons between- catches between reported landings in that  
16 study would indeed be a basis for calculating species-specific  
17 expansion factors, but that's a one-shot deal. You know, what we  
18 want to see in the not-too-distant future is a program implemented  
19 in Puerto Rico, and of course, following the same kind of studies  
20 in the Virgin Islands, where they're generating that level of data  
21 every year. And when you're doing it at that level every year, you  
22 will have your species-specific catches with estimates on the  
23 variabilities and everything like that. And maybe we don't even  
24 need expansion factors at that point, but. So, to me, that's all  
25 embedded in the first part. So, I'm asking you whether the second  
26 one is separate from that. As I said, you know, some different way  
27 that Puerto Rico is calculating their expectant factors now-  
28  
29 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. I'm not read up on  
30 the report that Nancie was mentioning of what had been done to  
31 evaluate the correction factors previously. But I think it would  
32 be in the interest of this committee to actually evaluate those-  
33 how they are collected, if they are sufficiently replicated, all  
34 these little details to have more confidence in that in the future.  
35  
36 **RICHARD APPELDOORN:** Well, this is very slow progress here.  
37  
38 **MICHELLE SCHÄRER-UMPIERRE:** Maybe the word is evaluate and not  
39 improve, the research is evaluated.  
40  
41 **RICHARD APPELDOORN:** Okay.  
42  
43 **JORGE R. GARCÍA-SAIS:** How about validate the applicability of  
44 expansion factors? I'm not sure anymore.  
45  
46 **MICHELLE SCHÄRER-UMPIERRE:** This is Michelle. The applicability is  
47 one thing, but I'm actually thinking more of the process of what

1 goes behind making that happen year to year and how that affects  
2 all our decisions and all our timing at this committee.  
3  
4 **RICHARD APPELDOORN:** So that would go back to the previous wording.  
5 Yeah. I don't think we should wordsmith this too far. I don't think  
6 we should- you know, we've just spent I don't know an enormous  
7 amount of time already, and we're just in the first grouping here.  
8 You know, we have 45 minutes left. So, I'd like to move on to the  
9 next group if that's okay. Julian.  
10  
11 **JULIAN MAGRAS:** Before you move on to the next group, since you're  
12 not going to discuss the other two items there, when we see  
13 initiate the MER style study for the U.S. Virgin Islands. Well,  
14 the Saint Thomas/Saint John fisherman have said for a long time  
15 that we would like to see at least 40 samples compared from that  
16 study to actual 40 samples of the regular port sampler sampling  
17 that same catch and see what the difference is. Because we don't  
18 use expansion factors. And I have seen- in two reports, I've seen  
19 two different set of numbers that can be up, can be down. Some of  
20 them can be very close when using the expansion factors for Puerto  
21 Rico. So, before we can move forward, I'm requesting that we do  
22 some kind of pilot study to see if that process actually is going  
23 to work the correct way moving forward.  
24  
25 **RICHARD APPELDOORN:** So, I understand that that process is already-  
26 Kevin says that study is- uh, is- no, in the Virgin Islands is-  
27  
28 **RICHARD APPELDOORN:** No, it's not.  
29  
30 **KEVIN MCCARTHY:** The pilot study is already done in Virgin Island.  
31  
32 **JULIAN MAGRAS:** Where was the pilot study done? Not in Saint  
33 Thomas/Saint John, because they never came to my fishing town to  
34 do anything. So, were we excluded? And, Sennai, at least, you're  
35 on the call. And, Nicole Greaux, you are in the call because we  
36 haven't seen any of these people down at the main fish and village  
37 in Frenchtown. So, wherever these studies are taking place, it  
38 would be nice to have included, number one, your DAP Chair, who's  
39 one of your top fishers. So, and the representative for Saint  
40 Thomas/Saint John, where was I when all of this was taking place?  
41 Because this would be a real insult to me. Why am I actually  
42 sitting here to discuss this if I'm not even purview to what's  
43 going on? And this has been a serious problem.  
44  
45 **RICHARD APPELDOORN:** Yeah. we're getting out of line.-  
46  
47 **JULIAN MAGRAS:** Yeah. All the landings [crosstalk]-  
48

1 **TODD GEDAMKE:** Julian, I just have to respond. If you would like,  
2 I can actually call up the number of times we sampled you in 2014.  
3  
4 **JULIAN MAGRAS:** Not with no cameras.  
5  
6 **TODD GEDAMKE:** Doesn't matter. This is a pilot study for landings,  
7 and this is also why you don't want MER in this stuff. It involves  
8 personal aspects.  
9  
10 **GRACIELA GARCÍA-MOLINER:** Sennai.  
11  
12 **TODD GEDAMKE:** It's already been done.  
13  
14 **LIAJAY RIVERA GARCÍA:** Raise hand from Sennai Habtes.  
15  
16 **RICHARD APPELDOORN:** Yeah. So, I'm going to reiterate a point that  
17 Kevin made is that survey is now- I don't know if it's actually  
18 underway, but it's been approved and is going to happen, or is  
19 already happening in the Virgin Islands to do the level of sampling  
20 comparable to what was done in Puerto Rico in 2018 plus. So, Sennai  
21 go ahead.  
22  
23 **SENNAI HABTES:** Thanks, Rich. Sennai Habtes for the record. So,  
24 Julian, the MER's pilot study was done in 2014, 2015. I was not  
25 with DPNR at the time. That was under our predecessor. It was a  
26 different director. I have seen the study. We have used the  
27 information from that study to inform the direction where we're  
28 going with the involvement of the SCFFC and meet regularly with  
29 Kevin. And when we get to the point where we will be implementing  
30 the new techniques, I can promise you, I will be reaching out to  
31 you. We will make sure that this study covers the spatial  
32 distribution to involve you with the port samples, as well as both  
33 Frenchtown, as many of the other ports, where fish come into the  
34 territory. When we get to the point where we have protocols written  
35 up to put into implementation, I will happily reach out to you,  
36 and we can sit down and discuss them prior to implementation.  
37  
38 **RICHARD APPELDOORN:** So, maybe it'd be helpful to well, put a  
39 little- a few little things. Well, yes, I'd like the  
40 recommendation.  
41  
42 **JUAN J. CRUZ MOTTA:** The NOAA Port Sampling Report.  
43  
44 **RICHARD APPELDOORN:** Okay. So, to edit this, we- in the first  
45 bullet there, MER is going to be replaced with NOAA Port Sampling.  
46  
47 **TODD GEDAMKE:** Richard, if I may, could you please leave that on  
48 there? Graciela has to add something to the record here, and it's

1 going to really be significant related to this comment. So, I will  
2 be abstaining from the rest of the day, and Graciela will read  
3 that into the record at some point in time, but I cannot be  
4 suggesting any comments related to MER right now. Thank you.  
5

6 **RICHARD APPELDOORN:** So I still want to change that language. Port  
7 sampling report. Yeah. Same change there.  
8

9 **JUAN J. CRUZ MOTTA:** You have that report at hand, right?  
10

11 **RICHARD APPELDOORN:** Yes.  
12

13 **TODD GEDAMKE:** I would just like it on the record right now that  
14 I am not suggesting any changes from MER to anything else until  
15 this is all cleared up.  
16

17 **RICHARD APPELDOORN:** So, noted. Thank you. So, what I'd like to do  
18 is under that first- or actually at the end of that first bullet  
19 add some kind of symbol indicating that, um-  
20

21 **GRACIELA GARCÍA-MOLINER:** Right there?  
22

23 **RICHARD APPELDOORN:** No. After landings. Yeah, I mean, we could  
24 just leave it with that because that's something that Kevin has  
25 informed us is something that's going to happen. He said,  
26 "hopefully, it'll be in the fall." The money's been approved. So,  
27 while it remains a research priority it's one that's being attended  
28 to or planned to be attended to. Okay. The same thing applies to  
29 the last bullet. Well, yes, just so we keep in mind.  
30

31 **GRACIELA GARCÍA-MOLINER:** And we have an okay from Tarsila and  
32 Sennai.  
33

34 **RICHARD APPELDOORN:** Sorry. We have what from Tarsila? Hands ra-  
35

36 **GRACIELA GARCÍA-MOLINER:** Okay. So, we were having issues with the  
37 projection. So now it's taken care of. Sorry.  
38

39 **RICHARD APPELDOORN:** So let's go to the next slide. All right.  
40 Collection of biological data for life history and population  
41 parameters. Okay. Improved biological data collection via digital  
42 tools and timely prioritization of collection of species. That  
43 could also take that asterisk because we just heard a presentation  
44 that NOAA is in the process of doing that.  
45

46 So does anybody have any comments something you think we really  
47 miss, something that really is not important? yes.  
48

1 **VANCE VICENTE:** Yeah, I-  
2  
3 **LIAJAY RIVERA GARCÍA:** Nombre.  
4  
5 **VANCE VICENTE:** Vance Peter Vicente. [laughter] Okay. Richard,  
6 last time we spoke about recommendations I made two suggestions,  
7 and I don't see them- I don't see either of them there, so. Well,  
8 one of them is I emphasized the lack of biological information  
9 regarding feeding habits, you know, stomach content, and as well  
10 as not only taxonomically, which doesn't have to be taxonomically.  
11 A real good picture of the open gut, you know. With a high-  
12 definition camera, you can tell whether the fish has been eating  
13 a crab, lobster, worm and polychaetes and ostracods or whatever.  
14 Doesn't have to be that most detailed. But we, from what I've heard  
15 of the samples that have been collected, the stomach contents had  
16 been left to spoil. They were not analyzed because they just get  
17 spoiled. And that's not a good excuse for not finding out how these  
18 fishes are sustaining themselves and reproducing themselves. If  
19 you don't need, you don't reproduce.  
20  
21 **RICHARD APPELDOORN:** Okay. I'm going to ask you to hold off on  
22 that because that's really perfect for the EBFM category stuff.  
23 So, when we get to that make sure that we have that covered,  
24 because I think what you're saying is really interesting idea. But  
25 let's just do it by category if that's okay.  
26  
27 **VANCE VICENTE:** Yeah. Well, yeah. It's, uh- I don't know. The  
28 second aspect, I mean, it- not only the- if you look at it only  
29 from the diet composition it is biological, but if you look at it-  
30 analyze the food habits using stable isotopes, that will tell you  
31 information about the ecosystem. What were the primary producers  
32 that produce that biomass, as well as other information that you  
33 can get from stable isotope, which will give you a more ecosystem  
34 type of information.  
35  
36 **JORGE R. GARCÍA-SAIS:** About the first one, improve biological  
37 data collection via digital tools. Can we be a little bit more  
38 specific, you know, maybe examples or what is it referring to?  
39  
40 **RICHARD APPELDOORN:** I defer to the person who suggested that, but  
41 that might an editing version of what was initially suggested. So,  
42 it could, for example, include what Vance was just talking about,  
43 in terms of,, say gut contents, in the same way we're using-  
44 potentially using cameras to identify species of fish, you can  
45 spill the gut contents and use cameras to identify at least at  
46 some level things that are still intact. Vance, do you want to  
47 include something specific under that bullet, or is that within  
48 that bullet? you know, we- yeah, I would say that, you know, when

1 these were first given, it was just a list, right? And so, there  
2 was a subsequent trying to at least get these into some categories,  
3 so the Council could understand, you know, where these things were  
4 fitting in and whatnot. But, um- so that's a less than perfect  
5 process, but.

6  
7 **JORGE R. GARCÍA-SAIS:** For example, I can think about, you know  
8 ichthyoplankton identification, the photographic comparative  
9 image, whatever. I mean, that's being done for ichthyoplankton,  
10 you know. But I don't know what, you know, what specifically we  
11 are prioritizing there. You know, like we have any idea of what we  
12 want.

13  
14 **VANCE VICENTE:** Yeah, no, no. Reni, what I see under biological  
15 condition, I agree with you that we should be more specific. But  
16 specifically, I mean, biological data, the size of the fish, the  
17 condition of the fish, whether they have ectoparasites, how they  
18 look. Do they look good, they look bad? You know, skinny, fat. You  
19 know? That kind of information. In addition to close-up- but  
20 cameras are so cheap nowadays, and you get such a high resolution,  
21 not like back in the '60s and '70s, you know, when we started doing  
22 ecological stories, you know. But you can get very, very refined  
23 details from photographs, from close-up photograph of a freshly  
24 open stomach. You're not looking at intestinal stuff. I mean, just,  
25 just the stomach picture. What does he have? You know, to grab-  
26 just like Randall did back in 1967. You know, he took all the gut  
27 content and put it out in the dish. It's approximately 40% worms,  
28 30% sponges, 20% ostracods, 5% polychaetes, you know. Very simple.  
29 Just to see what the hell they're hell their eat, what the heck,  
30 I'm sorry, eating. What are they eating?

31  
32 **RICHARD APPELDOORN:** Well, yeah, but you could do the same thing  
33 in the sense that you're expanding gut content or gut collections,  
34 if you will, in the same way that you have otolith collections or  
35 gonad collections. And then you're running that through genomics  
36 to find out what was in there, whether you can identify it or not,  
37 the genetics will show you. So, you know, we could talk about  
38 digital tools. We could also talk about genetic tools. We have  
39 someone on the line?

40  
41 **LIAJAY RIVERA GARCÍA:** Yes. We have Sennai Habtes with a raised  
42 hand.

43  
44 **RICHARD APPELDOORN:** Sennai.

45  
46 **SENNAI HABTES:** Thank you, Mr. Chair. Sennai Habtes for the record.  
47 I think you guys- I apologize if I'm overstepping. I think  
48 particularly in working between territorial agencies, which

1 collect a lot of the data, as well as the federal agencies, what  
2 really would be beneficial would be a prioritized list of species  
3 and specific biological measures that you are recommending for the  
4 CFMC for the Council to prioritize so that we have these things  
5 when we are writing grants within Puerto Rico and the U.S.V.I. for  
6 developing sampling programs. Understanding what are those  
7 biological specific data points that we need to collect. And I  
8 believe that is part of what the SSC needs to recommend to the  
9 Councils. We should be done every year in your research  
10 recommendations, because honestly, what I'm seeing at present is  
11 this larger list that we all want all of these things for research  
12 in the U.S. Caribbean. But then how do you turn that into specific  
13 recommendations that will improve both stock assessment,  
14 monitoring, and management for our region?

15  
16 **RICHARD APPELDOORN:** Yeah. Thank you, Sennai. So, I'm recommending  
17 that the first bullet there is improved biological data collection,  
18 and then we'll put period, and then- or let's go to a parenthesis  
19 rather- and then e.g., using digital or genetic tools. So digital  
20 or genetic tools. And therefore, it's an example. It's not an  
21 inclusive list. And then I think Sennai what you're- what Sennai  
22 was suggesting is, okay, let's be specific about the nature of the  
23 biological data we would like to have collected. So, this is going  
24 to be- well, I would say otoliths, but it's going to be hard parts  
25 for aging. But it's also going to be length composition. It's going  
26 to be gonads. It's going to be, as we get an EBFM, stomach contents.  
27 It's going to be- I don't know. There's lots of other things that  
28 you know, habitat associations and whatnot, but that's really not  
29 what this particular bullet is looking at. Yeah, Shannon.

30  
31 **SHANNON CASS-CALAY:** Yeah. You've mentioned genetic tools, but  
32 there are some very promising work being done right now with DNA  
33 methylation-based approaches to determine age. So that's- yeah.  
34 And if that was proven to be effective and for tropical species in  
35 the Caribbean, it's relatively cost-effective.

36  
37 **RICHARD APPELDOORN:** Anyway, after the parenthesis you know I don't  
38 know, put a colon and say age and growth. Age and growth,  
39 reproduction feeding habits. All right. That feeding, not eating  
40 although they're the same thing. You know, there's other things we  
41 would like to have in terms of distributions and habitats, but I  
42 don't think they fall particularly under that bullet. Does anybody  
43 want to comment on that, uh? Maybe in addition to reproduction put  
44 maturation. So one is looking at maturity then the other one's  
45 looking at seasonal cycles and fecundity and that kind of stuff.

46  
47 Okay. If you go to the next slide.  
48

1 **DOUGLAS GREGORY:** Rich, this is Doug. If we go to the slide from  
2 the last slide, the very last item. You know, the one that says  
3 effort, I want to make a suggestion. Right. Effort estimation.  
4 Let's put fishing effort estimation. I mean, we know what that  
5 means, and I would say develop alternate estimation methods or  
6 just make effort singular instead of plural. And take out the last  
7 three words if that's okay with everybody. Thank you.

8  
9 **RICHARD APPELDOORN:** Yeah. Thank you, Doug. I actually totally  
10 missed that. We had that other category down at the bottom and  
11 because it was off the screen at the time. So, thank you for that.

12  
13 So now the next slide then to EBFM. And as we mentioned last time  
14 just for background is that this is our knowledge base. Now there  
15 is a whole EBFM process going on that will be identifying further  
16 research needs and suggesting potential indicators, which will  
17 then have to be evaluated themselves. So, this is kind of where we  
18 are now, but in the future, we expect- in the not-too-distant  
19 future, we expect this might change or be added to substantially.  
20 So, JJ.

21  
22 **JUAN J. CRUZ MOTTA:** Thank you. And also, I would like- JJ here.  
23 confirmation from Sennai on what I'm about to say. EBFM includes  
24 a lot more than is there obviously. So, if we're going to, you  
25 know, put bullet points, and we will need like three or four of  
26 those slides, which is not the intention. So, my suggestion would  
27 be perhaps what we could do with this section is call it ecological  
28 aspects or something like that. Because I believe in the TAP, EBFM  
29 TAP, we are going to develop specific research recommendations for  
30 EBFM. Can you confirm that Sennai? He's gone. Yeah, he's not there.  
31 But anyhow, we can develop those research recommendations specific  
32 for EBFM in that technical advisory panel.

33  
34 The other thing that I was going to suggest here is, I don't know  
35 if it would be worth to make a special section for spawning  
36 aggregations because it needs a specific attention. I don't know.  
37 It's very important for the Council. So perhaps to separate that.  
38 Thank you.

39  
40 **LIAJAY RIVERA GARCÍA:** Sennai is back in the web, so maybe Sennai  
41 can answer now.

42  
43 **SENNAI HABTES:** Yeah, I'm here but I didn't hear the question.  
44 Apologies. Sennai Habtes for the record. We had someone step into  
45 the office that I needed to talk to.

46

1 **JUAN J. CRUZ MOTTA:** JJ here. Yeah. I was asking if we going to  
2 develop this research recommendations for the- specific for the  
3 EBFM in the Caribbean. Thank you, Sennai.

4  
5 **SENNAI HABTES:** Sure. So frankly, I would say the largest one is  
6 the lack of data management and coordination infrastructure within  
7 the U.S. Caribbean for dealing with ecological data necessary for  
8 building ecological models. There is no academic or governmental  
9 agency currently within Puerto Rico or the territories that has  
10 the ability to manage all that. And so, we really need to put the  
11 work into, and I think, you know, it's been- you know, this is the  
12 second year I've made that as a recommendation to the Council. I  
13 think it would be beneficial if the SSC do the same. But we really  
14 want to have time series for ecological and biological data  
15 necessary to do ecological-based fisheries management in U.S.  
16 Caribbean. Someone needs to be working on building the management  
17 infrastructure that's necessary to do that. And I think that needs  
18 to be a priority research recommendation. So, it's both a  
19 coordination between federal managers that have developed this  
20 infrastructure and the regional agencies to develop the right  
21 management infrastructure to handle all of this data. Otherwise,  
22 we will continue to go through a process of building up time series  
23 for four to five years and then losing all of that information and  
24 then changing the way it's collected, then it cannot be used in  
25 effective management.

26  
27 **RICHARD APPELDOORN:** So, I'm not disagreeing with you. At the  
28 bottom of our list is a statement that there needs to be an MOU  
29 between the Council, the Science Centers, and the territories for  
30 monitoring data collection activities. And the kinds of data you're  
31 talking about are a large part of that. You know, we have mandates  
32 to collect landings data. We don't have mandates to get all the  
33 kinds of ecological data that are affecting our stocks that we're  
34 referring to. So, I'm supporting what you're saying, but I'm also  
35 asking, you know- that's something we need to have happen, but  
36 it's not a research issue.

37  
38 So, I think we need- you know, JJ was, I think, making a distinction  
39 between EBFM and ecological aspects. And I'd tell you I'm  
40 uncomfortable with that because you know, EBFM is supposed to be  
41 taking into account ecological aspects. So, there are things that  
42 are specific to the process that the TAP is doing. But there are  
43 other things that are there that, you know, eventually the TAP  
44 will give, probably, more comprehensive guidance on but we don't  
45 have it yet. So, let's see. I'm recognizing- Vance, you had your  
46 hand up? Someone over there did. Yeah. So recognizing Vance, and  
47 then you-

1 **VANCE VICENTE:** Vance Vicente. Looking at the second item, second  
2 point, develop habitat maps from existing NOS multibeam, LiDAR  
3 data. I would expand on that. This, I would put develop and improve  
4 existing habitat maps using a recent ROV data recent, recent  
5 expedition, such as the Nautilus, which has provided a magnificent  
6 benthic photograph of our sea floor in deeper areas. And by using  
7 monitoring transects, which have been conducted in different parts  
8 of the island, specifically, by Reni Garcia and myself for the  
9 last 20 years. And we can really improve these existing maps. The  
10 ones that have been produced by NOAA have been very useful  
11 specifically the biography maps, but are too general to help in  
12 making decisions, management decision, development decisions. And  
13 we have a lot of existing information giving very specific details  
14 about what are the primary producers, the corals, what is the state  
15 of the corals, how the populations of corals have been affected  
16 throughout this last decade, specifically about the tissue loss  
17 disease and others and there are records. At least I keep records,  
18 I'm sure that Reni also does, about how specific locations have  
19 changed in terms of a habitat components, habitat community,  
20 community structure, benthic community structure.

21  
22 And also, if you can add or expand a little bit on the functional  
23 ecology of our habitats. That's why I would include as an example  
24 analyzing fish tissue samples for stable carbon isotopes, which  
25 will give you information, what are the primary producers that are  
26 responsible for the fish biomass that we are observing. Especially,  
27 if we want to specify an indicator species, just to give it a  
28 priority, that can provide information, not only about feeding  
29 habit, fish behavior, but also about ecosystem components,  
30 especially at the bottom of the food chain, which is the primary  
31 producers. And just to refresh your mind, I mean, the kind of  
32 information that this has been going on since the 1980s. But by  
33 looking at the stable isotope, you can tell whether that biomass,  
34 that fish biomass, the primary producers responsible are  
35 specifically seagrasses. In some cases, the specific species of  
36 seagrasses macroalgae, [rhodophyta?], whether it's mangrove  
37 derive. So where the energy source that contributed to the  
38 production of that biomass comes from? And that's why I'm repeating  
39 in this meeting because I think it's something that is very simple.  
40 Just take a fish sample, tissue sample, freeze dry it, and send it  
41 to a laboratory. I think there's one in Texas, is one of NOAA  
42 National Marine Fisher Service, at that time, which was being run  
43 by Roger Zimmerman. He did a lot of this. And we did it for the  
44 Laguna Joyuda. We also used this stable isotope ratio to determine,  
45 you know, connection of food chain connections. And that's it.  
46 Thank you.

47

1 **RICHARD APPELDOORN:** So, I want to make a correction to what was  
2 just written. All the stuff you added put that after LiDAR data.  
3 So, exploration mission, survey transect data go after existing  
4 NOS multibeam/LiDAR data. And then you'd add the "and." So after  
5 LiDAR data, you need the "and." Yeah.

6  
7 **GRACIELA GARCÍA-MOLINER:** Sennai on the line.

8  
9 **RICHARD APPELDOORN:** Sennai?

10  
11 **SENNAI HABTES:** I lowered my hand. I'm good.

12  
13 **Other Business**

14  
15 **RICHARD APPELDOORN:** Thank you. So, I don't think we're going to  
16 make it through this list with 10 minutes to go. So, I actually  
17 want to- I think some of the others are fairly self-evident,  
18 evident in terms of monitoring and whatnot. But I'd like to go to  
19 the socioeconomic data as quickly as possible because I don't want  
20 our colleagues to think that-

21  
22 So I guess I'm saying Walter and Tarsila - she's online - why  
23 you're thinking about that. JJ wanted to add something to  
24 monitoring surveys, which I think is a good idea. So, let's just  
25 pop back to that quickly. Next- the previous slide.

26  
27 **LIAJAY RIVERA GARCÍA:** Which one? Next one?

28  
29 **GRACIELA GARCÍA-MOLINER:** Previous.

30  
31 **LIAJAY RIVERA GARCÍA:** Previous?

32  
33 **JUAN J. CRUZ MOTTA:** Yeah. JJ here. So, yes, basically- no, no,  
34 the, the following. Yeah. In that one delete close areas because  
35 we-

36  
37 **RICHARD APPELDOORN:** But I would say add open rather than- enclosed  
38 and open areas. And then a new bullet.

39  
40 **JUAN J. CRUZ MOTTA:** Increase video methods to-

41  
42 **RICHARD APPELDOORN:** Develop. That's a research thing. That's a  
43 research thing, develop video methods.

44  
45 **JUAN J. CRUZ MOTTA:** For surveys. For fish surveys. Thank you.

46  
47 **RICHARD APPELDOORN:** So back to socioeconomic, Walter, do you have  
48 anything you want to, um- I mean, you're the expert here?

1  
2 **WALTER KEITHLY:** No. This is Walter. I'm satisfied with what is up  
3 on the board. Thank you.  
4  
5 **RICHARD APPELDOORN:** All right. So, I would like to- well, not  
6 that I would like to. There are some- two issues that are that  
7 need to be dealt with. One is a suggestion that the SSC recommend  
8 to the Council that they develop guidance and a charter for the  
9 SSC. And if we want to do that, we need wording for that as quickly  
10 as possible. Although Graciela says that this is already on the  
11 agenda for the meeting, but I don't know what that means.  
12  
13 **GRACIELA GARCÍA-MOLINER:** So we do have Jocelyn D'Ambrosio she is  
14 online. So, she can add. Jocelyn?  
15  
16 **JOCELYN D'AMBROSIO:** Yes, hello. So I'm going to- can everyone  
17 hear me? Is it all right if I speak about the charter for a second?  
18 I don't mean to jump in.  
19  
20 **RICHARD APPELDOORN:** Yes. Go ahead.  
21  
22 **JOCELYN D'AMBROSIO:** Thank you. So, the SSC's mandate is obviously  
23 established by the Magnuson-Stevens Act, so the rules of the SSC  
24 are outlined in that act. And I think the Council's thinking just  
25 generally about standards of conduct for advisory bodies. But I  
26 know we've talked about charters, for example, for the technical  
27 advisory panel. And that to me has more importance because that's  
28 something that the Council created. The SSC has very specific roles  
29 defined by statute, so. And I believe that the SOPPs also speak  
30 about SSC information. So, for example, number of members- and the  
31 SOPPs, sorry, are the statement of the operating policies and  
32 practices that the Council put together. So, I believe those speak  
33 to the SSC as well, but we can look at that and see if they're- to  
34 make sure that everyone on the SSC has a copy of that. And then  
35 anything else developed on you know, conduct, you know, maintaining  
36 professionalism, etcetera, that we develop for the Council's  
37 advisory bodies is circulated. I do have thoughts also on conflict,  
38 but I'll hold those until that comes up as well. But at least on  
39 the charter the SSCs roles are again, outlined in the Magnuson  
40 Act, and it's pro- being the Council's scientific advisory body  
41 and providing scientific advice and recommendations to further the  
42 Council process.  
43  
44 **RICHARD APPELDOORN:** Yeah, the Magnuson Act is fairly vague on  
45 that. And a number of the Councils do have materials that they  
46 provide to the SSC members that expand on those things and give  
47 them more context. And I think what the recommend- the suggested

1 for the recommendation is that similar information be developed  
2 and provided for, for the Caribbean Council for its SSC.

3  
4 **TODD GEDAMKE:** Since this is- sorry, since this is- this is Todd.  
5 Since this is directly related to my request, I hate to be the  
6 topic of the end here, but my question is simple things. How does  
7 the nomination process work? What are their term limits? I mean,  
8 these are things that the other Councils write up for their SSC.  
9 You know, I watch the composition of this SSC change. I watched  
10 someone resign and put another person in their place. When I left  
11 as a NOAA employee, I was told that I had to resign. No, I don't  
12 have to resign because I'm an individual. So, I'm just wondering  
13 what the rules are. Like, and these are not the overall overarching  
14 things. These are just the current rules. So that was my request.  
15 Everyone can read Magnuson. We all have that. But this is  
16 operationally. What do we do in this house? And how do things  
17 happen? You know, we're going to go to conflict of interest next  
18 here. What happens if someone gets removed? How does that work?  
19 You know, I mean it- how does someone get removed from the  
20 committee? These are rules. That's not in Magnuson, but we've seen  
21 that happen here.

22  
23 **RICHARD APPELDOORN:** Yes. Go ahead, Doug.

24  
25 **DOUGLAS GREGORY:** Yes. I just wanted to mention with the Gulf  
26 Council, the SSC members serve at the pleasure of the Council, and  
27 the Council can remove somebody without calls or- you know, at any  
28 time, and it can also appoint someone. There is like a number of  
29 paragraphs in the Council SOPPs that relate to the SSC, and also  
30 there's guidance from National Fishery Service about SSC and  
31 advisors. I think Jocelyn was referring to it. That's packaged  
32 with advice to the whole Council about conflict of interest and  
33 stuff like that, but it's basically- you know, that's the way it  
34 works with the Gulf, and people have been removed, you know,  
35 without calls before. Thank you.

36  
37 **RICHARD APPELDOORN:** So, that's good to know. And I think then  
38 what we're asking for is a package of information out of that that  
39 can be given to the SSC so, you know, they're aware of that. And  
40 I don't think that this is a difficult thing to do. And it's a  
41 reasonable request. Graciela, do you have somebody, or is it you?

42  
43 **GRACIELA GARCÍA-MOLINER:** Jocelyn.

44  
45 **LIAJAY RIVERA GARCÍA:** Jocelyn.

46  
47 **JOCELYN D'AMBROSIO:** Well, thank you. So I pulled up a recent  
48 version of the Council SOPPs, and there's a section on the SSC

1 that has its objectives and duties that talks about their  
2 requirements under the law, the requirements for having- who can  
3 serve as a member, electing a Chair, and then holding the meetings  
4 subcommittees of the SSC. So, there's that information in the  
5 SOPPs. And as Doug said, you know, the SSC members serve at the  
6 pleasure of the Council. If the Council, um- so that means the  
7 Council can remove persons or add persons. If the Council's  
8 interested in specifying some additional procedures for that, the  
9 Council can consider that. But right now the operating procedures  
10 talk about persons serving at the pleasure of the Council. So, we  
11 can make sure that everyone has a copy of the operating procedures.  
12 There's one wrinkle there, which is we have an approved version of  
13 the SOPPs and then another version of the SOPPs that has been  
14 submitted for approval, but hasn't been approved. So usually what  
15 I do is I just check both versions and see if there's any  
16 differences between the two. And a lot of the Councils are in a  
17 similar position and just use the last version the Council  
18 approved. But we can make sure everyone has a copy of that. And  
19 then I believe, you know, one of the things we're going to talk  
20 about at the Council meeting is just in general, if they want to  
21 add to their SOPPs or otherwise or a handbook, anything about, you  
22 know, how person should conduct themselves at meetings, that would  
23 go in those documents. So, we can talk about other information  
24 that would be helpful for the advisory bodies to have and then  
25 including potential conflicts of interest information. So that's  
26 something that I've been talking with Miguel about and looking at.  
27 And we're going to have just a brief discussion at the upcoming  
28 Council meeting as to how the Council wants to address any  
29 policies. But as appropriate, I can speak about that here too.  
30 Thanks.

31  
32

33 **RICHARD APPELDOORN:** All right. If we could get that, the SSC  
34 members, could get copies of that, I think that would go a long  
35 way to filling the gap. And you know, if after reading those, we  
36 feel that there's something else we would like to know, we can  
37 come back to the Council and say, "You know, what about this? Or  
38 what about that?" So, if the operating procedures can be sent out  
39 to the SSC, that would be great.

40

41 Okay. Final item. Graciela, you have something to read into the  
42 record from Virginia. Go ahead.

43

44 **GRACIELA GARCÍA-MOLINER:** So, during the discussion this  
45 afternoon, there was a comment on the chat from Virginia Shervette,  
46 and it states- and I'm going to read quoting from the chat. "Was  
47 Todd suggestion that his MER study be referenced as a NOAA study,  
48 sincere. To me, that would seem to mask what some could perceive

1 as a major conflict of interest. Todd, as an SSC member, also  
2 benefits financially from the promotion of his contracted work. As  
3 a member of the public, watching this discussion is concerning  
4 related to conflict of interest issues. And if I see this, other  
5 must too. I truly mean no disrespect with this comment, but I could  
6 see this being a potential issue." Thank you, Mr. Chair.

7

8 **RICHARD APPELDOORN:** Todd.

9

10 **TODD GEDAMKE:** All right. So, this is déjà vu all over again. We've  
11 done this once before. We've done the data triage before. We've  
12 evaluated expansion factors before. In 2016, we had very  
13 contentious arguments about what to do with the ACLs and what to  
14 do with about the buffers. I voted to put a slightly larger buffer  
15 on the U.S. Virgin Islands ACL. So did John Hoenig. In 2017, we  
16 were both removed from the SSC committee and the Virgin Islands-  
17 director of the Virgin Islands Fisheries accused me of conflict of  
18 interest that time. Jocelyn reviewed the case at that time and  
19 said there was no conflict of interest in that point. And so, I  
20 thought that case was done. Now, Virginia Shervette is currently  
21 flying out of Saint Thomas and Saint John. She just parroted the  
22 exact phraseology from the 2017 argument that was put in front of  
23 the Council. And I would just like to make a point that the report  
24 that we are discussing is step three in the 10-year data  
25 improvement process.

26

27 We started with a design in 2014. We started with a pilot study in  
28 2014. What we're referring to now is a report that Shannon told me  
29 I was not allowed to distribute at one point in time because they  
30 owned it. That's the level that we were at on this. Now that has  
31 been changed, but they own that product. That is their product. In  
32 this case, that report, I am a field biologist. I am implementing  
33 and collecting weighing fish. We don't refer to the TIP data as  
34 Jesus's samples or Luis's samples, because all we're doing is  
35 telling him to go to the dock. NOAA approved every single step of  
36 this process from the design to the pilot study, to the techniques  
37 and methodology being used, and monthly evaluating everything  
38 we've been doing. So, I think that- anyway, I am going to abstain  
39 from any discussions related to this. Jocelyn, I would appreciate  
40 a gen- not appreciate. I need a general counsel review and a  
41 statement regarding any work that I'm doing in the Caribbean. And  
42 if the Council would like me to resign in any of these, I am happy  
43 to do that, but I'm not going to get potshotted in these  
44 situations. And I would like to point out that Virginia Shervette  
45 is in the Virgin Islands today. She's flying out today and has  
46 just repeated the same things. And Julian can tell you exactly  
47 where she is at the moment.

48

1 **JULIAN MAGRAS:** She's not in the Virgin Islands. I can tell you  
2 that.

3

4 **GRACIELA GARCÍA-MOLINER:** Jocelyn online.

5

6 **RICHARD APPELDOORN:** Yes, Jocelyn.

7

8 **JOCELYN D'AMBROSIO:** Okay. Thank you. So, regarding conflicts of  
9 interest a lot of what people have been talking about seemed to me  
10 like were concerned about people's objectivity. You know, if  
11 they've been involved in research, are their objective in making  
12 recommendations? And so, I agree that there's maybe been some  
13 confusion about, is there a financial conflict of interest? Is  
14 there something else that would interfere with objectivity? But in  
15 the statement that was just read, you know, it says that Todd, as  
16 an SSC member benefits financially from the promotion of his  
17 contracted work. That seems very attenuated to me. I'm not really  
18 entirely sure how there would be a financial benefit from promoting  
19 the work. And that's what, when you're looking at financial  
20 conflicts, you- there's various standards that apply in different  
21 context to figure out how there might be a financial consequence  
22 of a particular action.

23

24 So, there aren't financial conflict of interest standards that  
25 apply to the SSC when they're having discussions, but there are  
26 certain conflicts of interest standard that will come into play  
27 when the SSC is conducting a peer review, for example, of  
28 scientific information. So, the national standard 2 guidelines  
29 have some conflict of interest information in them to ensure the  
30 objectivity of peer reviews. So, what I'm working on is kind of  
31 trying to compile a document that has the pertinent law on when  
32 the SSC conducts a peer review, what do the national standard 2  
33 guidelines say about financial conflicts? what do they say about  
34 financial disclosures for SSC members? Because there are Magnuson  
35 Act requirements for financial disclosures, and those apply to the  
36 SSC and as well to the Council members. And those are used for  
37 Council members for some of those conflict standards that apply to  
38 Council decisions. For the SSC, again, those Magnuson provisions  
39 regarding conflicts don't apply to the SSC. So, we're sort of  
40 looking at these other practices, for example, those national  
41 standard 2 guidelines on peer review. And other Councils have  
42 policies on how the SSC might make a best scientific information  
43 available for termination, taking into account similar  
44 considerations about if there's a potential financial benefit, if  
45 the person was involved in the research.

46

47 So that's something that I'm looking at and trying to put together  
48 so the Council will have something to look at. But under those

1 standards, for example, for peer review - let me see; I'm trying  
2 to look at it here - one would look at whether the peer reviewer  
3 would be impaired in their objectivity, or it could create an  
4 unfair competitive advantage, and that could be either a financial  
5 or some other conflict that might be considered in the peer review  
6 policy. Personal financial interest might be considered in peer  
7 reviews. And so, persons might be asked under those guidelines to  
8 excuse themselves from peer reviews. But even in the peer review  
9 context, the guidelines say if the reviews require highly  
10 specialized expertise, persons might just be asked to disclose  
11 that information, and they'd say the conflict side is unavoidable  
12 because there'd be no other person that could participate in the  
13 review.

14  
15 So there's- again, those are just in one particular context, and  
16 then we might be able to draw from those how the Council wants to  
17 respond, if there's potential concerns relating to someone's  
18 objectivity either because they're involved in research or because  
19 they could benefit financially. But I think we don't want to just,  
20 you know, assert that someone's benefiting financially. We want to  
21 think about if that's a reasonable statement. And so those are  
22 things that I'm trying to compile for the Council to consider and  
23 how they might want to develop a policy for what should happen  
24 when the SSC is conducting a peer review, just sort of setting  
25 forth the national standard 2 guidelines. If they're making a  
26 determination about best available science, how do you want to  
27 make that determination? I think in all cases, if you've worked on  
28 a particular matter disclose that you've worked on the matter, if  
29 you think that then maybe you shouldn't recommend that further  
30 action be taken to support that matter, then you can recuse  
31 yourself. But I don't know that that means that there's a financial  
32 conflict of interest. It's just a question of, is there objectivity  
33 issues if you were to recommend research that you'd been involved  
34 in. And I'm not saying that there are objectivity issues in any of  
35 this. I'm just saying those are considerations that we would have  
36 just taking into account through relatedness.

37  
38 So I know when we were reviewing scientific research and how that  
39 might affect management advice for changing closed seasons, some  
40 of the researchers that were involved in that recuse themselves  
41 from making a recommendation, but they still participated fully in  
42 the discussion. I think what we have to keep in mind here is that  
43 the person serving on this SSC are here because of their particular  
44 expertise, because of their participation in research and the  
45 reason, because of what they can contribute to the conversation.  
46 So we want to be able to leverage that, to hear from persons about  
47 their work and to take that information into account and maybe if  
48 there's a vote and we think that it might be- you know, whether

1 we're going to recommend something directly related to that  
2 person's work, that person might want to recuse themselves, but we  
3 have to be careful about accusing people of conflicts and making  
4 sure that we're just disclosing and seeing if there's any potential  
5 issues, you know, from an objectivity issue standpoint from a  
6 financial standpoint.

7  
8 But again, I do want to stress that folks are here on the SSC.  
9 They're selected on the SSC by the Council because of their  
10 expertise in the area because of their experience. And we don't  
11 want to stifle that. We want to hear from people about the work  
12 that they're doing. It just might be we get to a final step about  
13 making a recommendation, and someone says, "You know, I  
14 participated in this study, so I'm not going to recommend we take  
15 step two in my study." But from what I'm hearing too, we're talking  
16 about maybe a step two that another entity would do. So, these are  
17 all fact-specific inquiries, but just things to keep in mind about  
18 ensuring objectivity and in terms of whether the guidelines or the  
19 act speaks directly to it, there's some guidance again for peer  
20 reviews. And we can use that maybe as a basis for some policies  
21 about when the SSC makes recommendations or when the SSC is  
22 deciding what's best available science.

23  
24 **RICHARD APPELDOORN:** Miguel, and then Shannon. Keep in mind, we're  
25 already after 5:00, so let's- and Todd. Okay. Miguel?

26  
27 **MIGUEL A. ROLÓN:** Okay. Thank you, Richard. Just a couple of  
28 comments. Mostly, they were covered by Jocelyn, but I best, the  
29 Council- what the Council is trying to do is to get the best  
30 advice, put it in writing so everybody will know what it is. We  
31 have to be cautious about conflict of interest and anybody accusing  
32 any member of the Council or the SSC of the conflict of interest.  
33 Some people- you know, sometimes we use conflict of interest  
34 lightly, and you have legal consequences for anybody involved on  
35 both ways. So why we want to discuss this in the Council meeting.  
36 And probably before the end of the year, we will have a specific  
37 documents that everybody will have on the subsite in the webpage  
38 so you can take a look at it. The conflict of interest language  
39 for the Council member is very specific, and it's extended to other  
40 bodies. But I believe that once we get the- actually, we are also  
41 looking at the letter that was written by the Chair of the SSC,  
42 had three questions that we need to answer. And the idea is to  
43 make the process as transparent as possible, and also to allow the  
44 members to participate without any fear of being subjected to  
45 accusations without any foundation. Thank you, Mr. Chairman, but  
46 we want to solve this by the end of the year or before the end of  
47 the year. And rest assured that we will send and distribute this,  
48 the outcome, in writing to everybody involved. And it will be in

1 our webpage for any member of the public, any member who wants to  
2 take a look at it. Thank you.

3  
4 **RICHARD APPELDOORN:** Thank you, Miguel. which one of you wants to  
5 go first?

6  
7 **TODD GEDAMKE:** I'll go. I'm just going to repeat my request.  
8 Jocelyn, is there any way I could get a letter or plea that- from  
9 GC? This is the second time I've been accused of conflict of  
10 interest related on the same work. It's pretty clear to me this is  
11 unfounded. But I need a letter at this point or something that  
12 clears me. And we can maybe use this so other people aren't putting  
13 these things out. It's to my financial benefit to stop volunteering  
14 on this SSC and going that route. So, I would like to continue to  
15 participate in this SSC and volunteer my experience in here, but  
16 if that's not the way that we want to go then, uh- but, Jocelyn,  
17 can I please get a letter from general counsel on this?

18  
19 **JOCELYN D'AMBROSIO:** Yes, we can work on something. And, you know,  
20 as I said, at the outset, it seems like some of these claims are,  
21 are very attenuated as to there being any financial interest. It  
22 seems difficult for me to understand how recommending that certain  
23 types of validation be conducted would financially benefit someone  
24 when there's no decision before this SSC. The SSC wouldn't fund  
25 that project. The SSC wouldn't authorize that project. The SSC  
26 would recommend that the Council, you know, recommend to other  
27 entities that this be a priority, and it seems many steps removed  
28 from many next steps to fund that project. And then there's no  
29 decision that this body is making as to who would do that. And my  
30 understanding is that recommendations about extending research in  
31 the U.S.V.I., you know, I guess maybe were made before realizing  
32 that some of that research was ongoing by other entities. So it  
33 seems, seems to be difficult to understand how there'd be a  
34 financial consequence. We can, you know, look into that and see if  
35 there's anything that that I've missed. But my, my initial reaction  
36 is that I don't see any conflict here of financial conflict.

37  
38 There's also- you know, when talking about peer reviews, for  
39 example, the guidelines talk about something that might interfere  
40 with someone's objectivity so if you're- if someone's recommending  
41 a- we recommend this priority, and it's something that someone  
42 really wants to do, well, maybe you're not an objective person to  
43 recommend a priority, but I don't know that, again, it's going to  
44 have any consequence of like the SSC's not making a decision about  
45 how the priorities are carried out. So, it's just- I think  
46 disclosure is all that really needs to happen here when you say,  
47 "You know, I'm doing X research. I think that this is really  
48 important. I know that it's important because of my own involvement

1 and recommend that this continue. And, you know, I don't know who  
2 would do it or what entity would do it, but I recommend this, this  
3 research because it's research that's needed." And that again is,  
4 is exactly why the Council wants to have persons with the expertise  
5 of everyone on here on the SSC so that they can say, " I've done  
6 this. I've seen this problem. And I think that these are the next  
7 steps that the Council should encourage others to do." But it seems  
8 again, very attenuated to me that that there be a specific outcome  
9 relative to you in this example for financially or otherwise. But  
10 we can see about specific letter response on that front.

11

12 **TODD GEDAMKE:** Thank you.

13

14 **SHANNON CASS-CALAY:** Thank you. This is Shannon. I just wanted to  
15 do a very quick correction to the record, because this is a  
16 verbatim transcript. So, the contract that was in place has very  
17 specific language about the ownership of the work product, and it  
18 is owned by the Gulf States and the Contractor, and they are free  
19 to distribute it. The only thing it's subject to is data  
20 confidentiality standards. And so, it is in fact owned by MER  
21 Consultants and Gulf States, not by NOAA.

22

23 **RICHARD APPELDOORN:** Thank you. It's now 5:18. I would really like  
24 to close this meeting. I'm not seeing any objections to that. So,  
25 I want to thank everybody for their participation through this  
26 late hour.

27

28 Oh, I will not be at the Council meeting. JJ has volunteer to  
29 present on my behalf. Okay.

30

31 Thank you all for being here. Everybody online, thank you for your  
32 comments. Erik haven't had a chance yet to meet you, but your  
33 initial initiation here has been impressive. So, thank you. And we  
34 will- I assume are going to meet again in the fall before the  
35 December meeting of the Council. Thank you.

36

37 **GRACIELA GARCÍA-MOLINER:** Thank you.

38

39 **RICHARD APPELDOORN:** So, the meeting is adjourned. It is now 5:19  
40 according to my computer.

41

42 (Whereupon, the meeting adjourned on August 2, 2022.)

43