

TABLE OF CONTENT

1
2 Call to order and Roll call..... 2
3 Approval of Verbatim Transcriptions..... 4
4 Adoption of agenda..... 7
5 SEDAR 80 Queen Triggerfish Introductory Presentation–SEFSC..... 7
6 Review SEDAR 80 Queen Triggerfish Assessments Term of References
7 18
8 SEDAR 80 Queen Triggerfish Puerto Rico–SEFSC Presentation on
9 sensitivity runs requested by the SSC..... 34
10 SEDAR 80 Queen Triggerfish Puerto Rico–SEFSC Presentation on
11 sensitivity runs requested by the SSC (continued)..... 49
12 SSC Guidance (recommendations) for additional analysis including
13 projections to finalize SEDAR 80 QT PR..... 56
14 Finalized SSC guidance recommendations..... 113
15 SEDAR 57 Spiny Lobster Update Assessment Progress Report– SEFSC
16 126
17 Review TORs SEDAR 84 yellowtail snapper (Puerto Rico and St.
18 Thomas/St. John) and stoplight parrotfish (St. Croix)..... 127
19 Appointments of SSC members..... 144
20 Island-Based Fishery Management Plan and Amendments Update... 146
21 National SSC (August 15-17, 2022) Update..... 149
22 Outreach and Education Advisory Panel Update..... 160
23 Other Business..... 166
24
25 - - -

1 **Caribbean Fishery Management Council**
2 **Scientific and Statistical Committee**
3 **Virtual Meeting**
4

5 October 4, 2022
6

7 The Scientific and Statistical Committee of the Caribbean Fishery
8 Management Council convened via webinar on Tuesday morning,
9 October 4, 2022, and was called to order at 10:06 a.m. by Chairman
10 Richard Appeldoorn.

11
12 **RICHARD APPELDOORN:** Good morning, everybody. We're just waiting
13 for a few more members of the committee to sign on before we get
14 started.

15
16 **GRACIELA GARCÍA-MOLINER:** Richard, Vance is trying to connect.
17 Reni will be here later this morning or this afternoon, and
18 Michelle said that she was going to join us as soon as she could
19 this morning, but you already have six out of 11.

20
21 **RICHARD APPELDOORN:** So, nothing from Tarsila or Todd?

22
23 **GRACIELA GARCÍA-MOLINER:** No, I'm sending them texts right now.
24

25 **Call to order and Roll call**
26

27 **RICHARD APPELDOORN:** Okay. Why don't we get started even though
28 there are a few people who haven't signed on yet? Good morning,
29 everybody. This is the virtual SSC meeting. It's October 4th, 2022.
30 It's 10:06 AM.

31
32 Before we get started, I want to read the rules of conduct for the
33 meetings. Starting with, either Graciela or Liajay you do this,
34 provide the information for people to be able to connect to the
35 meeting. Although, if they're listening to this, they're already
36 connected.

37
38 **GRACIELA GARCÍA-MOLINER:** Richard, the Federal Register was sent,
39 and it published the ScanMe Code, QR code that you see there will
40 go directly to the Federal Register announcement of the meeting.
41 It was published on all of the social media that the Council has.
42 There has been distribution of the announcement for the meeting
43 widely.

44
45 **RICHARD APPELDOORN:** Okay. So, participants are reminded that they
46 should mute their microphones until they are recognized by the
47 chair to speak. Participants can indicate that they wish to speak
48 by using the chat or raising their hand in the reactions feature.

1
2 The chat will be monitored to identify people who wish to speak or
3 who need assistance with technical difficulties. The chat should
4 not be used to address the Council, committee, or panel to make
5 public comments unless permitted by the chair. Sidebar
6 conversations and comments made in the chat will not be read and
7 will not become part of the record unless permitted by the chair.
8
9 When you have been recognized to speak, please state your name for
10 the record before making any comment or addressing the body. All
11 speakers are expected to conduct themselves in an orderly and civil
12 fashion during the meeting. This means speakers' comments are
13 expected to address specific agenda items and refrain from making
14 personal tasks against others.
15
16 Any conduct that interferes with the expeditious and orderly
17 process of the meeting may be subject to an individual being
18 removed from the meeting. Such conduct may include but is not
19 limited to improperly speaking without being recognized by the
20 chair and behavior or remarks that are discourteous,
21 disrespectful, or disparaging.
22
23 In participating in today's meeting, all participants have been
24 deemed to accept these rules of conduct.
25
26 With that, we move on to the roll call starting with the Members
27 of the SSC. This is Rich Appeldoorn SSC chair. Now let's call out
28 names. Hopefully, I have everybody on my list. Doug?
29
30 **DOUGLAS GREGORY:** Doug Gregory's present.
31
32 **RICHARD APPELDOORN:** J.J.
33
34 **JUAN J. CRUZ MOTTA:** J.J. Cruz, SSC member.
35
36 **RICHARD APPELDOORN:** Jason.
37
38 **JASON COPE:** Jason Cope, SSC. Good morning.
39
40 **RICHARD APPELDOORN:** Todd.
41
42 **TODD GEDAMKE:** Todd Gedamke is present.
43
44 **RICHARD APPELDOORN:** Walter.
45
46 **WALTER KEITHLY:** Walter Keithly is present.
47
48 **RICHARD APPELDOORN:** Eric.

1
2 **ERIK H. WILLIAMS:** Yes. Erik Williams is present.
3
4 **RICHARD APPELDOORN:** Michelle.
5
6 **MICHELLE SCHÄRER-UMPIERRE:** Buenos días, Michelle Schärer.
7
8 **RICHARD APPELDOORN:** I have something, I assume it's from Tarsila
9 saying that she's going to have issues because of her teaching
10 schedule. Is that correct, Graciela?
11
12 **GRACIELA GARCÍA-MOLINER:** Yes, that is so, and Jorge García sent
13 a message saying that he'll be here at the Council office as soon
14 as possible, this morning or around noon at the latest. Vance is
15 having problems connecting to the internet, and those are your SSC
16 members.
17
18 **RICHARD APPELDOORN:** Okay. Then can you read off the other
19 attendees that are linked in or present in the Council room?
20
21 **LIAJAY RIVERA GARCÍA:** Okay, so participants in Zoom, starting
22 myself, Liajay Rivera, Adyan Rios, Carlos I assume this is Carlos
23 Farchette, please confirm.
24
25 **CARLOS FARCHETTE:** Yes, Carl Farchette.
26
27 **LIAJAY RIVERA GARCÍA:** Thank you. Julian Magras, Jay Grove, Jesus
28 Rivera Hernandez, Julie Neer, Kate Zamboni, Kevin McCarthy, Marcos
29 Hanke, Martha Prada, Nancie Cummings. Nathan, may we have your
30 last name, please?
31
32 **NATHAN VAUGHAN:** Yep. Vaughan. I can add that to the thing. The
33 chat.
34
35 **LIAJAY RIVERA GARCÍA:** Thank you. Nelson Crespo, Nicole Greaux,
36 Refik Orhun, Sarah Stephenson, Shannon Calay, Virginia Shervette.
37 That's it for now. If I have skipped anybody, please speak now.
38
39 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, Graciela here. If I may,
40 please remember to state, at least, your first name when you start
41 speaking, you will see the transcription. We're trying to get
42 someone to transcribe the meetings and it's very hard when we don't
43 have the name of the person because we don't, we are trying new
44 companies, so they don't know us. Thanks.
45
46 **Approval of Verbatim Transcriptions**
47
48 **RICHARD APPELDOORN:** Next thing is the approval of the verbatim

1 transcriptions, and those are from, which meeting?
2

3 **GRACIELA GARCÍA-MOLINER:** This is for the last meeting of August
4 1st and 2nd. You should have seen either in Google Drive or
5 received, some of you, a copy of the five or six documents that
6 were presented to us by TranscribeMe. It's divided between the
7 morning and the afternoon. It identifies the person by number, you
8 know, S1, 2, S13, etcetera. So that's one of the reasons why we're
9 trying. We will welcome all comments on the trial with
10 TranscribeMe. It does have repetitive documents because they sent
11 us everything, even if they only changed, for example, the font.
12 When they changed something, they kept sending us the new version.
13 There should only be four documents that you should have received
14 morning and afternoon for each of the days. We're trying to figure
15 out how to deal with the new companies that we are testing. We
16 still owe you the April 2022 meetings. We had difficulty with the
17 recording of that meeting, but we are doing our best to get a
18 transcription out of both the Zoom recording and the official
19 recording of the meeting. So, we still owe you the April minutes.
20

21 Everyone knows what I'm talking about, right? The documents that
22 are in Word, that's your verbatim transcription of the August 1-
23 2 meetings.
24

25 **LIAJAY RIVERA GARCÍA:** The transcriptions?
26

27 **RICHARD APPELDOORN:** Yeah, I would like to postpone approval of
28 that. I'll apologize for my, not having looked at it, but I haven't
29 been with email for several weeks now following Fiona. I have not
30 been able to download it and take a look at how the new system is
31 working. So, if that works for people, I'd like to actually delay
32 that approval.
33

34 **GRACIELA GARCÍA-MOLINER:** We have everyone muted, so please unmute
35 yourself on the other side when you want to speak or raise your
36 hand and we'll unmute you here.
37

38 **RICHARD APPELDOORN:** Okay. I'm not hearing any objections, so I
39 would go back to the agenda, unless—
40

41 **GRACIELA GARCÍA-MOLINER:** Richard, excuse me. You have two hands
42 raised, J.J. Cruz Motta and Kate Zamboni.
43

44 **RICHARD APPELDOORN:** J.J.
45

46 **JUAN J. CRUZ MOTTA:** I just wanted to support the chair's
47 suggestion. Thank you.
48

1 **RICHARD APPELDOORN:** And the other one was Kate.
2
3 **KATHERINE M. ZAMBONI:** I wanted to introduce myself. I am with
4 NOAA general counsel in the southeast section, and I just wanted
5 to remind the chair that you are in charge of the agenda. So, if
6 you wanted to not approve that item or skip it or remove it from
7 the agenda for now you have the discretion to do that.
8
9 **RICHARD APPELDOORN:** Thank you. Kate. Does this mean you are
10 replacing Jocelyn?
11
12 **KATHERINE M. ZAMBONI:** Like she's not coming back, and I do want
13 her to come back, but I'm going to keep the seat warm until she
14 returns.
15
16 **RICHARD APPELDOORN:** Okay. Thank you very much. So, let's go to
17 the agenda which is on the screen before you.
18
19 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, point of order. Are you
20 approving the verbatim transcriptions, or do you want to move it
21 to do it later?
22
23 **RICHARD APPELDOORN:** I want to do that later because I haven't had
24 a chance to be able to look at the new system.
25
26 **GRACIELA GARCÍA-MOLINER:** Okay. So, does anyone have any items
27 that you want to change on the agenda?
28
29 **RICHARD APPELDOORN:** Yeah, I think there's been a couple of things
30 that have come up since we've put the agenda together. One was
31 suggested specifically by J.J. relative to the report from the
32 national SSC meeting,
33
34 **GRACIELA GARCÍA-MOLINER:** J.J. has raised his hand.
35
36 **RICHARD APPELDOORN:** Yeah, go ahead J.J.
37
38 **JUAN J. CRUZ MOTTA:** Good morning, J.J. here. I would like to
39 request that case study eight, which was a presentation we gave at
40 the national SSC be moved to the presential meeting, and basically
41 be removed from this agenda. Thank you.
42
43 **RICHARD APPELDOORN:** Yes, I have no problem with that. I think
44 it's important that we do hear that presentation, but we should be
45 giving it a substantial period of time so that we can discuss it.
46 That's a very interesting thing. It will also come up again in the
47 context of another new item, and that's control rules and climate
48 and there was a fair amount of overlap. We have seen some of the

1 stuff that was presented in the national SSC and this topic of
2 control rules and climate.

3
4 Another thing that has come up in the interim has been the, what
5 do you call it, the tentative listing of Queen Conch as threatened
6 on the endangered species list. Okay. That's now out for public
7 comment.

8
9 **GRACIELA GARCÍA-MOLINER:** Richard you also have the risk policy.
10 Risk policies.

11 **Adoption of agenda**

12
13
14 **RICHARD APPELDOORN:** And so, these will be as time permits. So,
15 are there any other requests or suggestions for alterations to the
16 agenda?

17
18 If not, is there any opposition to adopting the agenda that is now
19 presented?

20
21 Okay. I'm not hearing any opposition. So, the agenda is so adopted.

22
23 So, the first piece of business it's going to occupy a lot of our
24 time for this meeting is SEDAR 80 Queen Triggerfish. The committee
25 will remember that we had substantial discussions about this for
26 the assessment that was done for Puerto Rico. We came up with some
27 suggestions we would like to see done either in terms of analysis
28 or looking at different scenarios.

29
30 So, let's go ahead with that. Who's presenting the introduction
31 there?

32
33 **SHANNON CASS-CALAY:** Hi, Rich. I believe I will.

34
35 **RICHARD APPELDOORN:** Okay, thank you, Shannon. Go ahead.

36 **SEDAR 80 Queen Triggerfish Introductory Presentation-SEFSC**

37
38
39 **SHANNON CASS-CALAY:** Okay. I wanted to just begin by acknowledging
40 that this has been a very large team effort. So, while I am going
41 to present quite a few of these presentations, this is work that
42 has been conducted by Nancie Cummings and Adyan Rios, Kevin
43 McCarthy, and Nathan Vaughan. So, this has been a group effort. I
44 wanted to begin by introducing the control rule for the U.S.
45 Caribbean and just reminding people how we developed catch advice
46 for Spiny Lobster.

47
48 You can move forward one slide.

1
2 All right, the objective of this initial presentation is to
3 demonstrate the methods that could be used to estimate stock status
4 and to develop catch limits for Queen Triggerfish in Puerto Rico.
5 Using both your Caribbean control rule as well as an ensemble
6 approach to incorporate major scientific uncertainties.

7
8 We would also like to seek additional guidance from the SSC to
9 further refine the SEDAR 80 base case as needed, or the ensemble
10 membership.

11
12 Next slide.

13
14 Okay. So many of you have seen this a number of times, and for
15 those folks, I do apologize, but this slide serves as a handy
16 reference slide for all the acronyms that we tend to use in fishery
17 management.

18
19 We have the overfishing limit, which is the level above which the
20 stock is considered overfished. So that's the OFL. The acceptable
21 biological catch, which is a level set by the SSC, typically uses
22 their control rule to account for scientific uncertainty. Below
23 that, is an annual catch limit or the ACL. That is the catch level
24 set, typically, by the Council that if exceeded will invoke
25 accountability measures such as fish enclosures for gear
26 restrictions.

27
28 Um, and below that is the annual catch target or ACT, which is
29 used by some Councils to account for management uncertainty or to
30 achieve optimal yield in the fishery. This is all terminology that
31 we do use with some frequency.

32
33 Okay? The focus of this conversation will be on OFL and ABC because
34 that is the SSCs, prerogative.

35
36 Okay. So, I will start this presentation by walking you through
37 Tier 3 of your control role, which is typically used for data-
38 limited stock assessments. The condition for use of this Tier- and
39 this is in the new island-based fishery management FMP.

40
41 The condition for use is to, these are for relative data-limited
42 stock assessments or for stock assessments that are very out of
43 date. They produce status determination criteria, those include
44 the maximum fishing mortality threshold, which is the level of
45 fishing above which overfishing is occurring. It's typically set
46 at FMSY or its proxy FSPR30, for example, the minimum stock size
47 threshold or MSST, that is the stock level below which the stock
48 is considered to be overfished and by your control rule MSST is

1 set at 75% of the SSB at SPR30.

2
3 The MSY is a maximum sustainable yield. So that is the largest
4 long-term catch or yield that you can take out of a stock every
5 year in perpetuity under prevailing conditions. That is what we
6 are attempting to achieve through fishery management.

7
8 Next slide.

9
10 Okay. So, a Tier 3 stock assessment in the Caribbean can produce
11 both OFL and ABC. So, your OFL again is that annual catch that
12 occurs when you are fishing at FMSY or its proxy. The ABC value is
13 the acceptable biological catch, which must be equal to or reduced
14 from OFL to account for scientific uncertainty and to reflect what
15 the Council considers to be the acceptable risk of overfishing.

16
17 The scientific uncertainty in the Caribbean control rule is
18 determined by the SSC, and in Tier 3, you have chosen to set it at
19 $2 \times \text{Sigma_min}$ where Sigma is scientific uncertainty and the
20 Sigma_min that the SSC has used in the Caribbean Spiny lobster
21 assessment is 0.5. So, you've used two times a Sigma_min of 0.5 in
22 Tier 3.

23
24 The acceptable probability of overfishing, we often call P^* and it
25 has- in this Caribbean Council, it has been assigned by the
26 Council, essentially, and it is typically, they asked for values
27 of P^* between 0.4 and 0.5, which means that they're accepting a
28 45% to 40% probability of overfishing.

29
30 For those of you who are familiar with other Councils, this is a
31 little bit different in concept because what we've asked the SSC
32 to do is focus on the scientific uncertainty, which I'll show you
33 is the width of the PDF, essentially, on the overfishing limit.
34 Make sure that it contains what you consider to be a valid estimate
35 of scientific uncertainty and allow the Council to focus on the
36 probability that they're willing to accept overfishing. So those
37 two responsibilities are quite separate. The way we have exercised
38 them in the Caribbean. I'll show you how this functions in this
39 presentation.

40
41 Next slide.

42
43 All right. So, first I'll talk about how we calculate the annual
44 OFL. A stock assessment, even a data-limited stock assessment,
45 such as those used for Spiny lobster and Queen Triggerfish can
46 produce a point estimate of the annual OFL. So, in this example,
47 which is completely hypothetical, the point estimate, or the
48 maximum likelihood estimate, as we sometimes call it, I have set

1 it at 100,000 pounds.
2
3 Next slide.
4
5 We, in stock assessments, use the variance in the data inputs and
6 in the modeling parameters to produce a range of estimates. We do
7 this, essentially, through a variety of processes such as
8 bootstrapping a stock assessment or by inverting the Hessian
9 matrix, which is essentially creating that PDF on the estimate of
10 OFL.
11
12 What you see here now, in the blue, is a range of values of OFL
13 that could be produced for a stock assessment and then the
14 cumulative frequency function. This we call a PDF (probability
15 density function) on OFL, and the point estimate is typically the
16 median of this distribution. Here it's shown with the red bar at
17 100,000 pounds.
18
19 So next slide.
20
21 All right, so once you have your point estimate or your median of
22 the OFL, and you have established the range by bootstrapping a
23 model or by resampling process, some methodology by which you have
24 characterized the scientific uncertainty in that model, and
25 produce the PDF, you can then calculate the ABC value, the
26 acceptable biological catch.
27
28 In the Caribbean control rule, two factors determine how large the
29 difference is between OFL and ABC or the magnitude of the
30 reduction. And those two parameters are the Sigma_min that you've
31 chosen and the P* value.
32
33 So first, let's just look at the P* value in isolation. That is
34 the probability of overfishing.
35
36 Next slide.
37
38 All right. Just a reminder that by convention, the highest legal
39 P* value that an SSC could use is 0.5, which would have a 50%
40 probably of overfishing. A cautionary note, that would set your
41 OFL exactly equal to ABC. It should only ever be considered for a
42 very data-rich stock assessment when you can assume that scientific
43 uncertainty is negligible.
44
45 In fact, most Councils have chosen to use P* values much lower
46 than that in the range of 0.3 to 0.45, which would give them a 30%
47 to 45% probability of overfishing, and they've done so to create
48 a buffer between OFL and ABC to avoid triggering overfishing over

1 fish determinations. So, to avoid triggering fishery closures, for
2 example. You would like to have a buffer between OFL and ABC that
3 accounts for your scientific uncertainty.

4
5 Next slide.

6
7 All right, so what is the effect of the P^* itself, right? Now this,
8 again, is just in isolation. So, in this case, I've created a PDF
9 on OFL that has a $\text{Sigma}_{\text{min}}$ of 0.36. So, this is, what's considered
10 to be, a relatively data-rich $\text{Sigma}_{\text{min}}$, which has been essentially
11 borrowed from the Walston approach, which is a procedure applied
12 to data-rich stock assessments.

13
14 When I am showing you here is a red arrow that's at the 50th
15 percentile. That's where you find OFL, at the 50th percentile. And
16 that is a hundred thousand pounds because this is an example and
17 I fixed it there, right? Now, if you were to use a P^* of 0.5,
18 you're setting OFL equal to ABC and there is no reduction and no
19 buffer, which is the first row on this table.

20
21 If you move down to the yellow arrow, which is set at the 40th
22 percentile. That corresponds, this is the 40th percentile, to an
23 ABC of 91,283 pounds. In this case, ABC is 91% of OFL and you get
24 about a 9% reduction, which can be considered a buffer. And you'll
25 see when you get down to levels as low as 0.25 or 25% probably of
26 overfishing, you're reducing that further. So now you've got about
27 a 22% reduction between OFL and ABC.

28
29 This is one way that you can create a buffer between OFL and ABC.
30 But in general, in this Council, we have suggested that P^*
31 essentially be retained as a prerogative of the Council with the
32 understanding that it is not to exceed 0.45 and that the SSC focus
33 instead on the width of the PDF, which I will show you now.

34
35 Okay, next slide.

36
37 So that percent reduction that I just showed you depends on both
38 the width of the PDF, which we're calling $\text{Sigma}_{\text{min}}$ and on P^* .
39 This plot shows you the percent reduction or the- It's the actual
40 fraction that ABC is of OFL, right? So here in this first teal
41 line, when it connects to the Y axis, you see a value of about
42 0.8. So, that's saying that ABC would be about 80% of OFL there,
43 or about a 20% reduction. That would be at a P^* of about 0.25.

44
45 What I'm showing you here, in this chart, is that the different
46 colored lines actually show you different widths of the PDF. The
47 one on the top that's in the teal is a Sigma of 0.36, which is
48 relatively data-rich, and then increasing the width of that OFL as

1 you move down to what could be more data-poor assessments. The
2 largest PDF here is us is actually a Sigma of 1.44. You'll see
3 that the buffer you get, as you move from a probability of
4 overfishing of 0.5 to 0.25, the buffer you get can be quite large
5 because you have expanded the size of your PDF. So just a reminder
6 that in the Caribbean Council you have, typically in Tier 3, used
7 a Sigma_min of 0.5 times two. That's roughly, where this green
8 line shows up on the figure, would be your percent reduction
9 between OFL and ABC that you have typically applied in, well, that
10 you have recently applied to the Spiny Lobster assessment, for
11 example. And you have used a probability of overfishing of 0.4 to
12 0.45. That shows you kind of the reductions between OFL and ABC
13 that this control rule produces.

14
15 Next slide.

16
17 Just another example to put more concrete numbers in front of you.
18 In this completely hypothetical case, again, let's assume we're
19 going to use a Tier 3 stock assessment. We're going to use a Sigma
20 value at two times Sigma_min and the Sigma_min of 0.5 like you
21 did, I believe, for Spiny Lobster. This shows you from the stock
22 assessment, a hypothetical example of the OFL that is produced for
23 each year and the ABC that would be calculated from that OFL, and
24 the percent that ABC is of OFL. So, that's a 22% reduction, 78%
25 ABC is 78% of OFL. That's how your current control rule works and
26 we have already, essentially, assumed that in Tier 3 the scientific
27 uncertainty would be quite large. And so, we already have increased
28 that Sigma_min to 0.5 to account for, essentially, a stock
29 assessment that has considerable scientific uncertainty and then
30 expanded it further by applying two times Sigma_min. You're already
31 using a PDF on OFL that is expanded in your Tier 3 control rule,
32 even if you use a base model that does not fully include all the
33 relevant scientific uncertainty.

34
35 Next slide.

36
37 I think that's it for that presentation. So I just wanted to be
38 very clear that when we put together that control rule with the
39 SSC, it was understood that in the Caribbean we have a number of,
40 let's put it this way, the stock assessments are relatively data-
41 poor, and we have a number of major scientific uncertainties that
42 were not accounted for by typical stock assessment models, and in
43 particular by data-limited stock assessment models. So, we did
44 make an effort to create a control rule that accounted for the
45 scientific uncertainty, at least in a way that as we improve our
46 scientific uncertainty, we can move up into Tiers that make that
47 Sigma_min smaller, right? But in the data-limited Tiers, it has a
48 considerable amount of scientific uncertainty built into your

1 control rule.

2
3 So, before I start with the ensemble modeling approach, I just
4 wanted to make it clear that from the Science Center's perspective,
5 a valid way to move forward with SEDAR 80, could be, to establish
6 what you feel is a relatively appropriate based model and move
7 forward with your Tier 3 control rule. That is one possible
8 decision that SSC could make.

9
10 With that, I will stop this introductory presentation and give you
11 a moment to ask any questions you might have.

12
13 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Jason
14 Cope.

15
16 **RICHARD APPELDOORN:** Yes, go ahead, Jason. Yeah.

17
18 **JASON COPE:** Thank you. Shannon, great presentation. I hope that-
19 that was very useful for me to see and hopefully for everyone else.
20 I just wanted to confirm a couple of things. You point out that
21 the Sigma_min is 0.5, does that mean it is 0.5, or does that mean
22 at a minimum it's going to be 0.5, *but* whatever the assessment
23 says in its standard deviation for OFL, whether that comes out of
24 one model, or it comes from an ensemble. If that's larger, say it
25 comes out at 0.6 for an ensemble model or something like that,
26 then the Sigma_min would be 0.6 and not 0.5 and that would be used
27 in the control rule, is that correct?

28
29 **SHANNON CASS-CALAY:** I think that's entirely up to the SSC, but
30 yes, that is what we were- I think the SSC was attempting to say
31 that the PDFs that are currently coming out of stock assessments
32 are much smaller. And so, they do not account for the scientific
33 uncertainty as we understand it. And so, there was a need to expand
34 that to a plausible level of scientific uncertainty.

35
36 If in fact, we found the stock assessment model produced a larger
37 Sigma_min than that, we would use it directly. That's what I think-
38 but I think that decision is up to the SSC as well.

39
40 **JASON COPE:** Great. Perfect. That's excellent. Yeah, I just wanted
41 to put that out there to make sure that that was on the table and
42 that other SSC members understood that that is a possibility that
43 0.5 isn't- I guess what I would just want to raise here is that
44 there's important work being done on the characterization of
45 uncertainty by the stock assessors. And if we just went with 0.5
46 and totally ignored that through the work of ensemble modeling and
47 other ways of gaining more understanding of that uncertainty, we'd
48 be missing something. So, I just wanted to make sure, and confirm

1 with you that that was a reasonable assumption of something that
2 the SSC could consider.

3
4 Then my second clarification was, I think earlier when you were
5 talking about the maximum, basically, the SPR30% here times 75%
6 was another reduction? Was that right? Was that the minimum stock
7 size threshold based on that Tier three assumption that you take
8 whatever the value is and reduce it by 25% and that becomes the
9 minimum stock size threshold? I just want to confirm that or
10 clarify it.

11
12 **SHANNON CASS-CALAY:** Yeah. So, we would estimate the spawning stock
13 biomass level at MSY, right? or its proxy. Now, because there are
14 natural variations, say in recruitment and natural mortality,
15 there are always deviations above and below that level that are
16 not due to fishing precisely. Right? There are natural variations
17 in biological conditions, and so what the Magnuson Act allows is
18 to set a value below that level that you can now call your
19 overfished threshold, right? Your minimum stock size threshold,
20 and that you can essentially allow the stock to deviate between
21 MSST and the level that supports MSY without requiring management
22 action. But as soon as your stock gets below 75% of the level that
23 supports MSY, then you are overfished and you must create a
24 rebuilding plan that rebuilds that stock back up to the level that
25 supports MSY within 10 years, if possible.

26
27 **JASON COPE:** That's great. Yeah. And again, I just wanted to
28 highlight that for the SSC members, for us all to understand that
29 there are multiple dimensions of uncertainty going on here that
30 have been built into these rules for this Tier. One is on the
31 overfished side and the other one is for setting ABCs from OFLs.
32 Thank you so much.

33
34 **SHANNON CASS-CALAY:** You're welcome.

35
36 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you also have raised hands for
37 Michelle Schärer and Doug Gregory in that order.

38
39 **RICHARD APPELDOORN:** Okay, thank you. Michelle?

40
41 **MICHELLE SCHÄRER-UMPIERRE:** Hi. Good morning, Shannon, thank you.
42 That was very useful for me. I just had one question regarding
43 something you mentioned that was management uncertainty, and I
44 suppose it doesn't really get into our purview, but maybe you could
45 explain a little bit about that.

46
47 **SHANNON CASS-CALAY:** Sure. Usually, that is the Council's
48 prerogative to decide if they want to further buffer, right? If

1 they want to be even a little bit more, I'll say the precautionary
2 word, and try to buffer for the fact that, for example, if you set
3 an annual catch limit, it could be exceeded if you have a fishery
4 that is not well monitored in real-time. Or other reasons why your
5 management measures are as not as effective as you expected. And
6 so that's up to the Council to determine if they want to further
7 buffer to account for those sorts of issues where management is
8 not as effective as expected. Did that kind of answer your
9 question? That was a lot of rambling.

10
11 **MICHELLE SCHÄRER-UMPIERRE:** Absolutely. No, that's great. Thanks.

12
13 **SHANNON CASS-CALAY:** Thanks.

14
15 **RICHARD APPELDOORN:** Okay. Doug?

16
17 **DOUGLAS GREGORY:** Thank you, Chair. Thank you, Shannon, that is a
18 good presentation, I expect you'll see it in the go-off pretty
19 soon.

20
21 I have a basic statistics question. It's kind of embarrassing, but
22 I know Sigma is standard deviation, but what is Sigma_min at 0.5
23 on the PDF? Is that halfway between OFL and zero? or
24 approximately?

25
26 **SHANNON CASS-CALAY:** So essentially what we're saying is that
27 rather than actually using the CV of the PDF that comes directly
28 out of the stock assessment model, right? We're going to abandon
29 it and use a Sigma_min, a minimum level of scientific uncertainty.
30 It's actually a Sigma_min that's applied to all three. Tier one,
31 two, and three of the stock assessments have the same Sigma_min
32 value. It doesn't come from the stock assessment process at all.
33 In fact, right now it's borrowed from a manuscript by Privitera-
34 Johnson, which is actually an update of the Ralston approach.

35
36 Without getting into excruciating detail, it's a North Pacific
37 process where they looked at all of the stock assessments that
38 they had that had been conducted numerous times. They looked at
39 the between assessment levels of scientific uncertainty, both in
40 the stock assessment historical period and in the projections in
41 the Privitera-Johnson approach. What they found was, that for data-
42 rich stock assessments, if you include the projections, the actual
43 Sigma_min that you get, if you do the stock assessment multiple
44 times over a number of years, is about 0.5. And so that's the
45 Sigma_min that the Caribbean Council SSC adopted as their data-
46 rich Sigma_min.

47
48 Now that's only used, that way, in Tier 1 for data-rich stock

1 assessments and we have never used an assessment in that Tier yet
2 here.
3
4 Tier 2 is for stock assessments that have reliable information,
5 about two of the three major components. So, the major components
6 are catch, length composition data, and indices. If you have at
7 least two of those that are high quality, you could move to Tier
8 2 and then you use a Σ_{min} , you use the Σ of 0.5 times
9 1.5.
10
11 In Tier 3, which is for data-limited stock assessments. It's 2
12 times the value of 0.5. But that Σ_{min} value is just a
13 replacement for the stock assessment scientific uncertainty, that
14 comes from the Privitera-Johnson manuscript.
15
16 So that was a lot to say, and I can go back and recover any part
17 of it if I left you a little confused.
18
19 **DOUGLAS GREGORY:** Basically, what I'm- I don't know how the graph
20 on slide 11 is created. You know, a Σ_{min} of 0.5, if you
21 multiply times two to get one, I don't know what a standard
22 deviation of one is. I guess it's the graph on slide 11.
23
24 And if that's too much right now, that's fine. You could send me
25 something by email later or send it to Rich and he can send it to
26 the full SSC.
27
28 I mean, it just sounds- it seems too abstract in the way we're
29 using it.
30
31 **SHANNON CASS-CALAY:** Yeah. So, I think technically you're asking
32 me about the distinction between standard deviation and CV, I
33 believe. Essentially, I think what we're using is equivalent to a
34 CV min.
35
36 **JASON COPE:** And that's because, if I can just pop in, the OFLs
37 are on, usually these are on log-normal space. So, the standard
38 deviations that we're talking about are actually log-normal
39 standard deviations, which are approximated by CVs. That
40 approximation kind of gets lost when you get above 0.2, certainly
41 above 0.5, but that's why we kind of use them interchangeably and
42 it can be confusing.
43
44 I think the other, Doug, I don't know if this is helpful, but that
45 original Ralston approach, you can think of this uncertainty in
46 biomass, and they looked across assessments and people who did the
47 assessments, they did all this looking and they quantified what's
48 the uncertainty around spawning biomass across all of these

1 assessments?

2
3 Shannon, you have a really good plot figure, I think it's probably
4 maybe a couple of slides earlier where you just have the
5 distribution of OFL. The original analysis was a distribution of
6 spawning biomasses from which they calculated in log space the
7 standard deviation. It used to be 0.36. The Privitera-Johnson and
8 Punt work did the correct thing and moved to actually doing what
9 Shannon's showing here. That's showing a distribution of OFLs, not
10 spawning biomass because the OFL incorporates other uncertainties.
11 It incorporates the uncertainty in your reference points. This is,
12 let's call it, a more correct, for what we care about,
13 representation of uncertainty. They found that in this
14 distribution of OFLs, across many assessments, it was around 0.5.

15
16 When in saying that it's around 0.5, as Shannon noted, that would
17 be data-rich, you just kind of trust all the uncertainty that's
18 coming out of your one reference assessment. But because these are
19 more limited in data, we are assuming there's more uncertainty
20 that's not being captured. And so, there's this very rough
21 approximation of just saying, let's just double whatever Sigma
22 we're going to use, whether it's 0.5 or if it's something even
23 bigger that's coming directly measured out of a particular
24 assessment that we care about, let's multiply it by two and then
25 apply the P* control rule to that.

26
27 The multiplying it by two is consistent with other places that do
28 it in the country, but it's also arbitrary. It's not based on
29 anything specific. I don't know, maybe that's part of the confusion
30 here, but know that that part's arbitrary, but the Sigma part is
31 not arbitrary. It's based on these past studies to set a minimum
32 and then the opportunity to use an even bigger one if the
33 assessment was able to characterize more uncertainty.

34
35 Hope that's helpful.

36
37 **DOUGLAS GREGORY:** Okay. Thank you. I'll let it go.

38
39 **RICHARD APPELDOORN:** Are there any other questions from the
40 committee?

41
42 **GRACIELA GARCÍA-MOLINER:** No other raised hands. We don't have
43 anything on the chat and no other raised hands.

44
45 **RICHARD APPELDOORN:** Okay. So again, thank you, Shannon, for what
46 I thought was a very excellent presentation and intro to what we're
47 going to be addressing. Are you going to be presenting the next
48 presentation?

1
2 **SHANNON CASS-CALAY:** Yeah, you can't get rid of me that easy. I
3 think I am.
4
5 **RICHARD APPELDOORN:** Oh, no, I much prefer to have you. Thank you.
6
7 **SHANNON CASS-CALAY:** All right, so we can start the next
8 presentation. They're attached, the two.
9
10 **LIAJAY RIVERA GARCÍA:** Yeah. Hold a second. All right. Let me know
11 if it is this one.
12
13 **SHANNON CASS-CALAY:** Nope, that's the third. So, it's okay. It's
14 actually appended to the first presentation.
15
16 **LIAJAY RIVERA GARCÍA:** Let me know now. It's just that they all
17 have the same format. Shannon, can you see it now?
18
19 **SHANNON CASS-CALAY:** Yeah, I think it's still not that one. Sorry.
20 If you open the first one, which is the introductory presentation.
21 It begins about 13 slides in. It has another title slide, but it's
22 directly. Sorry to cause confusion.
23
24 **LIAJAY RIVERA GARCÍA:** Oh, okay. In the same file. Got it.
25
26 **SHANNON CASS-CALAY:** Okay. That is it.
27
28 **LIAJAY RIVERA GARCÍA:** Sorry about that.
29
30 **Review SEDAR 80 Queen Triggerfish Assessments Term of References**
31
32 **SHANNON CASS-CALAY:** No problem. All right, so this gets more
33 complicated. Are we ready? I will do my best to explain this in a
34 concise and non-technical language. And very happily. I have Nathan
35 Vaughan, who's listening in, and can help us with any technical
36 details that I might butcher unmercifully.
37
38 This is now towards an ensemble approach. This is another way to
39 incorporate scientific uncertainty into your calculations of
40 current stock status and sustainable yields or catch advice for
41 Queen Triggerfish.
42
43 There's a big disclaimer in this presentation. This is intended
44 solely to illustrate the concept and should not be used for
45 management advice without further refinement.
46
47 You may recall that we met in July of 2022, and we did provide the
48 SEDAR 80 stock assessment report for Queen Triggerfish in Puerto

1 Rico. At that meeting, the SSC expressed a number of concerns about
2 sources of uncertainty that had not been addressed sufficiently in
3 the stock assessment, including the initial equilibrium catch that
4 we assumed, the steepness values, the L infinity, and historical
5 landings, and by that, I mean, the MER series versus Puerto Rico
6 DNR.

7
8 So, in this ensemble approach, we'll show you how you can
9 incorporate a major scientific uncertainty into your management
10 advice. In this particular case, we're showing you the initial
11 equilibrium catch, and there is a reason for that. It's because it
12 is quite sensitive in the model, and so it does, by that
13 incorporation alone, it is a major improvement to the inclusion of
14 scientific uncertainty in the stock assessment.

15
16 Next slide.

17
18 All right, some background information. The landings records that
19 we had available to us for SEDAR 80 for Queen Triggerfish in Puerto
20 Rico began in 1983. We have testimony from the fishermen and some
21 SSC members as well, that historical landings prior to that period,
22 although not well quantified, may have been significant. All right?
23 So very clearly there had been historical landings of some
24 magnitude that was not well known. The initial stock assessment
25 structure, basically, the initial catch that we assume in a stock
26 assessment, can have a significant impact on the final model
27 estimates both of the current stock status and the sustainable
28 yields.

29
30 So, in order to account for that source of scientific uncertainty,
31 we have put together an ensemble modeling approach and we will use
32 it to demonstrate this concept, essentially.

33
34 Okay. Next slide.

35
36 We did use the Queen Triggerfish model in this case as an example,
37 but I wanted to make sure it's understood that any final results
38 are pending and will be presented in November because we still
39 have a number of decisions to make before we can be assured that
40 the base model is considered final.

41
42 The methodology that we applied, is that we conducted an initial
43 search across a range of initial equilibrium catches, ranging from
44 20 to 150 metric tons in one metric ton steps to identify the range
45 of initial catches that were supported by the rest of the data in
46 the model, based on the model log-likelihood function. So, the
47 likelihood that's produced by the model.

48

1 Once we had established that initial search and we had found the
2 level of initial equilibrium catch that was most likely, given the
3 other data in the stock assessment model, we ran a much coarser
4 grid of 10 metric ton intervals to estimate all of the model
5 outcome results, under a range of constant catch projections into
6 the future.

7
8 We are showing you a grid in metric tons because that does match
9 the model units. But where necessary, we have converted those
10 metric tons into pounds so it can be more easily understood.

11
12 Next.

13
14 Now, this is hard to visualize, but I have a graphic coming up in
15 a moment that should help. For each of these ensemble models that
16 we created, we weighted them by their likelihood. That formula is
17 shown here now.

18
19 We weighted them with a 0.5 variance expansion factor. Some of you
20 who are more familiar with this procedure are more accustomed to
21 that value, 0.5 being one. This was done because it is more
22 equivalent to the two times sigma_min. But it is something we would
23 like to receive feedback on because we could do it differently if
24 you don't think that's sensible.

25
26 Okay. So, we can now produce, using this approach, the expected
27 equilibrium landings, all of the relevant Magnuson-Stevens, status
28 determination criteria, and reference points. We can also estimate
29 the current fishing mortality and the current running stock biomass
30 and provide stock status estimates, including the probability of
31 the stock being overfished, that overfishing is occurring, and
32 that the stock is in a healthy condition, neither overfished nor
33 undergoing overfishing.

34
35 Next slide.

36
37 All right, so now more pictures, less words, hopefully. All right,
38 so this is a graphic that shows you the initial search we made
39 from 20 to 150 metric tons, I think. And so, we've converted this
40 here to pounds, so it's easier to understand. But what you see
41 here is a surface with a large trough, right?

42
43 On your y-axis is the negative log-likelihood of the stock
44 assessment model. On your x-axis is that initial equilibrium catch
45 assumption. What this shows, is that the surface is highly
46 estimable, that in fact, values between 100 and 150,000 pounds of
47 initial catch are most probable, because they have the lowest log-
48 likelihood. And so, where that big red arrow is, is about the

1 maximum likelihood of this function. It was about at 127.9 thousand
2 pounds. So that's the most probable initial catch.
3
4 When we ran the coarser grid across these initial catches, we
5 weighted those models in our ensemble by their likelihood
6 essentially. So, models with much lower or much higher initial
7 catches were included but given far less weight because they're
8 less probable given the other data in the stock assessment.
9
10 So hopefully that is clear, but if not, Nathan's on board to help
11 us sort that out.
12
13 Okay, next slide.
14
15 This is actually the PDF of OFL that you get out of this ensemble
16 approach. So, it's no longer a point estimate it is a pdf. It is
17 actually narrower than the PDF that you're assuming in your Tier
18 3 stock assessment. I can't recall exactly what it is, but it's
19 significantly narrower than a CV of 0.5, but it does show you that
20 your 95% confidence intervals on OFL, the overfishing limit are
21 between 65 and 123,000 pounds.
22
23 Your blue line here is the mean of 88.6 thousand pounds, and your
24 red line is the median of 86.7 thousand pounds. That is OFL.
25
26 Next slide.
27
28 Now, this is a figure that I'm not sure we've walked through
29 frequently or ever in the Caribbean council. Perhaps we have. But
30 this is basically a phase plot diagram that shows you your current
31 stock status. You can see here the full suite of scientific
32 uncertainty. Each one of these dots is an individual estimate that
33 comes from the ensemble modeling approach. Basically any- this is
34 hard to do without being able to point. Any value above the
35 horizontal line at one. Right?
36
37 So, any value above F/F_{SPR30} is a stock that is experiencing
38 overfishing. All those are in red. Any value that is to the left
39 of the MSST value, which is 0.75 times or 0.75 SSB/SSB_{SPR30} , those
40 are also in red. That is a stock that is overfished. The yellow is
41 actually when you are not overfishing, and you are between the
42 level that supports MSY and the MSST value. So, you're not
43 overfished, but you're in that cautionary area where you're lower
44 than what supports MSY as well. And then where you want to really
45 be is in that healthy green area, right? Which is not overfishing
46 and not overfished. In this case, the ensemble says that you have
47 about a 61.7% chance that you are not overfished. You're in that
48 healthy green zone, right? You're above the level that supports

1 MSY and you're not overfishing.
2
3 You can go ahead with the next slide.
4
5 When you look at your Magnuson and Stevens, this is the table that
6 is produced from the ensemble now, not from a single base run. You
7 can see that your current level of fishing is about 79% of the
8 level of FMSY so you're not overfishing. That's the 0.79 that's in
9 bold green. You're also not overfished. You're about 1.49 times
10 the level of MSST. Your responding stock biomass is well above the
11 level that supports MSY and even above MSST. Or well above MSST,
12 and also above the level that supports MSY. So, What I'm really
13 showing you here is that, very much like a base model, we can
14 produce these same MSRA benchmarks instead of discrimination
15 criteria from the ensemble approach as well.
16
17 All right, next slide.
18
19 You can also use the same approach to project and to develop the
20 catch recommendations. To do this, essentially what we've done is
21 we've created constant catch projections in a range from five
22 metric tons to 70 metric tons, for 100 years to assure that
23 equilibrium was achieved. The projection settings that were used
24 were the same, I believe, the same as what was attempted for SEDAR
25 80. The relative F between the fleets was the average from 2017
26 through 2019. The terminal year selectivity patterns were used. We
27 used the recruitment derived from the Beverton-Holt stock-
28 recruitment relationship. Steepness is still fixed at 0.7 in this
29 ensemble approach as it was in SEDAR 80. The landings in 2020 and
30 2021, you know, we don't have from this ensemble approach. So, we
31 had to make an assumption about them and they were fixed at a
32 recent three-year average.
33
34 Next.
35
36 All right, so now this is a plot that we like to call chicken feet.
37 I'm not sure- well you can see why, but because we have to amuse
38 ourselves somehow because we do very, very mathematical things.
39 But the first plot that you see on your left is the trajectories
40 at each constant catch level of F/FSPR30. So, you'll see the value
41 of one with a heavy black line and that is the overfishing
42 threshold. And so, any constant catch projection above that line
43 is suggesting overfishing will occur. Right? So, the ones in yellow
44 and green are all suggesting that if you fish at that constant
45 catch level, it will be overfishing.
46
47 The ones that are typically in the purple colors on that same
48 figure suggest you will not be overfishing. You have a high

1 probability at those constant catch levels that you will not be
2 overfishing. And so, from that first panel on the left, it supports
3 constant catch values of roughly, you know, looks like roughly 85
4 to 88,000 pounds will not be likely- well, they will have about a
5 50% probability of overfishing. Values less than that have a lower
6 probability of causing overfishing.

7
8 Now you see the same thing on the right-hand side. But now you're
9 looking at the SSB/SSB at MSY, the proxy, that was used. So, values
10 above one, you know, suggest that the stock is above the level
11 that produces MSY at that constant catch level. And values below
12 one, say the stock will be depleted below the level that produces
13 MSY. It shows you the same result. Essentially, the constant catch
14 scenarios that allow the stock to remain above the level or at the
15 level that produces MSY range for about 85 to 88,000 pounds in
16 this example.

17
18 So, I think it's clear, but I'll just point out again that those
19 projections that we did at constant catches of 130,000 pounds and
20 above are shown in those yellow colors. It's just trying to make
21 it clear that those show very clearly a high probability of
22 overfishing and that the stock can be expected to continue to
23 decline below levels of support MSY.

24
25 All right, next slide.

26
27 Provisional catch recommendations. So, we tried to find a constant
28 catch level that you could take each year that would make sure you
29 don't exceed a 50% probability of overfishing. And so, using this
30 provisional ensemble, the OFL could be considered to be the line
31 in blue, which is the 50% probability of overfishing. And it occurs
32 at a catch of about 82,700 pounds over the next five years. That
33 would give you about a 50% probability of overfishing. If you
34 wanted to then reduce it by a P* value, you know, the P* value
35 that maintains a 40% probability of overfishing is shown in the
36 orange line, it's about 77,000 pounds.

37
38 So basically, this was based, loosely, at least on something close
39 to a base model for SEDAR 80. The recent landings had been about
40 78,000 pounds for this species. And so, this ensemble, although
41 provisional, suggests that catches at the current levels appear to
42 be sustainable under current conditions.

43
44 Next slide.

45
46 That's it. So are there any questions about that approach,

47
48 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Jason

1 Cope.
2
3 **RICHARD APPELDOORN:** Yeah, go ahead Jason.
4
5 **JASON COPE:** Thank you, Rich. Thanks again, Shannon. Another really
6 good presentation. My question about the projections forward was,
7 was that you all projecting the actual ensemble forward or taking
8 the recommendations of the ensemble and then applying it to the
9 base model? I think it was the former, but just clarify it for me.
10
11 **SHANNON CASS-CALAY:** That was literally projecting every single
12 member of the ensemble using the entire, you know, all of the
13 constant catch scenarios. It was very, it is quite cumbersome and
14 rather time-consuming
15
16 **JASON COPE:** Great. Yes. Exactly. And that's what I wanted to point
17 out to members of the SSC. What they're doing here it's really
18 interesting and it's not formalized in a very easy way. They're
19 running many, many, many, many stocks synthesis models forward,
20 instead of just one. Because a stock synthesis is not set up to do
21 ensemble modeling.
22
23 So, this is a lot of work. I appreciate it. Thank you.
24
25 **RICHARD APPELDOORN:** Thanks, Shannon. This is Rich. I'm a little
26 confused about how this is different. I understand the ensemble
27 part in terms of generating the normal values that you would get
28 and you had the probability density function etcetera. Then, I'm
29 a little lost about why you were doing all these projections.
30
31 **SHANNON CASS-CALAY:** Well, it's interesting, Rich, because as it
32 turns out, we're not entirely certain that all of the constant
33 catch projections will be necessary for the future. When we started
34 this process, we mirrored it on what we often do at ICCAT for the
35 highly migratory species assessments. You know, they create a
36 probability table that at each level of constant catch, and each
37 year, they want to see the probability that the stock will be
38 undergoing overfishing or be overfished.
39
40 But you know, it may be that the requirements of the Caribbean
41 control rule could be satisfied using an ensemble approach for a
42 stock that's not overfished by just the FMSY equilibrium projection
43 and by the F rebuild projection of a stock that is overfished.
44
45 So maybe we can simplify this approach in the future so that all
46 the constant catch projections are not required. But it did allow
47 us to create the chicken feet graphics that we call, that kind of
48 demonstrates the concept and allows you to see very visually, you

1 know, where the constant, what level of constant catch is
2 maintaining the stock at the level that supports MSY and not
3 producing a likelihood of overfishing.

4
5 **RICHARD APPELDOORN:** Okay. I sort of understand that, but I'm not
6 sure that's exactly where I was going. Could you go back a couple
7 of slides where you had a, I think you had a PDF distribution?
8 Yeah, that one.

9
10 So, this is looking very much like the single model approach
11 output, yet this is for the ensemble, correct?

12
13 **SHANNON CASS-CALAY:** Right. So, this is the ensemble and it's, you
14 know, it's weighted, the members of that ensemble are weighted by
15 their likelihood. It does produce a relatively narrow PDF. Now, if
16 we added additional members to the ensemble, you know, that PDF
17 would become larger.

18
19 Um, it would also be larger if we weighted them equally, for
20 example. But that would probably be inappropriate because we can
21 show you that they aren't equally likely, the ensemble members.

22
23 **RICHARD APPELDOORN:** Right. I understand this and from something
24 that looks like this, we could use the same approach that was done
25 before applying P^* and a minimum variance, correct?

26
27 **SHANNON CASS-CALAY:** That's correct.

28
29 **RICHARD APPELDOORN:** Right. So, the next slide was like- thank you
30 for presenting that, because I hadn't seen that before. It's really
31 interesting. It kind of shows a different view of these kinds of
32 uncertainties that we're looking at. So anyway, those are good.
33 It's the next one, I think where you're listing the table of all
34 the values. Is that correct?

35
36 So, this is just reiterating the kind of using the ensemble
37 approach, but in the same way, we would use the single model
38 approach. And so, it's after this point that you lost me as to why
39 you were, or how the chicken feet were being- is going beyond what
40 we would normally have done using the control rule that we have at
41 the moment.

42
43 **SHANNON CASS-CALAY:** So, I will try one more stab at it, and then
44 I'll invite Nathan Vaughan to jump in if he thinks there's more to
45 the story. But, you know, when we initially did this, we were- I
46 think what we were trying to do is give the SSC an idea of the
47 constant catch level, that would allow them to have a certain
48 probability of staying in that green quadrant where you are not

1 overfished and not experiencing overfishing.
2
3 But that's not really consistent with Magnuson because Magnuson
4 only requires that you, if you are above the level that supports
5 MSST, the requirement is to prevent overfishing from occurring.
6 There is no requirement until you fall below MSST to rebuild the
7 stock. Right. And so, we were concerned that what we were trying
8 to do was a little bit more conservative than was necessary under
9 Magnuson-Stevens. For the stock and the condition that this one is
10 in, where you're already in a healthy stock status, your only
11 requirement is to avoid overfishing.
12
13 But I will let Nathan jump in if he thinks there's something else
14 that would help inform this discussion.
15
16 **RICHARD APPELDOORN:** Well, I think I understand what you're saying
17 in terms of you're going to a next step that we had not looked at
18 before, which is not just trying to avoid an overfish state but to
19 actually see where we should be in a more, presumably, stabilized
20 situation.
21
22 **LIAJAY RIVERA GARCÍA:** Mr. Chair, I don't know if you want Nathan
23 to speak up. He is muted, but you also have three raised hands.
24 Cruz, Doug Gregory, and Jason Cope in that order.
25
26 **RICHARD APPELDOORN:** Okay, J.J. just called away from his desk, so
27 he's coming back now. So J.J., you have a hand raised.
28
29 **JUAN J. CRUZ MOTTA:** Thank you. Yeah. Shannon, thanks a lot for
30 both presentations. Definitely helped me a lot- understand a lot
31 of things, I think. My question is very general. These ensemble
32 models, when were they developed or when they were first reported
33 in the literature and when was the stock that they were applied
34 to? I mean, what type of stocks were the ones they used to develop
35 these things or to apply this? thank you.
36
37 **SHANNON CASS-CALAY:** I should have done my homework J.J. I cited
38 the reference in 2019. I think it's Winkler et al which is the
39 first time we used it for ICCAT. Essentially, we've used this
40 number of assessments now for ICCAT in a slightly different
41 configuration. There are lots of ways to do ensemble modeling, but
42 I think, I'm not certain how many different groups do ensemble
43 modeling. It's certainly gaining traction as computational, power
44 of computers becomes more accessible and faster, it's more possible
45 to do it. It simply wasn't very likely- we could never have done
46 this 10 or 15 years ago with the computers, we had available to us
47 at the time. I'm not sure, honestly, when the first ensemble models
48 were used for stock assessment purposes, but in my experience,

1 they are mostly used right now for ICCAT, and that started in about
2 2019 with the Bigeye Tuna stock assessment and has been used for
3 several assessments since.

4
5 **JUAN J. CRUZ MOTTA:** Thank you, Shannon. The basic recent approach
6 last decade or last five years

7
8 **SHANNON CASS-CALAY:** I would say so. Although, you know, sometimes
9 I'm surprised, maybe some very enterprising person used them much
10 sooner than I expected, but we've only been using them recently in
11 the southeast.

12
13 **JUAN J. CRUZ MOTTA:** Thank you, Shannon.

14
15 **RICHARD APPELDOORN:** I think Doug, you were next.

16
17 **DOUGLAS GREGORY:** Thank you, Mr. Chair. This is Doug Gregory.
18 Thanks again, Shannon. That's quite an analysis and very intensive
19 I can see. In this case, you chose the initial equilibrium catch
20 to be the basis for the ensemble. I assume in other fisheries there
21 could be a different uncertainty, let's say stateness, natural
22 mortality, that you could ensemble or even have two or three
23 different things that you can ensemble, which would be a lot of
24 work, but it definitely goes more to capturing uncertainty than
25 things we've done in the past.

26
27 In the slide prior to this one, slide 21. In this case, this seems
28 to me, the range of uncertainty in the assessment that is being
29 captured. I think this is- If we could go back to slide 21. That
30 one. I mean every point is a run. I don't know how you could
31 capture uncertainty any better than all these runs that you did.
32 What, from 20 to 150 at one-time increments? That's amazing.

33
34 So, I can see a reluctance to try to do this in a more extensive
35 way with multiple topics of uncertainty. But boy, this looks good.
36 I don't think the projected catch projections would represent
37 Sigma, but this graph would if we need to use it. It seems to me,
38 the way this has been done, we really don't need Sigma anymore
39 because, I think, that's part of- the vertical lines that you have
40 in the catch projections that go from, I think, red to green.

41
42 I guess I haven't got a question yet because this is pretty
43 overwhelming, but I applaud you all for your efforts and for
44 bringing it to us. Thank you.

45
46 **SHANNON CASS-CALAY:** Yeah, thanks, Doug. I did want to correct one
47 thing because I said it incorrectly. There is some resampling
48 within the runs. So, what you see here is not just individual model

1 runs, but also resampling. So, we didn't run quite this many.
2 Nevertheless, we did run many.

3
4 Then the other thing I wanted to bring up is that it came up during
5 the previous SSC meeting that there is another approach called
6 MCBE, Monte Carlo Bootstrap Estimation and it is another way of
7 incorporating a great deal of scientific uncertainty into stock
8 assessments on many different model parameters or data inputs. It
9 is something that we would also like to accomplish. It is not a
10 routine that's available in SS right now. We are seeking funding
11 to assist us with creating that functionality for SS. Erik Williams
12 is very familiar with MCBE. It's similar to ensemble modeling in
13 a sense and it's been applied to almost every South Atlantic
14 assessment for many, many years. So it is, it is still an active
15 research interest of the Science Center, but it's just not
16 something that can be done as quickly as what we've been able to
17 do here using another approach.

18
19 So, I did also want to answer Doug, and then I'll stop talking.
20 But yes, it is possible to include other axes of uncertainty in
21 this approach. The way we're doing it right now requires a full
22 factorial analysis. So, the more factors we include know it becomes
23 not only very time-consuming, but also it actually starts to become
24 computationally complex because we fill buffers on machines, for
25 example. You know, we literally fill the memory of computers with
26 the runs that we need to save in order to do the resampling. And
27 so, there are some challenges with this approach as you include
28 more axis of uncertainty. There are ways around that, you know,
29 the ICCAT way, we have an approximation that we use that looks
30 visually identical essentially to this approach that we're showing
31 you but has some approximations to account for the fact that they
32 include three or four different axes of uncertainty in their
33 methodologies. And so, they don't do the full factorial analysis
34 of all possibilities combined.

35
36 **DOUGLAS GREGORY:** Thank you. I appreciate it.

37
38 **RICHARD APPELDOORN:** Was it, Jason, next on the list?

39
40 **JASON COPE:** Yeah. I have three topics I want to bring up and it
41 relates to all of what we're talking about, but Erik, I saw your
42 hand go up. I'm wondering if you had a direct comment on something
43 that was said, and then I should let you speak first, and then
44 I'll go into my stuff.

45
46 **ERIK H. WILLIAMS:** No, I didn't, Jason, so go ahead.

47
48 **JASON COPE:** Okay. great. Yeah. Well, one thing I- Doug, I think

1 you mentioned something about Sigma. The whole point of these types
2 of analyses is really to get us at a better understanding of Sigma
3 because what it's doing is it's characterizing more of the
4 uncertainty that one model alone couldn't. I think this becomes
5 extremely complicated very quickly because we are still, even with
6 all of this work, really just looking kind of under one model's
7 specification across one thing, which is that initial catch, but
8 you could conceive of looking- asking yourself, what if all of the
9 life history parameters were a little bit different. It goes beyond
10 just the factorial stuff, right? It goes beyond just a basing
11 assessment. It becomes really complicated. It's basically multiple
12 basing assessments on top of each other to do it properly. And
13 it's very difficult.

14
15 So, I think we definitely need to appreciate that we are going to
16 be taking baby steps on this for quite a while. And also, the fact
17 that when requests are made for models like this, as Shannon's
18 pointed out, they aren't trivial, so they have to be carefully
19 crafted and given a lot of time to be revisited and revised, so
20 that's another thing that we'll have to balance.

21
22 One thing that did pop into my mind, Shannon, that might be able
23 to expedite the forecasting in the future without having to run so
24 many models, is that we could definitely trick synthesis into an
25 initial R zero value that would mimic your ensemble's median value,
26 and then push things forward that way. Um, and you can specify
27 Sigma into the future and so forth. There might be some tricks to
28 expedite part of this, but a lot of it is still just going to take
29 a lot of time.

30
31 Then lastly, maybe, and then I'll be quiet, give Erik some time.
32 I don't know how much we want to go into it. I was just curious
33 about the setup with the likelihood. You mentioned the 0.5, you
34 were hoping maybe to get some discussion on that. I was just
35 curious if that even matters. If you used one, used 0.5, or if you
36 did the- basically it sounds like you are kind of correcting for
37 uncertainty based on the two times Sigma_min. But if we just did
38 that on the outside, let the likelihood speak for itself, and then
39 on the outside, take whatever OFL distribution comes out of it and
40 then apply the two times Sigma_min P* rule to it. Given it's a
41 constant. I just didn't know how much it actually even matters.
42 And if you knew- if you did any tests like one versus 0.5 and if
43 it really did change results much.

44
45 And I guess lastly, the P* coming out of the ensemble model, do we
46 have an idea of what that would be for the OFL compared to the
47 base model itself? Thanks.

48

1 **SHANNON CASS-CALAY:** So, I'll answer the first question first.
2 Whether we use 0.5 or one, it does impact the mean somewhat, right?
3 And we think that's because using the 0.5 actually puts a little
4 bit more likelihood into the higher and lower initial catch values
5 that were used in the ensemble. And there's a tail towards the
6 higher end that is not completely symmetrical. I think it changed
7 by 5% or 10%. We think the mean if you use 0.5 versus one. I don't
8 know that it matters a lot. You know, basically, I think when we
9 use 0.5, we spread that distribution out a little bit further and
10 put a little bit more likelihood into the more extreme values than
11 the straight-out log-likelihood formulation would have assumed.

12
13 Now that second question. I can't recall if it was a CV of 0.25 or
14 a CV of 0.12, maybe Nathan can remember what the CV was on that
15 PDF of OFL.

16
17 **NATHAN VAUGHAN:** Oh. I'm not sure of the exact value. I can try
18 and take a look at the notes.

19
20 **SHANNON CASS-CALAY:** Okay. It was considerably smaller than 0.5.
21 I think when we looked at it, we thought it was a CV of maybe 0.25
22 at the most, and maybe smaller than that.

23
24 **JASON COPE:** If I could follow, just quickly, up with that because
25 that's very interesting. You would expect, if you are collecting
26 for every single one of those many models you're running, if you're
27 collecting the uncertainty in each of those models, because at the
28 very very end, ideally, you'd be wanting to, basically, take PDFs
29 from every single model that you have, weight them, and put them
30 together. They should certainly add up to more uncertainty than
31 just the base model itself. So, I'm wondering if there's a step
32 here that still could be discussed at some point on- maybe this is
33 just taking the likelihood point estimate. So, off the likelihood
34 profile, the point estimates of each of those, and you just so
35 happen to have a decently actually informed parameter that you're
36 looking at. Looking at that likelihood profile that's not extreme.
37 You just happen to have a decently informed one, which means you're
38 going to have actually a lower Sigma coming out of it. The point
39 estimates are not what wants to be put forward. We need to be
40 putting forward the whole PDFs for the OFLs in every single one of
41 those models, then waited by their likelihood.

42
43 So just something to throw out there. Don't have to discuss it
44 now, but maybe that's a missing step that would add a little bit
45 more bulk to the ultimate uncertainty coming out of this analysis.

46
47 **SHANNON CASS-CALAY:** So, I think Nathan would like to respond to
48 that question.

1
2 **NATHAN VAUGHAN:** Yeah, thanks. Jason, you're totally right. And
3 that was what we did. So, I used, within each model that runs, all
4 the different starting initial catches. I do resample from the
5 full probability density function coming out of the model. So, the
6 joint likelihood of FMSY current F current spawning stock biomass
7 and the target spawning stock biomass and the catch. So, all of
8 that is accounted for in the resampling.
9
10 I did like 10,000 resamples within each model, and then all of
11 those 10,000 from every model were aggregated and then resampled
12 from, based on their weights to get this final plot. So that's
13 incorporated. When Shannon was saying that the likelihood was
14 smaller, we were talking relative to the Sigma-min approach. This
15 is still narrower. This is a much wider likelihood than what would
16 come out of the base model itself without the uncertainty due to
17 the initial catch. So that was the confusion. Thanks.
18
19 **JASON COPE:** Great. Thank you so much. Makes sense.
20
21 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you also have a raised hand from
22 Erik Williams.
23
24 **RICHARD APPELDOORN:** Go ahead, Eric.
25
26 **ERIK H. WILLIAMS:** Yeah, thanks, Rich. Shannon, if you could go
27 back to the likelihood profile plot or the presenter, whoever's
28 got control of the presentation. I can't remember which slide
29 number that was.
30
31 **GRACIELA GARCÍA-MOLINER:** Can you repeat which slide you want,
32 Erik? Thank you.
33
34 **ERIK H. WILLIAMS:** Yeah, the likelihood profile slide. I can't
35 remember what number it was. It's back, it's further back. It's
36 probably in the teens right there. That one. Yep.
37
38 So, a couple of things to be cautious about here. You guys are
39 weighing by the likelihoods. One assumption of all of that is that
40 the model can correctly identify the parameter of choice. That's
41 not always the case. In particular, we see this a lot with starting
42 biomass or starting values are often ill-defined. In this case,
43 you have what looks like a nice smooth likelihood profile, but
44 that can trick you sometimes. So, you know, be cautious in taking
45 this whole approach and relying on the likelihood weights.
46
47 The other thing I would say is when I look at this, I don't know,
48 something doesn't seem quite right with me. In the sense that if

1 I look at this and use an AIC of plus or minus two likelihood
2 values, I see a range that looks like it's going to be between 75
3 and then all the way up to past 200, maybe. Again, I'm picking
4 points off of a plot, but your range was much smaller than that.
5 And so, I'm curious what's going on there? You know, and you don't
6 need to answer it and look at it right now, this is just something
7 to be cautious about. You know, one check is to always compare the
8 hash, the inverted hash, and SD estimates for this parameter to
9 your likelihood profile. Make sure those things are kind of
10 matching up and there are some reasons why they don't sometimes,
11 and that usually is a sign of some issues with the model.

12
13 So, I guess I just want to say that don't get too attached to
14 weighing things by the likelihood. There are a lot of catches to
15 that, sometimes, that actually will inhibit further advancement of
16 this method. Because I think this method is a great step forward.
17 You guys are on the right track. This is an incredible improvement
18 in terms of characterizing uncertainty but recognize there are
19 some sources of uncertainty that you can't use likelihood weighting
20 for because they're fixed parameters and things like that. So just
21 notes of caution going forward.

22
23 The last thing I'll say is it is unfortunate. I hate to hear it,
24 but it is unfortunate when you guys are potentially limited by
25 software constraints. I hate to hear that. But I guess that's the
26 nature of SS. And maybe we will wait to see if FIMS is on the
27 horizon and can expand possibilities and capabilities. But that's
28 all I wanted to say. Thanks.

29
30 **SHANNON CASS-CALAY:** Yeah, thanks, Erik. And you know, your
31 concerns are certainly warranted. We have been discussing a number
32 of these issues as well. We certainly recognize that there could
33 be complications that arise with any uncertainty that we're
34 attempting to explore. But also, when you're trying to add
35 additional uncertainty to the stock assessment model.

36
37 There are certainly occasions where you will not get a clean
38 likelihood profile. It will not be possible to use it. And we're
39 also concerned about interactions that may arise as we continue to
40 explore this approach. So, we agree that your concerns are quite
41 warranted, and we will keep them in mind. And I think Nathan wanted
42 to jump in too.

43
44 **NATHAN VAUGHAN:** Thanks, Shannon. I don't know how to raise my
45 hand for some reason on this.

46
47 Um, I was just going to agree with what Erik said. This is the-
48 little bit of confusion is that this is the initial catch. So,

1 this is the weighting on that initial catch value and the plot
2 that we showed with the tighter range is the equilibrium estimate
3 of MSY. So that is tight. We do weight- all the models, from 50,000
4 pounds initial catch up to 300,000 initial pounds catch, are all
5 included in that model. And there is a fairly wide window there
6 that has some weight. We didn't show that plot, but that is used.
7 We weren't originally planning on the weighting like that. It's
8 just that it showed that it was so, it had such a nice curve that
9 we decided to use it. And also, it didn't, it gave us an estimate
10 of where we should be putting that initial catch, which was saying
11 we didn't know.

12
13 So, in the future, yeah, we're worried that we will need to go to
14 like a fixed equal weighting ensemble where we pick the sort of
15 best guess values for a range. But in this case, we were able to
16 use the model outputs to help inform the answer.

17
18 **RICHARD APPELDOORN:** So, I have a question. It's more of a
19 curiosity and it's not trying to point any fingers or be critical.
20 It's just, I don't understand. So South Atlantic has been using
21 these, what do they call methods for a while? Does South Atlantic
22 fall under Southeast Science Center? and so why is it that whatever
23 their approach is not something that we could do here? Is that
24 just because we're so data-poor that that approach is not yet
25 available to us? As I said, I'm just curious without pointing
26 fingers at anything.

27
28 **SHANNON CASS-CALAY:** Yeah, I think right now what has happened
29 really is that before our realignment we had a geographic
30 structure, right? So, the Beaufort Laboratory had its own center
31 and its own director, and we were under the Miami Laboratory. And
32 so, Miami went towards stock synthesis and Beaufort has stayed
33 with the Beaufort assessment model, which their team created. Their
34 team has created the functionality over many, many years. And so,
35 there's no reason why we couldn't use a model like BAM, the
36 Beaufort Assessment Model in the Caribbean if the data were
37 sufficient.

38
39 Um, I think that the suggestion to add the MCBE functionality to
40 stock synthesis is a good one and we're, you know, we're certainly
41 going to try to do that. We're also attempting to standardize more
42 approaches as we, now that we have realigned and we're under a
43 single, kind of unified division structure, we are attempting to
44 figure out how to utilize all the tools that have been developed
45 by staff over the years and come upon some standard practices and
46 procedures.

47
48 I think what you're seeing is just the evidence that we're not

1 fully realigned yet, and we still have some methodologies that
2 exist in one place, but not others. But all of that, you know, is
3 under evaluation right now. We're trying to bring that full
4 functionality everywhere that we conduct stock assessments.

5
6 I see Erik's got his hand up, so I will certainly let him speak.

7
8 **RICHARD APPELDOORN:** That was a good explanation.

9
10 **ERIK H. WILLIAMS:** Yeah. Thanks, Rich. So, yeah, just to fill in
11 too. I mean, Shannon's giving the politically correct answer. The
12 reality is, we have not had time- as she said, we've developed.
13 our Beaufort Assessment Model software system over 20 years now.
14 And we're very inbred in the sense that we have not taken the time
15 to make it user-friendly in any way, shape or form. So, to actually
16 pass that on to somebody else would be a nightmare. It would take
17 people a long time to understand what we do. We just haven't had
18 the time to sort of generalize it and make it more user-friendly
19 because we just are frankly cranking through assessment after
20 assessment and just getting it done.

21
22 We've had the same people working on this model for the 20 years
23 almost. And so that's been a benefit. It'll all come to an end
24 probably at some point when I retire and others retire and then
25 nobody's going to be able to pick it up because, as I said, we
26 have not set it up in a way that's very user-friendly,
27 unfortunately.

28
29 **RICHARD APPELDOORN:** All right. Thank you very much. Any other
30 questions? If not, I think there is a third presentation next. Is
31 that correct?

32
33 **SHANNON CASS-CALAY:** Yeah, there's a presentation or two about
34 sensitivity runs and I'm not sure.

35
36 **LIAJAY RIVERA GARCÍA:** Let me know if it is that one, Shannon.
37 Model sensitivity?

38
39 **SHANNON CASS-CALAY:** Okay. This is the one about MER runs that
40 Kevin will go through. There's another one that we'd like to start
41 with.

42
43 **LIAJAY RIVERA GARCÍA:** Okay. Hold on.

44
45 **SEDAR 80 Queen Triggerfish Puerto Rico-SEFSC Presentation on**
46 **sensitivity runs requested by the SSC**

47
48 **SHANNON CASS-CALAY:** Perfect. Okay. All right. So, Nancie did most

1 of the work for this presentation, so I want to make sure that
2 you're all aware of that. Thank you, Nancie. So, we need to go
3 through several decisions in order to finalize the base model for
4 Puerto Rico Queen Triggerfish that we either will use to produce
5 ABC advice, or we will use as the ensemble-based model. Whichever,
6 you know, however, we are directed. Let me just get this cat off
7 my desk. Okay. I'd like to walk you through kind of those decisions
8 that we see. There may be others that arise.

9
10 At your August SSC meeting, you discussed a need to understand
11 better a variety of things, including L infinity, the steepness
12 value, that initial equilibrium catch, including the start year
13 applied to the model that traps selectivity and that catch series,
14 meaning MER or Puerto Rico DNR.

15
16 We can use an ensemble approach to incorporate major sources of
17 model uncertainty, but we can't include all of these, right? So,
18 we need to make some pragmatic decisions where we can and where we
19 cannot, we can, you know, we can decide whether to include those
20 as axes of uncertainty in the ensemble itself.

21
22 I do want to point out that for all these sensitivity runs that
23 we're about to show you, the NCRMP index was removed as we believe
24 the SSC decided in August.

25
26 Okay, next slide.

27
28 Just a reminder, this is an analysis you saw in the report of the
29 SEDAR 80 assessment. So, this is the effect of the removal of the
30 NCRMP index. In fact, the effect of dropping all of the indices,
31 essentially, one at a time. So, the comparison that you're looking
32 for is the SEDAR 80 base model in blue, and the dropping of the
33 RDC or NCRMP index in red. And so, you'll see both in the spawning
34 stock biomass and in the fishing mortality estimates, the blue and
35 the red lines lie virtually on top of one another.

36
37 There is very little sensitivity in the model of dropping the NCRMP
38 index, and that is because, as you may recall, the CVs on the NCRMP
39 index are very large. And so, the model essentially did not fit it
40 well. And so, removing it has virtually no effect. Just a reminder,
41 you've already seen that.

42
43 Next slide.

44
45 Okay, so for all of the remaining comparisons, we ran these models
46 without the NCRMP index.

47
48 Next slide.

1
2 Okay. So, the first set of sensitivity runs that we wanted to show
3 you involve different assumptions about the initial catch. So, the
4 same concerns that we addressed through the ensemble approach in
5 the previous presentation. The SSC had requested three different
6 sensitivity runs to explore the sensitivity of the model to that
7 initial catch assumption, and they were to start the time series
8 that F equal to zero in 1983. Assuming there are no catches before
9 1983. That is the line shown in green.

10
11 Starting the assessment model in 1945. I'm not sure if that was an
12 SSC request or something we made up, but we have done one where we
13 start the model at a zero catch in 1985 and create a linear ramp
14 of increasing catches until the first observed catch in 1983. That
15 one is shown in yellow. A model that starts in 1985, which is a
16 period of much lower catches, in the red is that model which has
17 an initial catch of roughly half of the SEDAR 80 base case. So
18 rather than 50 metric tons, something approaching 23 metric tons
19 of initial catch by starting the model in 1985.

20
21 What you can see here in the spawning stock biomass, is that the
22 level of initial catch is quite sensitive in this stock assessment.
23 Now the most unusual one is the one that starts at catch equals
24 zero in 1983. It shows extremely kind of implausible results,
25 frankly, and shows essentially that you're nearly at, what you're
26 at condition before 1983 unfished, and in fact, you actually had
27 even more stock biomass in the mid-2010s and then just a
28 precipitous drop 2020.

29
30 Now, we don't believe that this model is plausible because there
31 were many, many records from the fishing community and from this
32 SSC and the Appeldoorn paper that suggests that catches were well
33 known to be higher than zero in the fifties, sixties, and
34 seventies. So, this was run because it was of interest as a
35 sensitivity run, but we do not believe it is plausible.

36
37 The other stock assessment models that are more of interest are
38 shown here in red and yellow. They do indicate that the model is
39 sensitive to initial catch. You see that also in the next slide
40 where we look at the fishing mortality and the recruitment that
41 comes from this model.

42
43 So, the fishing mortality itself, in the terminal years of this
44 model, as the stock biomass declines and you take the same catches
45 out of the model in the historical period. The model that begins
46 in 1985 shows increasing fishing mortality in the terminal years
47 of the stock assessment model.

48

1 The two models, the one that starts in 1945 and ramps the stocks
2 up linearly to 1985, and the SEDAR base perform similarly. So, we
3 do believe that the model is relatively sensitive to the assumption
4 of initial catch, and this could be addressed and has been in the
5 proposed ensemble approach.

6
7 I think the benefit of the ensemble approach is that it relieves
8 us from the responsibility of having to create an assumption. We
9 can, you know, we can essentially explore a variety of initial
10 catches and weigh them by their likelihood.

11
12 Next slide.

13
14 This one is a little bit surprising to us, I suppose. The SSC did
15 request two different sensitivity runs to explore L Infinity. The
16 concern was that the L infinity that comes from- well basically if
17 you are sampling from a stock that has already experienced a great
18 deal of fishing pressure, then your L Infinity might be lower than
19 from a stock with less exploitation. And so, there were two
20 sensitivity runs requested. One was to add samples, about 25
21 samples from North Carolina and South Carolina. That's shown in
22 the red line. The second was just to remove about five outliers
23 from the SEDAR 80 samples and see how influential they were to the
24 resulting growth curve.

25
26 Now, you see a great deal of sensitivity here to the addition of
27 the North Carolina, and South Carolina samples. I state again,
28 there were about 25 of them that were added. What has happened
29 here, is actually not that it changed the growth substantially, in
30 fact, the L infinity values were very similar. But what happened
31 is, within those 25 samples from North Carolina and South Carolina,
32 there was a handful of fish that were much older than the ages
33 that were observed in the U.S. Caribbean. In fact, one of those
34 fish was age forty which is nearly doubling. I think that the SEDAR
35 80 assumed a maximum age of 23, I recall. I think Nancie will
36 correct me if I'm wrong. And so, it has increased our perception
37 of the maximum age using the samples from North Carolina and South
38 Carolina, which means that the natural mortality, which is based
39 on the growth and the maximum age, had to be re-estimated and it
40 is roughly half of the natural mortality from the base case.

41
42 And so, this red line that you're seeing here shows a stock that
43 is in far more depleted condition. I'll just be frank. So, the
44 blue and green lines are the SEDAR 80 base case with five outliers
45 removed. They lay virtually on top of one another. So that does
46 not have any influence on the stock assessment model. By adding
47 the North Carolina and South Carolina samples and getting a fish
48 that is much, much older in those samples, we had to re-estimate

1 the natural mortality rate.

2
3 This has caused the perception, in this sensitivity run, that the
4 stock, rather than being at about 20% of its unfished condition,
5 as you see on the right-hand panel in the terminal year, is now
6 down below 10% of its unfished condition. And so, I'll show you.
7 The next panel shows you fishing mortality and recruitment. So,
8 you see that same sensitivity in the fishing mortality, whereby
9 adding the North Carolina and South Carolina samples, you see a
10 stock that has much higher exploitation in the terminal year
11 approaching about 40% of the standing stock being removed by
12 fishing in 2020. And also, much lower recruitment on average than
13 the SEDAR 80 based case.

14
15 And so, what is very clear is that adding that North Carolina,
16 South Carolina data, the model is very, very sensitive to that.
17 And it's because of the higher maximum age and not the L Infinity
18 at all. The L infinity was almost identical. And so, our
19 recommendation is that this is further explored as a research
20 recommendation or at least discussed very carefully because the
21 implications are strong. I'll leave it at that and then you can
22 discuss it.

23
24 Next slide.

25
26 The dome shape trap selectivity was also explored. You may recall
27 that in the SEDAR 80 base case, again shown in blue, the trap
28 selectivity was assumed to be logistic, which is unusual in the
29 sense that one might expect that very large animals might not be
30 able to enter a trap, and so, therefore, it could be a dome-shaped
31 selectivity that we'd expect. But in fact, the length composition
32 data that we had available to us in SEDAR 80, showed that most,
33 well, almost all of the fish that were present in the link
34 composition data, from any source in that assessment model, that
35 they could in fact fit in the trap and that they would be retained
36 in the trap. I think what you're seeing here is that regardless of
37 the shape that we assumed, be it dome-shaped or logistic, the
38 results aren't extremely sensitive to this assumption. There is
39 some sensitivity here.

40
41 Next slide.

42
43 You see some sensitivity in fishing mortality and recruitment. It
44 is not overwhelmingly sensitive to this model or this assumption.
45 We support retaining the logistic, SEDAR 80 selectivity pattern or
46 justifying the change. So, if you, if you do desire to change to
47 a dome shape track selectivity, we just ask that you make sure
48 that the rationale has been well justified.

1 Next step.

2
3 All right. Lastly, maybe not lastly, but next. The effect of
4 steepness. So, we did explore a steepness of 0.6 and steepness of
5 0.8. Now, the steepness is essentially a measure of how quickly
6 the stocks can reproduce. How relatively (unintelligible)
7 somewhat. So essentially a steepness of 0.8. There's less of a
8 relationship between the spawning stock and the recruits that they
9 produce. At a steepest of 0.1, there's no relationship at all.
10 With a steepness of 0.2, there's a very strict relationship between
11 spawning stock, biomass, and recruitment. So, in any case, we've
12 explored only the base model here at 0.7 and 0.6 and 0.8 around
13 it. These happen to be selected because of the likelihood profile
14 that Nancie ran for SEDAR 80 supported values of roughly 0.6 to
15 0.8. So that was the basis for these three runs. It shows you the
16 model is sensitive, just this assumed steepness, which is quite
17 expected.

18
19 Next slide.

20
21 If you use the lowest steepness values of about 0.6, that we put
22 here in our sensitivity runs, it gives you the more depleted stocks
23 with the higher fishing mortality. The steepest value of 0.8
24 conversely shows you a less depleted stock with a lower fishing
25 mortality. I think that's correct. So, the model is sensitive to
26 this assumption. We could either, you know, fix it at the maximum
27 likelihood estimate that was found in the base run. You may recall
28 that the likelihood profile from the base model suggested that
29 this was estimable. Or we could explore this in the ensemble

30
31 You can go onto the next slide if there's another one.

32
33 **LIAJAY RIVERA GARCÍA:** Well, we are trying, but seems like it, it
34 is stuck.

35
36 **GRACIELA GARCÍA-MOLINER:** We are running into a little bit of
37 technical difficulty here. Hold on a second.

38
39 **RICHARD APPELDOORN:** Well, while they're waiting. Shannon, you
40 increased the steepness and that is several things, right? Saying
41 you're a little bit less.

42
43 **SHANNON CASS-CALAY:** I think Jason says that's the last slide.

44
45 **LIAJAY RIVERA GARCÍA:** Yeah. Yes. That is the last slide. Number
46 twelve.

47
48 **SHANNON CASS-CALAY:** Okay. Can you go back just one slide? I'm

1 just anticipating Rich's question. Go ahead, Rich.

2 **RICHARD APPELDOORN:** Oh, I just want to make sure I had it.
3 Obviously, you know, it almost looks like a linear, not quite, but
4 you're changing the steepness and you're changing the results
5 either up or down. Um, so what was the- When steepness goes higher,
6 it's having what effect?

7
8 **SHANNON CASS-CALAY:** Yeah. You could see here on the right-hand
9 panel that shows you, essentially, the spawning stock biomass over
10 the spawning's of biomass at unfished condition SSB zero. You can
11 see that in the terminal year of the stock assessment 2020, using
12 a steepness value of 0.8 results in an outcome that says you have
13 about 30% of the standing spawning stock biomass, 30% relative to
14 the unfished spawning biomass, whereas at the steepest of 0.6 sends
15 you down to about 15% of that unfished condition.

16
17 The base model was run at 0.7. 0.7, I think you were at about 20%
18 of your unfished spawning biomass. Actually, the maximum
19 likelihood estimate from the SEDAR 80 run that we presented to you
20 in August supported a steepest value of about 0.75.

21
22 So, you know, we could essentially run with the maximum likelihood
23 estimate that is supported by the base run, assuming that it is
24 estimable once we reconfigure it or we could run an ensemble
25 approach and incorporate it the same way we incorporated initial
26 catch.

27
28 **LIAJAY RIVERA GARCÍA:** Mr. Chair you have a raised hand from Erik
29 Williams.

30
31 **RICHARD APPELDOORN:** Go ahead, Erik.

32
33 **ERIK H. WILLIAMS:** Yeah. Thanks, Rich. So, you're estimating
34 steepness in the model. But clarification, are you still using the
35 F30% as the benchmark for the OFL?

36
37 **SHANNON CASS-CALAY:** Yeah, we talked about that in August too. At
38 the moment we are, that is probably something else we still need
39 to make sure we all agree to, right? Because yes, steepness is
40 estimable in this model. This likelihood profile supports
41 steepnesses between about 0.6 and 0.8 with an MLE of 0.75. But,
42 you know, if we agree that steepness is estimable, we still have
43 fixed Sigma R. R not is estimable. We have assumed a Beverton-
44 Holt, we have not explored a Ricker hypothesis. That's still an
45 open question is what I'm getting at. But for this, for what we've
46 done to date, we are still using SPR30 as a reference.

47
48 **ERIK H. WILLIAMS:** Yeah, and just to follow up on that. So,

1 depending on how you do the projections you're going to end up
2 with a mismatch. Because a steepness of 0.75 does not equal an
3 SPR30. It could be in this case, but I kind of doubt it. There is
4 a one-to-one relationship between the steepness value and an
5 implied SPR value. Depending on how you do your projections, if
6 you're using the stock recruit curve to project future recruitment,
7 then you're not going to match- your OFL's going to be off because
8 you're using an SPR-based OFL, yet you're using a stock dynamic
9 situation that is going to tend towards FMSY, whatever that is for
10 the steepness of 0.75. If you want to stick with the SPR benchmark,
11 then you have to sort of ignore the stock recruit curve in
12 projections, and that'll get you back to your SPR levels that
13 match. I know. Hopefully, that makes sense.

14
15 **SHANNON CASS-CALAY:** Yeah, it makes sense to me, Erik. It's
16 something, I think, before we leave this meeting, we need to
17 clarify what does SSC would like us to do because there is some
18 basis. I mean, we have not run yet, what we consider the final
19 base model for SEDAR 80. But if it performs similarly to what we
20 presented in August, we do expect the steepness is estimable. So,
21 we will have to come to an agreement about how to project and what
22 references to use.

23
24 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Erik
25 Williams.

26
27 **RICHARD APPELDOORN:** Yeah, go ahead, Eric.

28
29 **ERIK H. WILLIAMS:** Yeah, thanks, Rich. I didn't want to keep
30 interrupting. You know, generally, the hierarchy is, if you can
31 estimate steepness and it looks like your likelihood profile
32 suggests it's well informed, then that's always considered the
33 superior benchmark to go with because it's the direct measure of
34 FMSY, it's not a proxy for it. So that's just sort of the thinking
35 there.

36
37 **SHANNON CASS-CALAY:** And that could be done. So, if the SSC agrees,
38 that can be done.

39
40 **RICHARD APPELDOORN:** Could you just elaborate on the "it" so I'm
41 making sure I'm following the conversation?

42
43 **SHANNON CASS-CALAY:** So essentially rather than- one typically
44 uses a proxy if they don't believe that the spawner-recruit
45 relationship is estimable. And so, we very often use FSPR30 as a
46 proxy for FMSY. Right? But in this case, at least some part of
47 this spawner-recruit relationship does appear to be estimable. So,
48 we have an idea that the steepness is well estimated. What we don't

1 know really is whether the shape of the function, the functional
2 form itself, is well estimated. So, we could look at the
3 relationship between the- you know, the model-estimated
4 relationship between spawning stock biomass and recruitment.

5
6 If the group agrees that we know enough about the stock to assume
7 that the steepness can be estimated and the spawner-recruit
8 relationship is trustworthy, then we could move forward with just
9 using FMSY directly without a proxy. The other side of that is if
10 this group deliberates and finds that they do not trust a spawner-
11 recruit relationship, and one reason for that can be, for example,
12 this stock may benefit from down current spawning, right? This
13 stock may actually mix with other stock units of Queen Triggerfish
14 at the larva stages. You know, and some of those recruits may
15 actually come from downstream, in which case, you know, maybe we
16 don't have reliable information about this spawner-recruit
17 relationship. In which case, you know, we might actually fix
18 steepness much higher, like one, and say there is no relationship
19 between spawners and recruits, and therefore we will use a proxy
20 and assume a steepness of one.

21
22 So that's kind of the two extremes that this SSC could consider.

23
24 **RICHARD APPELDOORN:** Okay, thank you. Any other questions for
25 Shannon?

26
27 **JORGE R. GARCÍA-SAIS:** Yes, sir. Rich, Reni, right here? The
28 question is I would like to know a little bit more, if you can
29 elaborate, on the effect that using age information from, or L
30 infinity, from North Carolina, would affect the model. Can you
31 elaborate a little bit on that?

32
33 **SHANNON CASS-CALAY:** Oh, yes. I can elaborate. So, a picture would
34 be worth a thousand words, but I don't have one conveniently
35 available. We might be able to develop some graphics before
36 tomorrow morning. What has happened really is that in those 25
37 samples that Virginia Shervette collected from North Carolina and
38 South Carolina, that we included in this sensitivity run, there
39 were a few fish that were much older than anything we'd seen in
40 the Caribbean, right? So, they were 40 years old rather than 23,
41 which is what we see in the Caribbean. When we calculate the
42 natural mortality at age, in stock assessments, we use the length
43 parameter, the growth parameters, L Infinity, K, and T not. And
44 then we use TMAX, the maximum age, to scale the function. And so,
45 what has happened is that the growth, when you add those 25 fish
46 from North Carolina and South Carolina, the growth parameters don't
47 change much at all. Like they're visually almost
48 indistinguishable. But what has changed is our perception of how

1 old- how long these fish can live. At least in North Carolina,
2 right? And so, it says, these fish can be much older than what we
3 see here in the Caribbean, therefore, it gives you, it lends
4 credence, the model says then, these fish can become much older,
5 but they don't here, in the Caribbean, because the fishing is too
6 high and it has caused the population to juveness. Essentially, it
7 means you fished out the older members of your population and left
8 only the young ones.

9
10 So, what the question really is in front of this SSC is, is there
11 sufficient evidence that these two populations could be different
12 biologically, right? That if you reduce the fishing pressure in
13 the U.S. Caribbean to essentially allow the stock to grow quickly,
14 would you in 20, 30 years start to see evidence that these fish
15 can live much longer in the U.S. Caribbean?

16
17 So really what you need to decide is, are these two different
18 stocks that have very different biological characteristics, one
19 which can grow much larger and reach much older ages? Or is this
20 essentially the same species with the same biological
21 characteristics that have been subjected to very different levels
22 of fishing pressure?

23
24 And those are your two hypotheses. But what you have in front of
25 you right now is pretty limited information. I think our
26 recommendation was that this would need to be studied in much more
27 detail before we would overturn decisions made within the SEDAR 80
28 Data workshop process, where they did consider what the most
29 appropriate information was for the U.S. Caribbean.

30
31 I know Virginia's on the line, and I know Nancie knows a great
32 deal about this as well. So, if you have additional questions,
33 please, I can step aside and let other experts speak as well.

34
35 **JORGE R. GARCÍA-SAIS:** No. I recall that some time ago, perhaps
36 within a year, I guess. There was a presentation by somebody here
37 at the council. Actually, I believe it was a presentation to the
38 SSC. Somebody researching otoliths for the determination of age
39 and growth of Queen Triggerfish. I was wondering if you had
40 considered that data to compare with the values that were used for
41 the North Carolina set.

42
43 **SHANNON CASS-CALAY:** So, I'll first see if Nancie- is Nancie
44 willing to take that question?

45
46 **LIAJAY RIVERA GARCÍA:** So, Mr. Chair, you have Jesus with a raised
47 hand?

48

1 **RICHARD APPELDOORN:** Yeah. Does this mean Nancie does not want to
2 comment on it?
3
4 **SHANNON CASS-CALAY:** Well, I think Jesus is one of the co-authors
5 of the paper, so that's probably why. Yep. Perfect.
6
7 **RICHARD APPELDOORN:** Okay. Jesus.
8
9 **JESUS RIVERA HERNANDEZ:** Hopefully you hear me.
10
11 **LIAJAY RIVERA GARCÍA:** Yes.
12
13 **RICHARD APPELDOORN:** Yeah, you're fine.
14
15 **JESUS RIVERA HERNANDEZ:** So yeah, we do the age for North Carolina
16 and South Carolina. We also do the age for Puerto Rico and Virgin
17 Island. That was the data that we used in the model because the
18 previous data was a spine and was seven years. We run different
19 grow parameters with that data, with the older fish also, and like
20 Shannon said we don't see any difference basically one millimeter
21 up or down.
22
23 I will just want to make sure that you understand that our age
24 work and reproductive work were basically describing what the
25 fishers catch and we accomplish our objective. But we went further,
26 a little bit further outside our objective, and tried to find older
27 fish and younger fish that fishermen hadn't caught. That is in the
28 report of the SEDAR. We are being presented with this many, many
29 times. We know that we don't have too many older individuals, but
30 it's because the fishery doesn't go- at least in Puerto Rico, the
31 fishermen don't go too deep for getting the fish. And in the Virgin
32 Islands is trapped. In comparison with the North Carolina and South
33 Carolina fish that the target is big groupers, hook and line. So
34 again, it's an unexploited fishery there. The Queen Triggerfish
35 are really rare. And this is why we have so many samples because
36 there was a situation of "what is this? Okay, you need it? Yes."
37 That is why we have it. And again, you going to discuss that Reni
38 I will most welcome later about the work and I don't know.
39
40 And also, we always repeat the same thing. We try to get funding
41 to do an independent study with hook and line and traps in Saint
42 Thomas to get the bigger fish, but we don't get it. But again, we
43 have that problem we just described what's being caught and any of
44 the tree islands have different preferences on the size of the
45 Triggerfish. So yeah, we can explore later with somebody, and we
46 ask for the fisherman. And sometimes the last meeting for the SSC
47 and before the meeting of the SSC, we just kept saying that there
48 will be bigger Triggerfish. We go to our fishermen, and they don't

1 see any Triggerfish bigger than 20 inches. Fishermen that have
2 been catching Triggerfish since the price per pound was 15 cents.
3 So, we have a lot of fishermen with a lot of experience in this
4 fishery that have never seen a Triggerfish bigger than 18 inches.
5 And in my last presentation in (unintelligible), they almost see
6 me like I am crazy when I ask for a Triggerfish of 18 inches. So
7 maybe the fishermen or maybe the Queen Triggerfish, older
8 Triggerfish are not operating in the area that the fishermen are
9 targeting.

10
11 So yeah, basically that is the answer for how many presentations
12 we have been doing about our age work. And again, if you need any
13 more questions, we can do them back later, but the intention is
14 for the explanation of the models.

15
16 **RICHARD APPELDOORN:** Oh, a question for anybody who can answer it.
17 For these older individuals, you're saying the L infinities are
18 about the same, but what about the K values? Are they also about
19 the same?

20
21 **VIRGINIA SHERVETTE:** Hey, this is Virginia Shervette for the
22 record. Yes. The K values were the same. They were within the
23 confidence intervals from the original K values. Same with the L
24 Infinity. They overlapped significantly, or a lot. They overlapped
25 a lot.

26
27 They might have been different by- the K value differed by maybe
28 0.0 something when we added the North Carolina-South Carolina fish,
29 which in my expert opinion is not appropriate because those were
30 fished from a very deep-water habitat where they catch, offshore
31 North Carolina, where they catch very large Tilefish on the slope.
32 And so, the K was different by 0.0 something. And then the L
33 Infinity also was off by maybe less than like two points per size.

34
35 Part of the reason why that's the case is just the nature of having
36 a very large data set. Of size at age fish from the Caribbean,
37 right? We had over 2000 fish in the model. And so, when you remove
38 the five largest fish or the five oldest fish, as Shannon and
39 Nancie explained in one of the sensitivity runs, that's not going
40 to impact all those other data points. So, it's not going to move
41 that L infinity or change that K value very much at all. And the
42 same with adding 25 fish from a totally different region that has
43 different habitats. And also, you know, we, we also see these
44 latitudinal gradient trends with maximum size for several of the
45 species that occur here in the Caribbean and also occur offshore,
46 North Carolina-South Carolina, where you see maximum age increase,
47 you see maximum size increase as you go up in latitude.

48

1 **RICHARD APPELDOORN:** Thank you, Virginia, are there any other
2 questions?
3

4 **DOUGLAS GREGORY:** This is Doug. Yeah, I had my hand raised, but
5 just briefly. I was going to say what Virginia just said. My main
6 concern is that we know there are latitudinal differences in some
7 life history parameters with a lot of different species. And I
8 don't see the appropriateness of including some fish from North
9 Carolina with Puerto Rico. Thank you.

10

11 **RICHARD APPELDOORN:** Yeah, thank you. I have to agree with that.
12 Any other comments? We're looking toward lunch, so. I want to make
13 sure your questions are answered, but I don't want people to go
14 too hungry.

15

16 Okay. Not hearing anything. I'm suggesting now your break for
17 lunch.

18

19 **GRACIELA GARCÍA-MOLINER:** Yep. Wait, hold it a second. You have
20 Michelle raising her hand.

21

22 **RICHARD APPELDOORN:** Michelle, go ahead.

23

24 **MICHELLE SCHÄRER-UMPIERRE:** Hi. Thank you, Mr. Chairman. I just
25 wanted to mention that in the deep-water work we've done with Kate
26 Overly we have seen very deep Queen Triggers. We don't have size
27 estimates on them, but we will soon with the life history project.
28 So, you know, maybe we're not seeing those fish in the sample
29 because they're like in between where the fisheries operate. But
30 perhaps those bigger fish are there. They're just not enough of
31 them in this sample.

32

33 **VIRGINIA SHERVETTE:** This is Virginia Shervette. I'd like to speak
34 to that. We actually included information from Kate's sampling as
35 far as the maximum depth that Queen Triggerfish have been collected
36 from her video survey work. That is all actually in our working
37 paper. If you would like to review it and have that information.

38

39 **RICHARD APPELDOORN:** Thank you. I really would like to break for
40 lunch now. Any other last comments? So, if not it's 12:34 or
41 thereabouts, I'd like to break for lunch for a little bit over an
42 hour. I'll say meet back at 1:45. We are now on break. Thank you.

43

44 **GRACIELA GARCÍA-MOLINER:** Thank you. We'll see everyone back at
45 1:45.

46

47 (Whereupon the meeting recessed for lunch on October 4, 2022.)
48

1 - - -

2
3 OCTOBER 4, 2022

4
5 TUESDAY AFTERNOON SESSION

6
7 - - -

8
9 **RICHARD APPELDOORN:** So, I'm back. Are we ready to start again?

10
11 **GRACIELA GARCÍA-MOLINER:** ¡Hola, Richard! Let's see. Well,
12 everyone- I mean, there is quite a number of people logged in. I
13 don't know if they've come back from lunch.

14
15 **LIAJAY RIVERA GARCÍA:** Maybe they can raise their hand to know
16 that they're online. I see Jason Cope online. Shannon Calay too.
17 Erik Williams, also with his hand raised. Kenny McCarthy. Rachel
18 Eckley, Kate Zamboni, Jesus Rivera. Thank you, everybody. We need
19 to have at least the SSC members online. So, if you haven't raised
20 your hand yet. Oh, I see J.J.'s hand is raised Walter, Jason, and
21 Erik. Okay. And Michelle.

22
23 **GRACIELA GARCÍA-MOLINER:** Richard, you have seven SSC members.

24
25 **RICHARD APPELDOORN:** Forum is half? The forum is at least half?

26
27 **GRACIELA GARCÍA-MOLINER:** Who are you asking in the back?

28
29 **RICHARD APPELDOORN:** I'm asking if seven meets the quorum.

30
31 **GRACIELA GARCÍA-MOLINER:** Yes.

32
33 **RICHARD APPELDOORN:** Thank you. Alright, so let's get started.
34 Again, and with the committee's permission? I wanted to return to
35 something that I forgot to do in the very beginning, and this is
36 because I didn't realize Jocelyn had been replaced by, not
37 replaced, but Kate was helping sit in for Jolyn. This goes to a
38 question that occurred at the end of the last, toward the end of
39 the last meeting, where there was a suggestion, a conflict of
40 interest with respect to Todd Gedamke and his company MER
41 Consultants. We had asked legal counsel to examine that situation
42 to see if there was indeed a conflict of interest. I was wondering
43 whether Kate could comment on that because Todd had officially
44 removed himself from many discussions until this was re resolved.

45
46 **KATHERINE M. ZAMBONI:** I raised my hand, but Mr. Chair, this is
47 Kate Zamboni for the record. As you know legal counsel did advise
48 the Caribbean Fishery Management Council in its response to you,

1 to respond to your letter. You received a letter from the executive
2 director that was reviewed by Jocelyn and myself, and I believe
3 that resolved all the issues, but of importance, part of the
4 message that we hope to send is that, if there is a concern about
5 a participant having a conflict of interest, there are more
6 appropriate mechanisms for raising those rather than in the course
7 of a public meeting. Oftentimes I think people don't quite fully
8 understand what it means to say that somebody has a conflict of
9 interest, particularly in a body such as this one. I think it's
10 going to be pretty rare that we're going to find real direct
11 financial conflicts of interest and that's usually the way that
12 term is used in other settings. But there's going to be additional
13 guidance coming. I think we're going to have a presentation or at
14 least a discussion at the council's December meeting on a potential
15 guidance document for further consideration.

16
17 If you have any additional questions or if I can elucidate any
18 further, please let me know.

19
20 **RICHARD APPELDOORN:** This was not with respect to the letter. This
21 was an issue that occurred in the last SSC meeting, and it was
22 brought up to the council in the report from the SSC to make a
23 ruling on one way or the other.

24
25 **KATHERINE M. ZAMBONI:** It's really not our role as general counsel
26 for NOAA to rule or make a determination for an individual whether
27 or not a conflict exists. As I said, we can provide guidance to
28 help individuals make decisions if they think there's a conflict
29 that may need to be disclosed. If an individual has a particular
30 question with a specific set of facts the Department of Commerce
31 has an ethics legal department, and they have a team of attorneys
32 that that's what they do. They can analyze specific factual
33 situations to determine if somebody has a conflict of interest.
34 But I will say, based on the information that Jocelyn and I had,
35 and I, you know, it has to be caveated with that because if we
36 don't have complete information, I'm not sure that our opinion
37 matters. I don't believe we thought there was a conflict.

38
39 **RICHARD APPELDOORN:** Okay. Thank you. And with that, we are going
40 back to a fourth presentation on the Queen Triggerfish. Is that
41 correct?

42
43 **SHANNON CASS-CALAY:** Yes, Rich. That is correct. I believe this
44 one is by Kevin McCarthy.

45
46 **KEVIN MCCARTHY:** Yes. This, she did all the hard stuff, Rich.

47
48 **RICHARD APPELDOORN:** And she did it very well.

1
2 **KEVIN MCCARTHY:** She did. She did.
3
4 **RICHARD APPELDOORN:** She's hard to follow. Okay.
5
6 **KEVIN MCCARTHY:** I know I'm feeling the pressure. Before I get
7 started, were there any lingering questions or questions that came
8 up over lunch from any of the previous presentations? We can take
9 a few minutes to address those while they're still on everybody's
10 mind. If not, I'm happy to move forward with this. See, well, I'm
11 not the Chair, that's all I had to say.
12
13 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have, Michelle Schärer, with
14 a raised hand.
15
16 **KEVIN MCCARTHY:** I do see someone with a raised hand.
17
18 **RICHARD APPELDOORN:** Sorry, who?
19
20 **LIAJAY RIVERA GARCÍA:** Michelle Schärer.
21
22 **RICHARD APPELDOORN:** Michelle, go ahead.
23
24 **MICHELLE SCHÄRER-UMPIERRE:** Yeah, I just went back to the report
25 that Virginia mentioned and still had the same question of how
26 many of the aged Queen Triggerfish were from depths greater than
27 a hundred meters.
28
29 **RICHARD APPELDOORN:** Yeah. I don't know if she or Jesus are
30 currently online to answer that, but we can raise that question
31 later on.
32
33 **MICHELLE SCHÄRER-UMPIERRE:** No problem.
34
35 **RICHARD APPELDOORN:** Okay. And with that Kevin, I think you're on.
36
37 **SEDAR 80 Queen Triggerfish Puerto Rico-SEFSC Presentation on**
38 **sensitivity runs requested by the SSC (continued)**
39
40 **KEVIN MCCARTHY:** All right. This is Kevin McCarthy. Thanks, Rich.
41 So, I'm going to walk us through some additional sensitivity runs
42 that we were requested at the last meeting.
43
44 You see several names there associated with this work. I want to
45 add one more. Stephanie Martinez Rivera did a lot of the, if not
46 all of the data prep for this particular analysis. So just to get
47 her on the record.
48

1 Next slide.

2
3 What we're talking about here is the use of another port sampling
4 data. You're going to see it referred to as the MER data, just for
5 ease of having a clear reference to something else other than the
6 DNER data. You've seen presentations on this in the past. So, we're
7 just going to use that terminology for this presentation.

8
9 What we did was to come up with some alternative landing series
10 based on the ratio of MER landings to the total DNER either, we
11 sometimes call it the corrected landings or the expanded landings.
12 They mean the same thing in this context. What we did was to apply
13 a ratio of, again, that DNER corrected and expanded landings to
14 the MER landings over the entire time period that we've got DNER
15 data, which is 1983 to 2019 in this case.

16
17 A couple of caveats to that or things you should be aware of. We
18 did update the 2019 correction factors to the DNER data
19 presentations you've seen in the past. That correction factor was
20 not available at the time that the report was done. Those have
21 been updated now. The other caveat, I suppose, is we're assuming,
22 when we apply these ratios, the total landings weren't gear
23 specific. We're assuming that those ratios are appropriate
24 regardless of gear. We did split out the data into gear specific
25 when we used it. We did come up with two methods to calculate those
26 ratios.

27
28 Recall that the MER data was over a period of 17 months when there
29 was a full survey in place. There was one complete year of data,
30 which was 2019. So, we got a single ratio for Queen Triggerfish
31 from the 2019 data MER and DNER. Then we applied that ratio across
32 all the years of the DNER data. So that's one landing series.

33
34 We produced two other landing series. We looked at the monthly
35 landings for that period, August 2018 to December 2019, and split
36 out the DNER data into monthly data. We still used the expanded or
37 the corrected landings for the DNER data and we got a ratio. We
38 got those 17 different ratios and then we looked across all of
39 those and we picked the 25th and the 75th percentiles of all the
40 distribution of all those ratios. And we used each of those to
41 generate a time series of landings.

42
43 Next slide.

44
45 Okay, so what you're going to see is, we're going to refer to the
46 MER A, the MER B, and the MER C, which the A means it's the 2019
47 single value applied across the time series. Then, the B is the
48 75th percentile of those monthly ratios. I didn't correct this

1 slide. The MER C is the 25th percentile, not the 75th. That's a
2 typo. You're going to see those terms A, B, and C in some of the
3 plots. That's just what they're referring to. It's going to be
4 pretty obvious; I think in some of the plots.

5
6 Next slide.

7
8 So, here's what the landings look like when you apply those ratios.
9 No major surprises here. You know, it's just the scaler of the
10 landings. This is for the trap fleet. The landings used in SEDAR
11 80 commercial trap are in black. The gray is the 2019 time series.
12 Once those ratios are applied the- Or the ratio from 2019, once
13 that's applied, gold color, and the teal color is the 25th
14 percentile. It's as you would expect simple scaler. And that 2019
15 ratio time series falls a little more closely to the 75th
16 percentile, but it's in between the 25th and 75th.

17
18 Next slide.

19
20 So, this is the dive. Recall that the dive time series begins in
21 83 as well. There's a presumption in the trap fishery that there,
22 as we've discussed repeatedly through this process, were landings
23 in the trap fishery before 1983. We estimated a 1982 value for the
24 trap, but for the dive, it's presumed to be zero and that the
25 fishery began during the time when we've got data.

26
27 Next slide.

28
29 Okay. So, when we look at a sensitivity run, looking at spawning
30 stock biomass for these four different series, you can see the
31 base in blue. A, B, and C are green, yellow, and red. Again, as
32 you would expect when you've got a scaled landing series, you're
33 going to end up with this sort of scaled estimate of SSB. Also
34 looking at the presumed unfished spawning stock biomass, which are
35 those right next to the Y axis. That's all those points there.
36 Those are also, as expected, just scaled against the base model.
37 Each time you lower the presumptive landings you're lowering the
38 estimate of SSB.

39
40 Next slide.

41
42 So, when you look at a fraction of unfished biomass, you see very
43 little effect for each of these runs. It's as expected based on
44 the data that we had in the previous slide. Nothing surprising
45 here.

46
47 Next slide.

48

1 A very little effect from this scaling in F, in the fishing
2 mortality, across all the runs. That's it, short and sweet. Any
3 questions about this? I see one hand up from Walter, but I'm not
4 the chair.

5
6 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from
7 Walter.

8
9 **WALTER KEITHLY:** I'll go ahead and speak anyway, Kevin, there may
10 be some problems with the chair connection. I asked this at the
11 last meeting. You were going to have a review of the DNER analysis
12 and findings. Has that analysis been conducted yet?

13
14 **KEVIN MCCARTHY:** Sure. So, there are two things that are happening.
15 One, I have no control over and one I have semi-control over.

16
17 The first thing is a CIE review, which I have no control over. My
18 understanding is that is on the docket for a review in the fall.
19 So that part of it has not been done to the best of my knowledge.
20 The part that I have, and I say this is semi-control. I got some
21 money to hire an analyst through CIMUs, through the Cooperative
22 Institute, run out of the University of Miami, specifically to
23 look at, not just the MER data, but all of the work that we're
24 doing down there. That money has been moved over to CIMUs, and so
25 we're in the process of hiring someone. That's just beginning. If
26 you know anybody that needs a job, who's got some, a little bit of
27 statistical and programming traps, I've got a CIMUs job that we're
28 going to advertise very soon. That's just beginning. So that's
29 going to be a longer process than the CIE review because we're
30 going, I presume, that we're going to dive into the data a bit
31 more than a CIE review might do. But things are moving forward on
32 that.

33
34 The short answer to your question, after that long response, is
35 they're not, not yet.

36
37 **WALTER KEITHLY:** Okay. Thank you. And if I have just a follow-up.
38 I was just curious. A follow-up question a little bit more directly
39 related, the expanded or the SEDAR 80 landings that you showed for
40 both the trap and the dive fisheries both exceeded the MER figures
41 that you adjusted going back. I'm trying to figure out why that
42 might be the case. Is it simply that the expansion factor that was
43 used may be high in that one case, for the one year or the 18
44 months that you used, or 19 months that used to backcast all of
45 these analyses?

46
47 **KEVIN MCCARTHY:** So, I mean, we can go back to one of those. I'm
48 not sure which slide it was, but the ones that had the landings

1 time series. A couple back. Yeah, that one's fine. So, the MER
2 estimates were always lower for Queen Triggerfish, right? So, this
3 is Queen Triggerfish specific. Those were lower than the DNER
4 expanded landings. That's why it's downscaling everything, right?
5 Is that what you're getting at?

6
7 **WALTER KEITHLY:** That's what I'm getting at and I'm trying to
8 figure out why that might be the case. I'm just wondering whether
9 imply- Well we don't know that the MER figures are correct either,
10 but on the assumption that there's a problem with the DNER data
11 set, would the problem be primarily in the expansion factor that's
12 used for Triggerfish?

13
14 **KEVIN MCCARTHY:** I mean, I don't want to speculate on others, you
15 know, without doing a thorough review in the same way that we're
16 going to be doing to the MER data. But with this new hire, that's
17 something that we can do. We haven't done it yet, so it's hard to
18 say. It's hard to know what could be going on there. The reality
19 is those are the accepted landings for better or worse, but those
20 are the accepted landings and always have been. And that's what
21 all of the management decisions that have been made by the council
22 are based on. So that's where we are. Now, whether or not they're
23 quote "correct" relative or the MER approach is more correct, you
24 know, awaits review. But we do have, with this new hire, we should
25 be able to look at both of those.

26
27 **WALTER KEITHLY:** Okay. Thank you.

28
29 **RICHARD APPELDOORN:** Kevin, as a follow-up. So that everybody is
30 aware, the expansion factors in Puerto Rico are across all species
31 by coast.

32
33 **KEVIN MCCARTHY:** Correct.

34
35 **RICHARD APPELDOORN:** I assume you took the coast part into account
36 when you were doing-

37
38 **KEVIN MCCARTHY:** Yes, these are (unintelligible) specific
39 expansion. Yes.

40
41 **RICHARD APPELDOORN:** All right. So, my other question is, just
42 looking at the graph here, I think it's the potential. You looked
43 at this for 14 months, on a monthly basis, and you did that for
44 traps and diving. Yes? Spearfish included.

45
46 **KEVIN MCCARTHY:** Yes.

47
48 **RICHARD APPELDOORN:** So, what kind of variability are we seeing

1 month to month? You know, obviously, that's going to be greater
2 than what you would get if you pulled over some of the year, but
3 I'm looking at our 75th percentile thing looks to be like twice
4 the 25th percentile. So, it looks like whatever the ratio is on a
5 month-to-month basis, it bounces around quite a bit. Was there any
6 consistent trend there? Or-

7
8 **KEVIN MCCARTHY:** I'd have to go back; Stephanie did all this work
9 and I have seen all of the information that it includes.
10 Unfortunately, I don't, off the top of my head recall, other than,
11 yes, it bounces around. I think that's fair to say. I can't say
12 whether or not there was a trend because I just don't remember it
13 well enough. But we can-

14
15 **RICHARD APPELDOORN:** Yeah. It would have to be a strong trend,
16 otherwise, it is bouncing around a lot and in a short time frame,
17 you know, you don't really want to push that data very far.

18
19 **KEVIN MCCARTHY:** Yeah. You were, cutting out a bunch, Rich, at
20 least on my end.

21
22 **RICHARD APPELDOORN:** Okay. What I was commenting on is, that if
23 you didn't see a really strong trend then it's probably not worth
24 pursuing this further, because it is a short timeframe of data.
25 There's going to be a lot of variability associated just with the
26 fact that there are short time frames, and the total length of the
27 frame is also fairly short as well. So, unless there's something
28 really obvious, there's probably nothing to pursue unless we had
29 a lot more data.

30
31 **KEVIN MCCARTHY:** Yeah. I don't recall, but I can certainly have
32 Stephanie have a look and if she's not on the call I can send her
33 a chat fairly soon so that we can answer that question more
34 definitively.

35
36 **RICHARD APPELDOORN:** Yeah. What you can certainly see in the data
37 here is that the upper and lower bound, especially the upper bound
38 approaches the gray line a number of times. So, it's obviously not
39 a consistent ratio. It does vary from month to month. But again,
40 unless you had a really strong trend there, the data time series
41 is just too short.

42
43 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from
44 Shannon?

45
46 **RICHARD APPELDOORN:** Yeah. One last question, and maybe Shannon
47 wants this. If we're estimating that the biomass is actually lower
48 or the catch is actually lower, then what was used in the original

1 base model, is that then suggesting that the OFL ABCs, that come
2 out of that will be correspondingly lower?

3
4 **KEVIN MCCARTHY:** Do you want to answer that, Shannon, or do you
5 want me to?

6
7 **SHANNON CASS-CALAY:** Yeah, I mean, Sure. I mean, Kevin knows the
8 answer to this as well, but the answer is, yes. The yields will
9 also be lower. Furthermore, you will then have to monitor the
10 catches in the same currency. So, you'll be monitoring catches
11 that are lower in the units of the MER estimates, which are lower.
12 And so essentially, at the moment, because all we have right now
13 to hang our hat on is a single ratio to reconstruct the time
14 series, it doesn't impact the estimate of stock status at all. It
15 only impacts your idea of the magnitude of the spawning biomass
16 and the yield, right? But the yield is in a new currency.
17 Essentially, this doesn't get you anywhere right now because we
18 can only apply a single concept back in time. So, I think that the
19 most appropriate course of action is to go ahead and proceed with
20 a review of this data to determine if this is in fact the best
21 available science, and if so, how we would estimate historical
22 landings more appropriately.

23
24 **KEVIN MCCARTHY:** So those questions are part of the larger issue
25 of trying to get the best landings, size, composition, etcetera
26 data that we can get. If we implement a new survey, which allows
27 for the collection of better data, then we're going to have to
28 consider how we don't lose our time series of existing data.

29
30 So, it's a big question and we're certainly trying to tackle it.
31 But a big step forward would be getting the information out of
32 that MER study that was specifically targeted towards getting the
33 information that will allow for the design of a better port
34 sampling survey. So, we're making progress, but we do have to be
35 aware of all of those caveats as things move forward. We don't
36 want to lose information from the past by not being careful about
37 taking that time series into account and coming up with a way to
38 not lose it.

39
40 **RICHARD APPELDOORN:** Any other questions on this from the
41 committee? If not that I think concludes the presentations. Excuse
42 me.

43
44 **KEVIN MCCARTHY:** Mr. Chair?

45
46 **RICHARD APPELDOORN:** Yes, Kevin.

47
48 **KEVIN MCCARTHY:** We've got a couple more slides. I don't know if

1 this is where we are in the agenda, but we've got a couple more
2 slides that are essentially a list of decisions, guidance, that we
3 need to get from the SSC. One for Puerto Rico and one in
4 anticipation of the U.S. Virgin Islands assessment for Queen
5 Triggerfish. Granted, you have not seen that information yet, but
6 there may be some decisions we can make at this point that might
7 guide some of that work.

8
9 **RICHARD APPELDOORN:** Yeah. Thank you, Kevin. I was going to say
10 it's now time to start actually deliberating and answering some of
11 the questions that you have. So, if you have a list of specific
12 things that you need answers for, we can just go down that list.

13
14 **SSC Guidance (recommendations) for additional analysis including
15 projections to finalize SEDAR 80 QT PR**

16
17 **KEVIN MCCARTHY:** Sure. Great. Next slide. There we go. There's
18 Puerto Rico. There's one thing that's related to well- It's not
19 really six, we needed a seven, but I can bring that up once we go
20 through all of these. It has to do with the landings in 2021 and
21 2022. We can tackle these six first.

22
23 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Jason
24 Cope.

25
26 **RICHARD APPELDOORN:** Jason?

27
28 **JASON COPE:** Yeah. Thank you, Rich. This is Jason. Maybe just a
29 note on number five there with steepness. We had gotten into the
30 discussion about the reference point as well. I think that needs
31 to be part of the discussion along with steepness as the biology
32 and the reference point. We should try to get as consistent as
33 possible. So maybe just a note there when we get to that point.

34
35 **KEVIN MCCARTHY:** Thank you.

36
37 **RICHARD APPELDOORN:** You'll probably have to remind us of that
38 when we get there.

39
40 **JASON COPE:** Yeah, no problem. And maybe just a general question,
41 how do we want to tackle this? I will say I certainly have opinions
42 on all of these, and I do not want to dominate things. How best
43 should we go through these six here?

44
45 **RICHARD APPELDOORN:** Well, I'm sort of presuming these, well, these
46 were sort of done in the order that they were presented. I am not
47 sure whether deciding on one is based necessarily on making a
48 decision about something lower down the list. But we can just start

1 going down the list.

2
3 Maybe I'll just start it off by, this is a question for Shannon.
4 Your presentations were really good, but could you give us a two-
5 sentence summary about what is the difference between going with
6 the control rule base or the ensemble analysis? We heard that
7 ensemble analysis can be quite overwhelming computationally.
8

9 **SHANNON CASS-CALAY:** Yes. This is a complicated question because
10 the ensemble approaches, including the MCBE approach that Erik and
11 the South Atlantic crew do, are widely recognized as the state-
12 of-the-art process for incorporation of scientific uncertainty as
13 to stock assessments. And so, to some extent, that is the state-
14 of-the-art, right? I think the tradeoff is really throughput,
15 right? It's as we improve upon our ability to conduct complicated
16 analyses and to better incorporate uncertainty, we can do it, but
17 that may require us to reconsider some of our stock assessment
18 schedules to make sure that as we are creating automation, that is
19 required to do this more efficiently, we can still continue to
20 produce the results you're looking for. So, I think what I would
21 say fairly as a fellow stock assessment analyst is, you know, the
22 ensemble model is a more sophisticated approach that probably
23 better meets many reviewers' expectations. What we have attempted
24 to do with the control rule is incorporate a similar or even larger
25 amount of scientific uncertainty directly in the control rule. So
26 rather than spending the time it takes to fully explore the
27 scientific uncertainty and an ensemble model we just literally
28 build it into the control rule itself to create that same buffer.
29

30 And so, you know, the control rule does facilitate quick and
31 efficient analyses that could be conducted with a higher frequency
32 of provision of information to the councils, right? The ensemble
33 is a more sophisticated approach and that way, perhaps, more
34 admirable in some fashion, but it's not going to give you a very
35 different outcome. The only concern that I have is as we explore
36 additional axes, I call them, of uncertainty, such as if we put in
37 steepness or natural mortality, do we exceed the capability of our
38 current analysis just computationally or do we start to encounter
39 unexpected interactions that require additional evaluation?
40

41 So, you know, I'm not really answering your question except to say
42 it really is mostly about the efficiency and throughput of the
43 process. The more we complicate this, the lower the throughput a
44 fishery management advice will be for the Caribbean until we have
45 our automation more fully completed than it is today.
46

47 **RICHARD APPELDOORN:** So, a question, and I'm not sure if this is
48 for you but I'll ask you. We have an ABC control rule that we've

1 set up and that can be used with the base model. Are we saying
2 we're going to use the same ABC control rule with the ensemble
3 analysis? And what we're doing is talking about different levels
4 of variance that might be included in those.

5
6 **SHANNON CASS-CALAY:** Well, see that's where it gets quite
7 complicated because if the sigma that comes out of the ensemble is
8 wider than our control rule, it could be used directly, right? If
9 it's narrower, as the one is right now, and you desire to expand
10 it, then in some senses it was unnecessary to do the ensemble
11 analysis. We could have just used the base that it was and used
12 the control rule directly.

13
14 So, it's kind of a strange situation whereas you do the ensemble
15 analysis, you're probably moving up through the tiers. You know,
16 you're better incorporating the scientific uncertainty into the
17 stock assessment, but you're not improving the data that the stock
18 assessment was based on. But if we take an ensemble model with a
19 CV of 0.36, say, we expand it to two times Sigma_min with a
20 Sigma_min of 0.5, then we could just as well have used the base
21 model then, I think, rather than the ensemble and the ensemble
22 loses some of its value.

23
24 **RICHARD APPELDOORN:** Well, I guess it's more of a, perhaps a legal
25 question. We have the ABC control rule with a sigma_min. The
26 ensemble analysis potentially would not use that. So, would we
27 have to actually alter the ABC control rule to even look at an
28 ensemble analysis in that way in the first place?

29
30 **KATHERINE M. ZAMBONI:** Mr. Chair, this is Kate Zamboni at this
31 point, I think we're just looking for- The request is just for
32 recommendations, so just to provide input on what the Science
33 Center is asking. I don't think you have to change any rules, I
34 don't think there's any legal constraint on the choices here. Just
35 to provide this input.

36
37 **RICHARD APPELDOORN:** Thank you, Kate. Jason, you had said you had
38 issues with everything, did you want to come up with your concerns?

39
40 **JASON COPE:** I do, but I think Erik had his hand up before me, so
41 I'll let Erik go, and then I'm happy to comment.

42
43 **RICHARD APPELDOORN:** Hey, Erik.

44
45 **ERIK H. WILLIAMS:** Yeah. Thank you, Richard. Thank you, Jason.
46 Yeah, so Erik Williams. I was just going to circle all the way
47 back to one of Rich's original questions. I think we do need to
48 answer number one first because it is going to have implications

1 for how we deal with two through six on this list. So, I just
2 wanted to make sure that that's clear. And I wanted to make the
3 distinction between what we need for A versus B in decision 0.1.

4
5 So, for A to work we really just need a model that captures what
6 we believe is the central tendency of all the uncertainties and
7 all these options that are in there. So, we want to make sure we're
8 getting that central tendency and then we, using the ABC control
9 rule, will essentially apply an uncertainty level that we assume
10 to go with that.

11
12 B is a little different. B if we want to go to the route of B then
13 we have to make sure we're encompassing all of the sources of
14 uncertainty. It gets complicated if those sources of uncertainty
15 are not centered around, sort of, a base run because then you get
16 into the discussion of, "okay, you're doing an ensemble weighting
17 of the final estimate and it may not agree with," say, a base run.
18 And so, you have to deal with that issue.

19
20 I would say right off the bat. The other thing that we need with
21 B is, Shannon did a good job of explaining this. As you go up the
22 scale of adding features to the ensemble analysis, you're in theory
23 getting a more complete characterization of the uncertainty. I
24 would say right now it's at a very low level in terms of
25 completeness of characterization of the full uncertainty. In fact,
26 I would dare to put a percentage, it's probably around, it's only
27 characterizing probably 30 to 40% of the total uncertainty that
28 might actually exist in this model. Before we move on to actually
29 using an ensemble, you'd want to get that much higher. You'd want
30 to characterize more of the important sources of uncertainty before
31 you actually use it.

32
33 Again, I will state, though, that is the way to go. It is where we
34 probably should go, particularly for this region where you have a
35 lot of uncertainties. And so, I think, as the analysis stands now,
36 it's not there. It might require a fair amount of work, it's my
37 take, to really get to that higher level of characterization of
38 uncertainty. But I just wanted to make sure we understood the
39 distinction.

40
41 If we're focusing on A it's a different thing. We want to make
42 sure that the model is sort of characterizing that central tendency
43 and not so much worried about all these errant runs that might
44 take the model in one direction or another. We want to capture
45 that central tendency. I hope that helps people wrap their minds
46 around the distinction between A and B and how we might make that
47 decision of which one to go forward with.

48

1 And I think the last point, Shannon also very, very clearly
2 articulated that if you go the route of B it is going to require
3 quite a bit more work. Then there's that worry about the delay and
4 all that. And so, is that all worth it right now? You know, what
5 is the management urgency for this species that I don't have a
6 sense for yet? So, thank you.

7
8 **JASON COPE:** This is Jason. I'll go next. Everything that Erik
9 said, he said that very, very well, and I absolutely agree. And in
10 placing on top of that, what Shannon had mentioned. The point of
11 the ensemble model is to be able to replace the estimate coming
12 out of the base model, which we would presume would be an
13 underestimation of uncertainty with a better characterization of
14 uncertainty for our control rule, Sigma. I'm still confused why
15 the ensemble model would be presenting less uncertainty than the
16 base model. I really don't understand how that's even possible.
17 So, there would be some discussion there. I think it's very clear
18 at this point that A, is the way to go and B is the way of the
19 future and because of the hard work that they put in to show us
20 how B works, we have a really good understanding of how to get
21 that operationalized for a future time where it's more appropriate
22 and there's more time to dig into it and do it. So, I think it was
23 really, really amazing that we have that information at hand here
24 to make this, I think, pretty clear decision that A is going to be
25 the way to go.

26
27 And the other reason A is the way to go is that we do have that
28 precautionary control rule put in for just these moments where we
29 understand there's a lot more uncertainty than we're prepared to
30 characterize. Therefore, we have a two times Sigma_min rule and we
31 have a default sigma_min of 0.5. So, whatever's coming out of the
32 ultimate base model, Erik has pointed out, there's a bit of work
33 to just identify a base model that properly centralizes our
34 feelings of best fit and uncertainty characterization, and then go
35 from there to apply the control rule. But I don't know. I'm just
36 going to put it out there. I think it's pretty clear that A is the
37 way to go, but we've been presented with some wonderful information
38 to understand how B can be the way to go in the future.

39
40 And I think that brings us to item two. Just want to point out, I
41 don't recall the base model that was presented back in August, but
42 this likelihood profile shows that there's a pretty good amount of
43 information in the initial catch. And so just going with A, that
44 A model, that base model, reference model, should, if it doesn't
45 already, have the MLE associated with that initial catch as part
46 of it. And I just don't recall if that was discovered after doing
47 the profile or if the low point in the likelihood profile is also
48 in the reference model MLE, I'll stop there for right now.

1
2 **SHANNON CASS-CALAY:** So, Chair, I can respond. Okay, so I'll make
3 one correction first. I think there was a misunderstanding when we
4 compared the Sigma that comes out of the base model for SEDAR 80.
5 It's actually much smaller than the Sigma that comes from the
6 ensemble. What is larger still is Sigma_min, right? Right now, the
7 ensemble is smaller than Sigma_min, but still, it's a much larger
8 Sigma than what comes out of the base model, which is closer to a
9 CV of 0.1 typically for our stock synthesis.

10
11 Then with regard to your second question, the initial catch is not
12 an estimable parameter in stock synthesis. It's data, essentially.
13 We could not profile the equilibrium catch. We could profile what's
14 called the initial equilibrium F, but unfortunately, that profile
15 is conditioned on the fact that we've already specified our assumed
16 initial catch. So, it's not freely estimated which is why we had
17 to go through this exercise of the ensemble model of actually
18 creating that profile of the equilibrium catch, which is a product
19 created outside of stock synthesis. It runs with stock synthesis,
20 but it's actually fixing that initial catch each time. It's not
21 automated.

22
23 So, there is a parameter, initial F, that we did a likelihood
24 profile on, but because you've already fixed, you assumed initial
25 catch, we don't think it can be considered freely estimated. We
26 could be incorrect about that.

27
28 **JASON COPE:** Yeah, no, no, I think you're right. I think you're
29 right about that. And that all makes sense. I guess the question
30 becomes, that likelihood profile that the ensemble model is using,
31 do you feel like it's actually informed in a way that it would
32 make sense, now that you've done that profile and you've found a
33 minimum likelihood value at initial catch? would that be a
34 recommended initial catch to use? or is there some worry about
35 using that likelihood profile to determine that for a reference
36 model?

37
38 **SHANNON CASS-CALAY:** So, we think that that's, I mean, Nathan
39 brought up that same concept. We need to first identify what we
40 are going to consider the base model, and then we could repeat
41 that analysis. The minimum value there could well be a better
42 estimate of the initial catch than what we can get out of stock
43 synthesis. So, it could be better informed by doing that profile
44 of the initial equilibrium catch. Is that the question, Jason? Did
45 I answer it?

46
47 **JASON COPE:** Yeah. Yeah. So, what you're saying is, and I totally
48 agree, because there are other issues like M, right? The next

1 thing, not so much L infinity, but natural mortality. There are
2 other really big important decisions, selectivity, etcetera. You
3 have to nail those things down. This item that you're talking about
4 here isn't one that you can include in that search. So, you've
5 nailed it down and then you'd have to do this second step of a
6 profile over that to find where the model would, where the data
7 and the models and that particular model specification would
8 support the most that initial catch. And that seems reasonable to
9 me, I was just checking in to see if that also felt proper with
10 the assessment team and others.

11
12 **SHANNON CASS-CALAY:** Yes, it does. You know, it's kind of what we
13 expected to do. To be honest, there is some concern that we have,
14 that the value of steepness is going to be correlated with the
15 initial catch, equilibrium catch. And so, you know, we had
16 expected, honestly, to profile across both steepness and initial
17 catch to see if, in fact, there is a sweet spot that is informative.
18 Now, if there is not, of course, then the only option would be to
19 essentially equally weigh various steepness outcomes. Or to fix
20 steepness at some value, such as the MLE from the likelihood
21 profile, the stock assessment itself.

22
23 **JASON COPE:** It's funny we've almost inverted the list here a
24 little bit. It's almost, we have to get at steepness, selectivity,
25 natural mortality, these things before you can really get back to
26 the initial catch treatment. Maybe we put the initial catch- I
27 guess in general though, this idea of first specifying a model
28 with all these other parameters and then revisiting that initial
29 catch through a likelihood profile to find if there's information
30 still there based on the model specification, the steepness, and
31 the etcetera, etcetera. Though you are estimating steepness and it
32 was getting you a value that didn't seem unreasonable. So maybe
33 that's not such a big deal.

34
35 (Some of Jason's comments were not audible.) The model
36 specification side and items three through five, first. Does that
37 sound alright with folks?

38
39 **RICHARD APPELDOORN:** You asking to bypass two for the moment?

40
41 **JASON COPE:** Well, it sounds like two is a second-level exploration
42 that's predicated on model specification. So that means the setup
43 of the model, which I think items three through five and six, to
44 be honest, because that scaling of the adjusted catches, right?
45 You want to get that. That's going to matter too. So, items three
46 through six seem to need to happen first.

47
48 I'm also fine with just saying for item two, I don't think the

1 ensemble model- I don't know, it's good to hear from other folks.
2 The ensemble model doesn't seem to be the preferred way to go. So,
3 we're talking about a base model and that base model would then
4 find an initial catch based on the model specifications of items
5 three through six and the rest of the stuff. So, I'm not sure if
6 we even need to talk about item two anymore, as long as there's an
7 agreement that that's how it would be found, through a likelihood
8 profile based on model specification.

9
10 **RICHARD APPELDOORN:** Any other questions from the committee on
11 that?

12
13 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a comment from Erik
14 Williams. He agreed with Jason. That will be a good approach. Pin
15 down other inputs before using model to help with the initial catch
16 decision.

17
18 **RICHARD APPELDOORN:** Okay, Thank you. So, let's go to item 3. L
19 Infinity.

20
21 **LIAJAY RIVERA GARCÍA:** You have a raised hand from Erik Williams.

22
23 **RICHARD APPELDOORN:** Okay, go ahead Erik.

24
25 **ERIK H. WILLIAMS:** Thanks, Rich. Erik Williams again. Yeah, I don't
26 think, first off, this probably shouldn't be labeled L Infinity.
27 This is really natural mortality is what this is. And that's the
28 factor we need to think about. And in terms of that, I would say
29 it seems unusual to me that you would get a max age that you'd get
30 different max ages from different ecosystems, for the same species.
31 I think in general, max age tends to remain fairly constant across
32 ecosystems and is influenced more by exploitation rates within
33 that ecosystem. But you know, that's, I'm pulling that out of, you
34 know, just years of experience and may not actually be founded on
35 any data necessarily. But I say that because I think- I guess what
36 I'm saying is I'm leaning more towards including that North
37 Carolina-South Carolina data and using the higher max age, which
38 then, of course, affects the natural mortality

39
40 **RICHARD APPELDOORN:** Oh, I have a question on that. Just trying to
41 think about this. I think we're talking, potentially, about two
42 different things. One is that primarily with higher latitude there
43 might be greater longevity off the Carolinas. But then there's-
44 And I think we've seen that with other species of fish so, it's
45 not just the one-off. There's, I think, a reasonable expectation
46 that that might be the case. But the other thing is the effect of
47 depth, and this is getting to the question that Michelle was asking
48 about. Is there basically a depth refuge from fishing and hence

1 our samples? We are not estimating in the Caribbean what the
2 maximum age might be. If there is a refuge, how does that get
3 incorporated into an assessment of where the stock is? Because
4 obviously, a younger age found in shallow waters might not be
5 indicative of overfishing so much as just, you know, that's the
6 available stock. You've got another deeper portion that's
7 technically not exploitable stock using the current technology.
8 So, can anybody address that?

9
10 **ERIK H. WILLIAMS:** Yeah. Rich, this is Erik, I'll jump in if that's
11 okay. I agree with what you said. Yeah. I think maybe there's a
12 slight bias in the max-age from a slightly northern latitude.
13 Although I'd say the latitudinal difference there is not as great
14 as you see for other species where you see that big change in
15 longevity versus latitude. But I think you're right that we should
16 be fixing a, or deciding on, a maximum age for this species based
17 on all the available data and recognizing that the fishery data is
18 potentially being selective, essentially, which actually gets to
19 the next issue we're going to talk about. What you have to look at
20 is, what is the probability of capturing the oldest fish?

21
22 Do we have enough samples that we think we have a good estimate of
23 the maximum age? When you look at statistics trying to estimate
24 the max of something is an interesting property that requires some
25 special sampling sometimes. If we're relying on the fishery that
26 is not fishing in the deepest waters to try and get at what an
27 estimate of max-age is, well that's a biased estimate we're trying
28 very clearly, and we may not ever, ever get to that maximum age
29 depending on the sampling scheme and the distribution of older
30 fish with depth. So that's my initial thoughts.

31
32 **RICHARD APPELDOORN:** So, my question is, how does that affect an
33 analysis if you're underestimating the maximum age, but that
34 maximum age is not exploitable? How does that affect the analysis?

35
36 **JASON COPE:** So, yeah.

37
38 **ERIK H. WILLIAMS:** Yeah, Erik. Oh, sorry, Jason.

39
40 **JASON COPE:** No, no, go ahead. Finish up then I'll follow you.

41
42 **ERIK H. WILLIAMS:** Yeah. It shouldn't affect the analysis. Ideally,
43 the max-age is the max-age, right? You know, we're trying to
44 estimate the population parameters and if there's a max-age for
45 this population, it is what it is. And if the fishery is not
46 exploiting those max ages, that's addressed through selectivity
47 very clearly. So that's how we would adjust.

48

1 **RICHARD APPELDOORN:** Okay. Thank you. Jason?
2

3 **JASON COPE:** Yeah. Yeah. So, I'm trying to think practically
4 through this one and agree with everything that's been said. Do we
5 have recorded what the newly estimated natural mortality was based
6 on that new additional data? And then maybe in comparison just
7 what was being used before?
8

9 Because. I mean we keep calling this a data-limited assessment,
10 but it's estimating, I think, steepness and natural mortality and
11 selectivity and initial biomass, right? It's doing a lot. Sometimes
12 when we add data, some of these parameters can go a little wacky
13 and if we know that the maximum age scene in North Carolina-South
14 Carolina area is 40, we have an estimate of, a ballpark, of what
15 natural mortality should be. I think it should be around 0.13 or
16 something like that. Is that what came out of the assessment?
17 because if it is something really, really, really low compared to
18 that, maybe something went a little haywire in the estimation. So,
19 I just wanted to clean that up and clarify that so we can put that
20 aside as being any issue in the assessment.
21

22 So that's a longwinded way to say what is the M estimation coming
23 out of the assessment when the new data from those states were put
24 in?
25

26 **RICHARD APPELDOORN:** Shannon, do you have a response to that?
27

28 **SHANNON CASS-CALAY:** Yeah. So, the natural mortality is not
29 estimated in the stock assessment. It is a fixed vector of natural
30 mortality at age that is derived using a Lorenzen function. So, we
31 have the Lorenzen methodology that uses the von Bert parameters
32 and the maximum age to scale a function of natural mortality at
33 age. I can show it to you if you want to see what it looks like.
34

35 **JASON COPE:** No, that's actually good enough because what you're
36 saying is you actually- the reason you're getting different natural
37 mortality rates is you put in that longevity explicitly. You didn't
38 put it in a model and have an estimation and stuff like that.
39

40 **SHANNON CASS-CALAY:** So That's correct. It is fixed. Fixed in the
41 model. And by changing from a TMAX of 23 years to a TMAX of 40
42 years by including Carolina estimates it almost halves the natural
43 mortality of age that you applied for each age.
44

45 **JASON COPE:** And essentially halves your depletion rate, your rate.
46 Which we saw.
47

48 **SHANNON CASS-CALAY:** Exactly.

1
2 **JASON COPE:** Yeah, yeah, yeah. So, it all scales exactly how we
3 would expect. And so, this does come down to our, as Erik said,
4 unless there's some sort of predation release up in North Carolina-
5 South Carolina, you really wouldn't expect a doubling of the
6 longevity from one place to another. And again, unless predation
7 is just massive in the Caribbean and not elsewhere.

8
9 So, understanding the sampling unit and was it able to- and the
10 population that's being sampled for these longevities in the
11 Caribbean, if they're long fish populations that have been
12 truncated, right? You're only going to be sampling smaller
13 individuals who'll never get to see the older ones because they're
14 just not out there anymore.

15
16 But it doesn't mean they couldn't get there. And so under- I think
17 this is going to be the key question here, do we believe that the
18 sampling unit in the Caribbean would've fairly had a chance to get
19 a good maximum age versus the 40-year-old? I mean, you also want
20 to make sure that the 40-year-old isn't some sort of, just world
21 champion in knowing how to live, right? But it's unlikely that
22 that's the case. So, you want to make sure that the selectivity is
23 proper in the Caribbean.

24
25 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have two raised hands, Doug
26 Gregory- Oh, just one.

27
28 **RICHARD APPELDOORN:** Okay, go ahead, Doug.

29
30 **DOUGLAS GREGORY:** All right. Thank you. The arguments that are
31 being made are logical, but they're that, they're arguments,
32 they're suppositions, and we have no information to refute or to
33 accept them. I, for one, like to stick with the data. I am
34 impressed, like Jason said, that given that this is a data-limited
35 fishery or species or assessment is behaving as well as it is. As
36 I said before, I'd be very, very nervous about including
37 information from North Carolina and South Carolina for the
38 Caribbean population. Longitudinal and latitudinal differences do
39 exist. Age, size, I'm not so sure about age, but it definitely
40 exists in size. Part of it is that once you get to the range of a
41 species, there is less fishing pressure, but part of it could be
42 other factors too because temperature and habitat affect all these
43 variables with growth. I would argue for not including this North
44 Carolina-South Carolina data, particularly given the magnitude of
45 impact that it would have. Thank you.

46
47 **RICHARD APPELDOORN:** Anybody else?

48

1 **LIAJAY RIVERA GARCÍA:** You have Kevin McCarthy raised hand.
2

3 **KEVIN MCCARTHY:** Yeah. Thank you. So, sort of following up on
4 Doug's. The North Carolina-South Carolina fish were not
5 recommended to be included in the data set by the topical working
6 group, the life history topical working group. So, you know, you
7 all can make a recommendation that they be included, but we would
8 require some pretty solid justification for why you would go
9 against it.
10

11 **RICHARD APPELDOORN:** Yeah, I'm sort of leading deck side of this
12 argument. And I'll point out that Virginia who is doing this work
13 also said they should not be included. I think we generally tend
14 to underestimate what the maximum age of our species are. So, I
15 certainly would expect it to be more than what we have in the data
16 now and that would be from, you know, large deep fish, which we
17 don't really seem to have much in the sampling floor. However,
18 doubling the maximum age seems to be a very big stretch and I don't
19 think I would support including the North-South Carolina data
20 because of the magnitude of that change.
21

22 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have Marco Hanke and Virginia
23 Shervette.
24

25 **RICHARD APPELDOORN:** Marcos?
26

27 **MARCOS HANKE:** Yes. Just on the context, aside from the results of
28 the projections. For me, it's very interesting to think, from a
29 fisherman's perspective, that the South Carolina fishing with hook
30 and line, you catch bigger Triggerfish and Triggerfishes in there
31 generally using bigger hooks than what we use here. Similar fishing
32 is done here with Silk Snapper and some deeper water Groupers with
33 smaller hooks that are a more suitable or better match to catch
34 the queen Triggerfish. I don't think that we are talking about a
35 major amount of Queen Triggers there. Also, I don't think there is
36 an easy way out of getting bigger animals here. Otherwise, we
37 should be seeing them on the landings for those fishermen. Either
38 hook and line for Silk Snapper, Vermilion, and so on, or on the
39 traps. Traps is a little complicated cause there's selectivity
40 there but comparing the same things hook and line, we should be
41 catching those huge Queen Trigger and on my 30-year experience, I
42 have never seen one like that here. Thank you.
43

44 **RICHARD APPELDOORN:** Virginia?
45

46 **VIRGINIA SHERVETTE:** Hey, Virginia Shervette, for the record.
47 Yesterday I spent a good part of the day participating in providing
48 a data summary for age, size at age, results that we got from

1 otoliths for Gray Triggerfish from the South Atlantic. One thing
2 that they did relating the Gray Triggerfish was, the maximum age
3 that we have come up with for Gray Triggerfish using otoliths was
4 21, for example. But the group for life history said that because
5 that maximum age was from a sample that was not validated using
6 bomb radiocarbon yet, that they weren't comfortable using that
7 maximum age. And so, they chose a younger fish. So, there's kind
8 of a parallel to that, which is why I'm even bothering to tell you
9 about it. Also, because Rich brought up South Atlantic assessments
10 earlier today.

11
12 So, for the Queen Triggerfish samples, the bomb radiocarbon
13 validation work that we did and the maximum age that we validated
14 was a fish from the Caribbean. And it was 21 years. We have not
15 validated that the Queen Triggerfish population or contingent from
16 North Carolina-South Carolina yet. We're in the process of
17 establishing a reference chronology for bomb radiocarbon, but we
18 don't- this would potentially open up the assessment to criticism
19 if you're going to use such an extreme maximum age, but it has yet
20 to be validated for that region. Anyway, my recommendation, which
21 Kevin mentioned, which came out of also the working group for Queen
22 Triggerfish, was that we don't include the South Carolina-North
23 Carolina data but there are some legitimate reasons why you would
24 be opening yourself up to criticism if you do use it. Mainly,
25 because we haven't validated that maximum age yet.

26
27 **RICHARD APPELDOORN:** Thank you, Virginia. So, it's really- Okay,
28 thank you. Jason is just saying that, "if that age isn't validated,
29 it's hard to justify using it." So, I was going to put it back to
30 Jason and Erik were the ones who were arguing for using that data.
31 Jason seems to be in agreement not to use it. Erik, are you holding
32 your opinion fast, or do you want to change?

33
34 **ERIK H. WILLIAMS:** Yeah, yeah. No, no, Rich, no. All good
35 discussion. So, yeah, no, I'm on board with not using that oldest
36 age, but I'm not necessarily on board with using the 21 because of
37 a lot of issues that have been discussed. Selectivity,
38 detectability of the max-age, given the samples we're collecting,
39 the history of the fishery, you know, all those things point to
40 some reasons why we might have a tough time finding the oldest
41 fish, or the true estimate of the maximum age for this species.
42 So, I'm fine with 21, and, and if we have, if that's all we have
43 in hand. I get Doug Gregory's point, you know, the data is the
44 data. I would say, if we stick with that in the assessment, that
45 we recognize that that could be the minimum max-age, so there is
46 a probability that it's probably higher than that. We don't know
47 what that probability is, we can't really quantify it, etcetera,
48 etcetera. So, in that sense, I guess I'm kind of on board with

1 what everybody just said.
2
3 **RICHARD APPELDOORN:** Yeah. Thank you. And you know, that's why we
4 have a large Sigma_min expansion, to take care of exactly these
5 kinds of uncertainties.
6
7 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have Jason Cope raised his
8 hand.
9
10 **RICHARD APPELDOORN:** Yeah, go ahead Jason.
11
12 **JASON COPE:** Yeah. Thank you. I think this is another good example
13 of not just trying to characterize uncertainty, but there are
14 certain parameters that don't have normally distributed
15 uncertainty. We know that this is uncertainty that goes one way,
16 right? They don't live less than 20. We're not arguing that. We're
17 trying to figure out, do they live- How much on a regular basis
18 are they getting past 23 or so? So, to conceive of like an ensemble
19 model or something, right? You would be kind of marching- You have
20 a reference model that's at one end and you're marching away from
21 it with any sort of sensitivity analysis, decision table, etcetera.
22
23 So, these one-sided uncertainty things, for me at least, they're
24 kind of weird to think about because they're not the traditional,
25 "oh, let's find the confidence interval around this median value."
26 It's different than that. This is a bias issue. It's not about
27 imprecision. And so just something for us to think about. But
28 again, let's remind ourselves, we do have a control rule that is
29 two times the min Sigma, just for these reasons, right? It's built
30 in to be extra precautionary because you don't believe the base
31 model is getting it all right. And in this case, the uncertainty
32 is extremely small. So, we know adding a bit more is going to be
33 the right thing to do. And this would be an extremely solid, this
34 type of discussion, right? This is why we have it, to point out,
35 next time around, this should be sorted out. We need focused
36 sampling and attention on the natural mortality rate for these
37 species. Thanks.
38
39 **RICHARD APPELDOORN:** So, all of this discussion has really been on
40 the maximum age estimation, which was one of the factors going
41 into the estimate of natural mortality. The other one which Shannon
42 says was using von Bertalanffy parameters. So, we're still back
43 to, are we considering L Infinity?
44
45 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have Shannon Calay with
46 raised hand and also several comments that maybe she would like to
47 speak up.
48

1 **SHANNON CASS-CALAY:** Yeah. Sorry Rich, I think you got ahead of me
2 now, so I'm behind you. But I wanted to clarify that 21 is actually
3 the maximum age from the Caribbean that was bomb carbon validated.
4 23 was the maximum age observed in the U.S. Caribbean and the stock
5 assessment model used age 23, as the maximum age. All of the runs
6 that we have done to date to look at different L infinities all
7 produced essentially the same von Bert parameters. So, we'd have
8 to- We haven't shown you the effect of L Infinity yet.

9
10 If you know what I mean, if, you know, all three sensitivity runs
11 that were intended to examine L Infinity didn't produce any
12 meaningful change except for the introduction of the new TMAX
13 value, which changed M but not the growth parameters.

14
15 **RICHARD APPELDOORN:** Thank you for that clarification. That
16 centralizes things a lot.

17
18 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Erik
19 Williams?

20
21 **RICHARD APPELDOORN:** Go ahead, Erik.

22
23 **ERIK H. WILLIAMS:** Yeah, yeah. Thanks, Rich. So, it sounds like
24 we're just going to stick with what this assessment team did with
25 natural mortality, to begin with, and move on from there. It sounds
26 like there's no need for a change, but recognizing exactly what
27 Jason said, that this is like a minimum estimate and that as we
28 consider, you know, ensemble analysis, this would be one of those
29 things that would probably go into the ensemble is alternate values
30 of natural mortality. But we're not there yet because I think we've
31 decided we're trying to just get to a central tendency for this
32 model. I agree that we just stick with what the assessment team
33 did at this point.

34
35 **RICHARD APPELDOORN:** Right, so, there's the part A research
36 recommendation. Obviously, the question here is, what is the oldest
37 age of the fish? Where do you have to go to find it? And do we
38 want to go on record saying that this is a research priority coming
39 out of this assessment? or assessment exercise?

40
41 You know, preface that by saying, "Yeah, we always want more and
42 better data. Do we think we're going to get that?" Virginia made
43 comment about the number of fish samples here which is in fact,
44 fairly large. Unless we have something that's really targeting
45 deep individuals. And so, if Kate Overly's program is going to
46 start getting some size estimates or if there's a way to capture
47 some of those deep, large fish, it's just worth making the right
48 research recommendation. Why take it? I don't know.

1
2 **LIAJAY RIVERA GARCÍA:** You have a raised hand for Michelle Schärer.
3 **RICHARD APPELDOORN:** Yeah, go ahead Michelle.
4
5 **MICHELLE SCHÄRER-UMPIERRE:** Yeah, I would say that this is an
6 important research recommendation, not only for Queen Trigger but
7 for a lot of our species. I think the information we have for this
8 species is limited to 60 meters and we've seen them a lot deeper.
9 So, something targeted need to be designed to actually go after
10 these and eventually have an answer to reassess this assessment.
11
12 **RICHARD APPELDOORN:** I'm not too sure who put things in the chat.
13 It's like Jason was saying that "Natural mortality is such a key
14 parameter; it should be a priority" and I have to agree with that.
15
16 Shall we go on to selectivity then, which is kind of what we were
17 talking about with this question of age and sampling? although not
18 exactly.
19
20 Our options here, retain the initial trap selectivity assumption,
21 or use the dome-shaped. If I recall correctly and Shannon, you can
22 remind me of this, but there was a slight difference, but it was
23 not great. Is that correct?
24
25 **SHANNON CASS-CALAY:** Yes. You know, given the other parameters
26 that are fixed in the model. There was a slight difference
27 introduced by changing that trap selectivity assumption to dome-
28 shaped.
29
30 The difference could be larger, you know, if we had deviated with
31 a different concept about L infinity and M. But given the decisions
32 you have made, which I think are quite rational, we expect it to
33 be a relatively small difference.
34
35 **RICHARD APPELDOORN:** We don't necessarily know which one would be
36 more, correct?
37
38 **SHANNON CASS-CALAY:** Well, the working group, the technical working
39 group that examined this did support the logistic track
40 selectivity. Perhaps Nancie can remind me why they did. But you
41 know, typically we're talking pretty much about gear selectivity
42 here. The idea is that if it's a logistics selectivity, which is
43 what the model has assumed, that means that any fish that's present
44 where you put the traps down, can enter the trap and be retained
45 by the trap. If it's dome-shaped, that means that your largest
46 animals cannot physically enter the trap.
47
48 So that's really, you know, that's where the model, we have length

1 composition data from several sources. We have traps, divers, and
2 the RBC survey. All of those show that given the selectivity
3 function estimated for the trap, that those animals all could be
4 captured by traps. So, they support logistics selectivity.

5
6 The question really is, you know, if there are much larger animals,
7 that are available where traps are deployed that simply can't enter
8 the trap. So, it's really more of a gear selectivity issue we're
9 talking about here. Nancie's typing so she can remind me of the
10 discussions of the technical working group.

11
12 Jason's got some comments in the chat. Basically, I mean, he can
13 tell it to you himself, but you know. One thing about stock
14 assessments is they benefit from having at least one of the gear's
15 selectivity be assumed to be logistic, if the data can support it,
16 because it gives you a better idea, you know, about whether there
17 could be a large amount of cryptic biomass.

18
19 If you have all of your gear selectivity, dome-shaped, you
20 essentially get no information about whether there might be cryptic
21 biomass.

22
23 **RICHARD APPELDOORN:** Yeah. So, I think what you were doing is
24 explaining Jason's comment, which a dome-shaped is a less
25 precautionary assumption.

26
27 **JASON COPE:** Yeah. I mean, you're invoking refugia, right? You're
28 basically saying, we can't get to that part of the population.
29 They're out there, we can't get to them. And so, which is, again,
30 it's fine if that's what's happening, but if you do that, you
31 should be prepared to understand that you're going to present a
32 less depleted stock than it might be.

33
34 And so, the direction of error is going to be one that is less
35 precautionous than more. And so, we often don't start with the
36 default that everything's dome-shaped, right? We start with gears
37 that we think are getting the bulk of the population or whatever
38 once they hit a certain size, right? They get everything after
39 that. If that's not true, then you present reasons why not
40 typically the other way around.

41
42 **RICHARD APPELDOORN:** So, I really question about selectivity and
43 how it's affecting the analysis. And we've been talking about
44 traps, but you know, divers also constitute a fair amount of the
45 fishery, and I don't know whether they would be, at least in Puerto
46 Rico, limiting their catch because of the way the fish are used in
47 the market.

48

1 Whereas in the Virgin Islands, which we have not discussed yet,
2 there is very much a market selection that goes on. The fishermen
3 have told us about this substantially over the years. So, the,
4 it's not so much the gear that's being selective as to what's being
5 retained, that's being selective.

6
7 I'm not sure, as I said, I don't think that occurs in Puerto Rico,
8 but it will be something that comes up in the Virgin Islands when
9 we talk about that.

10
11 So, is the sense of the group at this point then to, given the
12 comments that have been made, to go with the logistic model for
13 selectivity?

14
15 **LIAJAY RIVERA GARCÍA:** Okay, Mr. Chair, you have a raised hand
16 from Erik Williams.

17
18 **RICHARD APPELDOORN:** Okay, Erik?

19
20 **ERIK H. WILLIAMS:** Yeah. Thanks, Rich. So yeah, dome-shape
21 selectivity is a tough one. I do think assessments should always
22 make a sensitivity run with it to see how much doming occurs when
23 you free up the selectivity. Sometimes that can point to
24 misspecifications of M , natural mortality, which we just
25 discussed.

26
27 For instance, if you'll allow a selectivity to be dome-shaped and
28 it goes severely dome-shaped, usually that suggests that you've
29 got some sort of misspecification with M . You know, in theory, if
30 you have M specified correctly, whether you use a dome-shaped or
31 flat top function, in theory, a dome-shaped function can still
32 give you a flat top selectivity curve as its final estimate. But
33 that usually doesn't happen very often.

34
35 There are all kinds of issues around selectivity, but I just want
36 to make sure that, that we are being- I think Rich made a good
37 point to make sure we all understand what selectivity and a stock
38 assessment model is doing. It's a combination of the gear
39 selectivity as well as the availability of the fish, which that
40 would have to do with the depths that are being fished. And as you
41 mentioned, you know, market forces that might drive the fishers to
42 select a certain size fish because of the market conditions.

43
44 So, all those things need to be taken into account. I just want to
45 make sure we have a logical consistency here that, you know, I
46 heard, and I don't know this because I don't know the fisheries
47 that well enough yet, that the deeper waters are not being fished.
48 And that would sort of suggest that a dome-shape selectivity

1 function is more appropriate if that's actually happening. But at
2 the same time, if that's also happening, that goes circles back to
3 our M discussion, that that also then possibly does point to the
4 fact that, you know, M should probably be a lower value or we
5 should have a higher max-age, should be expected if there is this
6 refuge of bigger, bigger individuals, bigger and older individuals
7 in deeper water.

8
9 So, all of this sort of gets wrapped in with itself in thinking
10 about it. But I just say all that. I think the decision to just
11 stick with a flat top is probably fine for now. Just something to
12 think about as we go down the road of starting to possibly
13 incorporate more sources of uncertainty into this assessment.

14
15 So, I just wanted to put that out there.

16
17 **RICHARD APPELDOORN:** Okay. Thank you, Erik. All those pauses that
18 you're hearing or not hearing anything is my writing, so excuse me
19 for that. I can't speak and write at the same time.

20
21 So, I think what we're hearing, I think Erik summed it up, is that
22 right now the way to go would be just to go with the logistic
23 thing, but there are other questions out there. Other factors at
24 play, such as the market and availability which would circle back
25 down to around to this question of age and hence natural mortality.

26
27 So, I guess that points to, again, a research need on looking at
28 some of these deeper water fish and trying to see if there's an
29 age factor there as well. Size, age factor.

30
31 If no more other comments on that, we can talk about steepness.
32 And the choice that we're looking at is to retain the value that
33 is fixed or try to include in ensemble analysis. Let somebody who
34 knows more about this than me volunteer to start the conversation.

35
36 **LIAJAY RIVERA GARCÍA:** You have Jason Cope with a raised hand also
37 Shannon Calay.

38
39 **RICHARD APPELDOORN:** Okay. Jason and then Shannon.

40
41 **JASON COPE:** Yeah, I was going to say, I think option B is off the
42 table, but there could be a new B- was it estimated? I thought it
43 was estimated not fixed. So maybe clarify that and we can talk
44 about it.

45
46 **RICHARD APPELDOORN:** Shannon?

47
48 **SHANNON CASS-CALAY:** Sure. Thanks. So, we did the likelihood

1 profile and we found that for Puerto Rico it does appear to be
2 estimable at a value of about 0.75. But in the model, it was
3 actually fixed at 0.7 and we could, basically, we could basically
4 use the estimate. There was a likelihood profile that supported
5 that estimate.

6
7 So, when I say retained fixed value, here as one of the options,
8 we could actually use the maximum likelihood estimate.

9
10 **JASON COPE:** Doesn't seem like much. Seems like that's a good,
11 good way to go. It sounds like the model actually has contrast
12 enough to estimate it and it's right in the ballpark of what you
13 were kind of using anyway. I know it's a little higher, more
14 productive, etcetera, but not at all unreasonable. Sounds like you
15 would then incorporate the uncertainty in that parameter in the
16 model. So, sounds like a good way to go. I guess I would lean
17 toward that given what you said.

18
19 **ERIK H. WILLIAMS:** You don't mind me chiming in. Couple of things
20 to be cautious of when estimating steepness and that is, pay
21 attention to the profile and the scale of the profile. I mean,
22 I've seen a lot of what looks like reasonable steepness estimates
23 that when you look at the scale of the likelihood change, it's
24 less than two across the whole range of the profile.

25
26 Again, just sort of basic AIC principles. You know, you want to
27 have a range. You want to have a change in your likelihood of at
28 least two points or more in that profile. The other thing to look
29 at is these models can get tricked by conflicting sources. You
30 want to look at each data source, the profile of each data source's
31 likelihood with respect to steepness, to see what data source is
32 actually driving that value of steepness. If it's not coming from-
33 You know, if it's coming from like the landings, that's kind of
34 questionable, you know. You want to look at, do the data sources
35 tend to agree on this MLE estimate of steepness, or are they at
36 two ends of the spectrum? And that 0.75 just happens to be in the
37 middle and is a sort of mediated point between two sets of
38 conflicting data sources that are saying, one saying it's really
39 high, the other saying it's really low.

40
41 So that would be my only caution. But in general, yes, if you can
42 estimate it, great. Go for it. You know, that's, you're letting
43 the data drive the estimate, which is why we do these models.

44
45 **RICHARD APPELDOORN:** Jason, would you like to expand on your
46 comment or at least read it? So-

47
48 **JASON COPE:** Yeah, no. Erik gave a great suggestion on making sure

1 that the likelihood components aren't doing some weird things in
2 the likelihood profile. And that there's this thing called a Pinner
3 plot that's produced when you run these likelihood profiles. So,
4 the team probably has this, that plot there. Just to take a look
5 and everything that Erik said, making sure you don't have the
6 illusion of estimation is very, very good. But if those things
7 check out, estimating steepness seems like a good way to go in
8 this model.

9
10 **RICHARD APPELDOORN:** Shannon, that's something that you can fairly
11 easily check on, following up on Jason's comment.

12
13 **SHANNON CASS-CALAY:** Yeah, absolutely. It's already- For the
14 previous SEDAR 80 base, it's already in the SEDAR 80 report, that
15 Pinner plot. We did show it in July. It was conditioned on an
16 initial catch estimate of roughly 50,050 metric tons, 50 metric
17 tons.

18
19 And so, there is a possibility that as we make these changes, that
20 you have suggested, that that steepness value that is estimated
21 changes somewhat. And it is also possible that it will no longer
22 be as well estimated. So, we will check into that.

23
24 I guess what I'm asking you to do is, we could start from the
25 premise that it will be estimable, but we should probably have a
26 plan B in the event that is not in the revised face case.

27
28 **RICHARD APPELDOORN:** So, would there be any option other than going
29 with the 0.7, which you said was informed by the analysis in the
30 first place, but I don't, I don't see how you would come up with
31 another option other than going with what you had already used.

32
33 **ERIK H. WILLIAMS:** To that point. If you can estimate steepness,
34 then you, what the model's telling you is you don't really have an
35 estimable stock recruit function, in which case then you should
36 probably default, since you already have an F30% proxy in place
37 for these species is then go with an average recruitment model and
38 use the F30%.

39
40 That would be my recommendation tends to be what we do in the South
41 Atlantic. And that's probably the only reason I'm making that
42 recommendation. Not to say that we couldn't deviate from that. I
43 think if you go down the road of fixing steepness, which is fine
44 too, but usually the reason- if you're going to fix steepness, you
45 have something to go by, like a meta-analysis of other species or
46 something like that, that you can draw upon a value of steepness.
47 But if you don't have that, I would say then we're stuck with just
48 a mean recruitment model.

1
2 **RICHARD APPELDOORN:** So, does that mean model come up with a
3 specific value that could be used?
4
5 **ERIK H. WILLIAMS:** Yeah, you can derive all of your benchmarks and
6 everything from a mean recruitment model with your proxy of F30%,
7 because then what you'll be using is the F30% as your assumption
8 about FMSY.
9
10 **RICHARD APPELDOORN:** Shannon, this is doable for you?
11
12 **SHANNON CASS-CALAY:** Yes. This is doable.
13
14 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have Doug Gregory with a
15 raised hand.
16
17 **RICHARD APPELDOORN:** Sorry?
18
19 **DOUGLAS GREGORY:** Thank you, Mr. Chair. Comment and a question on
20 this. My comment is that I really appreciated Shannon's response
21 this morning relative to using the stock recruit curve and MSY
22 rather than the proxy. Personally, I want to see us moving to using
23 MSY when we can. I mean, it's the estimate. It's not a proxy of an
24 estimate. I know we've got a long history with proxies, the 30%,
25 40%, and we're comfortable with it, but we started using it years
26 ago when we couldn't estimate MSY. So, I see no reason not to go
27 back to it, but the answer that Shannon gave was external
28 recruitment. I would find it hard to believe that Puerto Rico would
29 not have external recruitment, and for that reason alone, I think
30 probably we should stay with a proxy regardless of how steepness
31 comes out.
32
33 Then my question is, in some of the assessments I hear the
34 assessment scientists talk about, this is a question for Shannon,
35 talk about setting priors on steepness. I don't know what effect
36 that has because I'm not familiar with Bayesian analysis. That's
37 when I got into trouble in college when I tried to take that class.
38 But so, we've got a previous estimate of 0.75, and let's say with
39 these other changes things don't seem right. Would it make sense
40 to use 0.75 as a prior and then go forward and see if it's
41 estimable? And that's my question. Thank you.
42
43 **SHANNON CASS-CALAY:** So, in this case, Doug, I don't think so. The
44 answer is no, because unless we're very surprised by these
45 relatively small changes that are being suggested. The model
46 already suggests strong support for a steepness value between 0.6
47 and 0.8. So, using a prior would be unnecessary. The more important
48 question in my mind is if there is not a unit stock in the sense

1 that your recruits are actually coming from outside of the
2 population, right? Drifting in from other areas, for example, to
3 settle in Puerto Rico, then your steepness is much more likely to
4 be essentially one meaning there is no relationship between
5 spawning stock and recruitment. In which case then we default to
6 that mean recruitment model that Erik Williams talked about. Which
7 is what we also often do in the Gulf of Mexico, by the way. So, if
8 you'd like, I can show you the figure of the Pinner plot for
9 steepness, which does show that it's quite well estimated with
10 changes in likelihood of many, many units, like more than 50 for
11 the total between a steepness of 0.3. It has a more than 50-point
12 change from that to the minimum. I can show you that plot if it
13 matters.

14
15 You can proceed with the recommendation to try to estimate
16 steepness first. If estimable use it and use FMSY and then default
17 to a steepness of one and mean recruitment if it is not estimable.
18 Or you know, as Doug discussed, we can say there's no evidence
19 that there is a relationship that we trust and default immediately
20 to SPR 30 and mean recruitment.

21
22 **DOUGLAS GREGORY:** No, I don't need to see a plot. Thank you.

23
24 **SHANNON CASS-CALAY:** Okay.

25
26 **DOUGLAS GREGORY:** I'm just curious about that. Appreciate it.

27
28 **RICHARD APPELDOORN:** With that, are we ready to move on to the
29 last item on that, which is the adjusted landings? Realizing that
30 we haven't had a break, and we were scheduled for one some time
31 ago. Half an hour ago. So, I'm suggesting we take a break and then
32 we come back to this list and finish it up. Is that okay with
33 everybody?

34
35 Okay. No opposition. So, let's take a- let's see it's 3:40, 10-
36 minute break. Is that okay for everybody, back at 3:50?

37
38 Thanks. Okay, we're on break.

39
40 (Whereupon, a brief recess was taken.)

41
42 **RICHARD APPELDOORN:** On the assumption, everybody's back. Maybe we
43 could start picking up where we left off. As I understand it, we
44 are looking at the question of adjusted landings, and Kevin
45 actually had a second part of that as I recall. And then we are
46 going to come back to the issue of the control rule or the ensemble
47 analysis, although I think that we kind of said ensemble analysis
48 was still not yet operational. I think it's how one person referred

1 to as maybe we've done that. But there was a point about, you know,
2 ensemble analysis could not even be looked at until we had dealt
3 with all these other factors.

4
5 So, getting to adjusted landings. Do we want to retain the DNR
6 expanded landings or as the alternative that Kevin presented would
7 be a fixed percentage of that based on the Puerto Rico port
8 sampling analysis?

9
10 So, comments from anybody?

11
12 **LIAJAY RIVERA GARCÍA:** You have a raised hand from Walter.

13
14 **RICHARD APPELDOORN:** Walter? Good to hear from you.

15
16 **WALTER KEITHLY:** Yes, Mr. Chairman. I'm only going to make this
17 come cause nobody else has raised their hands yet. I asked Kevin
18 right after lunch about the different data sets. He mentioned that
19 the DNER is considered, if I remember his word correctly, the
20 accepted data set.

21
22 The DNER reports have not been reviewed yet, and given that to be
23 the case, I think would be a mistake to not use the- I think it
24 would be a mistake not to retain the DNER expanded landings data
25 set for analysis. Thank you.

26
27 **RICHARD APPELDOORN:** Thank you, Walter. I don't know whether- Well,
28 I guess I asked this question before. If the landings are actually
29 lower, it doesn't change the assessment, but it does change what
30 the recommended OFL ABCs are and then they would have to be
31 monitored using the new factors? Is that correct? I think, Shannon,
32 you addressed that.

33
34 **SHANNON CASS-CALAY:** Exactly. You know, we would basically then
35 have the reported landings in order to monitor them against the
36 ACL. We'd have to apply that same calibration factor to them. And
37 so essentially, you're monitoring an ACL that is lower in a
38 currency that is lower. And so, it really doesn't accomplish much
39 at this time because we're applying a single calibration factor
40 throughout the historical time series, and so it's not changing
41 anything, right? It doesn't change our stock status and it reduces
42 the landing's ACL, but it also requires us to monitor it in a
43 currency that is a calibration factor. It's adjusted by a
44 calibration factor. So, I know, I'm not saying it very correctly,
45 but you know, it's basically like saying, "Okay, we can put Mexican
46 pesos into the stock assessment instead of US dollars," and the
47 outcome will be Mexican pesos now, but we'll have to monitor it in
48 Mexican pesos.

1
2 **RICHARD APPELDOORN:** Thank you. And Kevin, you actually had like
3 a second part two, part six, which of course I don't remember now.
4
5 **KEVIN MCCARTHY:** Yes, that's right, Rich. So, the other thing we
6 need is a way to estimate 2021 and 2022 landings. So, we'll need
7 those for example, for projections and what it- And so the issue
8 for 2021 in Puerto Rico is, while we have all the landings, we
9 don't have a correction factor yet. So, there's a decision that we
10 need to make on whole filling that correction factor.
11
12 And then in 2022, we have neither the complete landing series
13 because we're not yet to the end of '22. And we don't have a
14 correction factor there either.
15
16 Now, what has been common practice? Particularly when we speak to
17 DNER staff their recommendation is to whole fill the correction
18 factor with the correction factor from the previous year. And
19 again, it's a series of factors, coast-dependent. But we would, we
20 would whole fill using the prior year. And the prior year where
21 it's available is 2020. So, we whole fill for 21 and 22 using the
22 2020 values of correction factor. We'd have to come up with a
23 mechanism to estimate the landings for the rest of the year for
24 2022 and then apply that proxy correction factor to those estimated
25 landings.
26
27 So, it's a bigger- there are more assumptions for 22. There's only
28 the correction factor assumption for 2021.
29
30 **RICHARD APPELDOORN:** Well, I'm looking at this and saying, the
31 only question is how do we fill out 2022 and why do we need to do
32 that? Can't the analysis just run through?
33
34 **SHANNON CASS-CALAY:** So basically, Rich, the stock assessment model
35 ends in 2020, I believe. Is that correct? 2020. So we need an
36 estimate for the catch that occurs in 2021 and 2022 for our
37 projections. Because we can't, you know, we basically, we can't
38 create a management measure that would affect the 2021 and 2022
39 catches because they have already occurred.
40
41 So, we need to, essentially, make some assumptions about what they
42 would be. And what we must typically do is just use the recent
43 landings, right? And assume that the landings will remain as they
44 have been, say in the last year or the last three years of an
45 assessment. I think in this case we have the landing data for 2021.
46
47 What we don't have is the correction factor. And so, I think the
48 advice in the past has been to use the previous year's correction

1 factor.

2

3 I believe in 2022, we don't have the landings or the correction
4 factor, so we have to make an assumption.

5

6 **RICHARD APPELDOORN:** Right? So, for 2021, the only thing you can
7 do is use the 2020 correction factor. So, I don't see whether
8 that's even a question because there is no other option. And then,
9 the real question is how do we finish off 2022 landings? Again,
10 there's no other correction factor available at this time. So,
11 unless there's some indication where, you know, things have changed
12 2020 is all we have for correction factors. But then the question
13 is how do you complete 2022 landings? Is that just extending the
14 trend that we have? Given what we know about seasonal variability
15 and run it through December? is that how you would normally
16 approach that?

17

18 **SHANNON CASS-CALAY:** So, I can't speak for how we typically
19 approach it. In the Caribbean, because we only have one assessment
20 prior to this in the Caribbean. Maybe Kevin could walk us through
21 each decision so that we can make each decision independently.
22 Just for the projected landings.

23

24 Kevin, you are speaking. We cannot hear you.

25

26 **KEVIN MCCARTHY:** I'm not speaking yet. I was waiting to be
27 recognized by the chair.

28

29 **RICHARD APPELDOORN:** I'm sorry, who were you? [laughter] Yeah, go
30 ahead.

31

32 **KEVIN MCCARTHY:** Kevin, [laughter], So, that's fine. That's fine,
33 Shannon. Yeah, so, the simpler one, as you said, Rich, is in 2021.
34 And I think the recommendation has always been and continues to be
35 borrowed from the previous year in terms of correction factors.

36

37 And let's take a step back and recall what the correction factors
38 are trying to do. What they're attempting to do is to get at some
39 estimate of what the actual landings were given under-reporting.
40 So, when people look year to year to year, you know, oh, it was a
41 covid year. It was a hurricane year. I understand that that will
42 impact the overall landings, but as far as the correction factor
43 goes, if there's a hurricane does that affect patterns of
44 reporting? Are people more or less likely or about the same amount
45 of likelihood? The same likelihood? of reporting their landings
46 whether there's a hurricane, whether there's a pandemic, you know.
47 So, it's changes in reporting frequency that cause problems with
48 borrowing previous years' correction factors.

1
2 So, if the pandemic did not affect reporting rates, then it's okay
3 to borrow the correction factor. If a hurricane affects reporting
4 rates because people can't be, you know, don't, they've got enough
5 on their plate. They are worried about hurricane damage and getting
6 out to fish and all of that so they're less likely to report, or
7 they're unable to report because of the impacts of the hurricane.
8 Then that's a legitimate concern that the correction factor from
9 a- and I'm just making this stuff up. I have no idea. But if it
10 changed the reporting pattern, then that's a problem for borrowing
11 correction factors. If it didn't, if the pandemic did not in any
12 way impact the likelihood of somebody actually reporting their
13 catch, then it doesn't matter that there was a pandemic in terms
14 of the reporting patterns. It may affect the overall catch but
15 that should work out.

16
17 So, it's a reporting rate issue. So, with that bit of background,
18 I would still recommend that the 2020 correction factors be applied
19 to 2021.

20
21 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Reni.

22
23 **RICHARD APPELDOORN:** Go ahead, Reni. Yeah.

24
25 **JORGE R. GARCÍA-SAIS:** Kevin, would it be possible for us to have
26 a graph where we have the expansion factors floated versus time.
27 To see what kind of- What's the range of the expansion factors
28 we've been applying to our data for catch data? And what's the
29 variability on those expansion factors and perhaps know if there's
30 any pattern of explaining that kind of variability.

31
32 **KEVIN MCCARTHY:** We can certainly do that. I think that what we're
33 seeing in 2020 is sort of right in the middle of all the
34 variability. But we could certainly- that's my recollection
35 anyway. I don't have that right at my fingertips, but we can
36 produce that.

37
38 **JORGE R. GARCÍA-SAIS:** Can you tell me what it is? What's the
39 expansion factor, the latest that we have?

40
41 **KEVIN MCCARTHY:** I'm going to have to look it up. Unless somebody
42 else on the team has it. They are by coast so, it's a little more
43 complicated because, you know if a coast that is accounting for
44 much of the landings is relatively steady, and say the North Coast,
45 were not a lot of the landings are coming from, the North Coast
46 expansion factor may be all over the place, right? It may not be
47 consistent at all. But that wouldn't affect the overall landings
48 terribly much because they're, you know, it's a small percentage.

1 But I know that I've seen this plot relatively recently, but I'm
2 going to have to look it up. I don't know if one of the other folks
3 on the team has a plot of the expansion factors.

4

5 I'm seeing one now. Thank you, Nancie.

6

7 **JORGE R. GARCÍA-SAIS:** Have you ever explored the possibility of
8 applying different expansion factors to different fishery yields?
9 For example, deep-water snappers, lobster, conch, and compared to
10 fish trapping and all the other- I mean, is there any reason to
11 believe that there may be very significant variations in the type
12 of, or the quality of, reporting on the different fisheries in
13 Puerto Rico?

14

15 **KEVIN MCCARTHY:** So, we've heard a little bit about that. And it
16 is true that there is- while there are expansion factors by coast,
17 they're not species specific. So, if there is a portion of the
18 fishery where the reporting is better than, or worse than, the
19 average across the fishery, then that expansion factor's
20 problematic.

21

22 But that hasn't been- that's a tough question to get at, and we
23 haven't examined it in any detail. I mean, you hear anecdotal
24 reports about it, that one sector of the fishery may be better or
25 worse at reporting than another, but we haven't examined it in any
26 detail.

27

28 **RICHARD APPELDOORN:** Yeah. The only study to look at that was the
29 Puerto Rico Port Sampling Program that was conducted by what we've
30 been calling the major study. That's just a one-shot thing. We
31 need to be able to look at this across species. We would really
32 need to alter our data collection programs to align with the
33 recommendations on how that study was- what came out of that study.

34

35 You know, the Puerto Rico correction factor was designed only to
36 estimate total catch correction, not high species. And that's what
37 we have.

38

39 **KEVIN MCCARTHY:** Right? I think folks are looking for a plot of
40 those numbers. We don't have them right in hand at the moment. But
41 I will say that the recommendation from DNER staff, when whole
42 filling, has always used the prior year correction factors.

43

44 **JORGE R. GARCÍA-SAIS:** Yeah. But how long back does that go? I
45 mean, what's the latest expansion factor that we have? is that,
46 you know, 2018, 2019, 2015?

47

48 **KEVIN MCCARTHY:** The latest one we have is 2020.

1
2 **JORGE R. GARCÍA-SAIS:** Oh, okay.
3

4 **KEVIN MCCARTHY:** So, we have the factor for 2020, and what we need
5 to determine is, is it reasonable to use that for 2021, and then
6 we'd also have to use it for 2022.
7

8 **JORGE R. GARCÍA-SAIS:** Okay. Okay. But you don't have any idea of-
9 I mean, is that the last time that I heard of an expansion factor
10 it was a hundred percent. And I don't know if you're going with
11 that amount still, or we have refined that factor, that correction
12 factor. Is it lower now? Is it higher? Or what is it, you know?
13

14 **KEVIN MCCARTHY:** Right. So, let's step back for a second and
15 consider how they do this, right? Maybe you all are well aware of
16 this, but they arrive at the correction factor by doing a port
17 sampling survey. So, they'll go to a specific location on a
18 particular day, and they'll sample everybody or attempt to sample
19 everybody at the very least. Then they will compare that to the
20 logbook reports that they get that match up to that same place on
21 that same day and compare the differences in reporting. That's how
22 they're doing it.
23

24 We don't have another way of getting at an expansion factor. And
25 I don't know that we have a way of, you know, I can't think of a
26 good way to go back, and you know, pick out a more appropriate
27 expansion factor than the one from the year before. I just don't
28 know what we would, how we would justify picking another year or
29 coming up with a different number other than- I mean, the only
30 thing that I could think of, and I hesitate to open up a can of
31 worms for however many different ways we could do this, is taking
32 an average by coast over some couple of years. I mean, that's the
33 only other way I can see doing it. And my guess is it's not going
34 to differ very much, but you could, it's certainly worth an option.
35

36 I think we pick one of them and go with it and not use this as a
37 way to complicate further this process by looking at multiple
38 landing streams based upon multiple ways of getting at a correction
39 factor. I mean, my recommendation is the recommendation of DNER
40 staff, who know more about this than I do. Use the 2020 correction
41 factors for the years where we don't have any. It's 21 and 22.
42

43 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have Michelle Schärer and
44 Shannon Calay in turn with a raised hand.
45

46 **RICHARD APPELDOORN:** Go ahead, Michelle.
47

48 **MICHELLE SCHÄRER-UMPIERRE:** Thank you, Mr. Chairman. The only thing

1 that I'm bringing this up is because of the pandemic unemployment
2 assistance. In which the person that enrolled in it had about 18
3 months of a questionnaire asking if they were receiving any salary
4 or not, which may have affected the reporting rates. So, I would
5 caution to move forward with this without actually looking at the
6 number of logbook reports from March 2020 until 18 months later.

7
8 **KEVIN MCCARTHY:** I don't know. I guess I don't know exactly what
9 we're looking for there. And I, what we're recommending, could you
10 elaborate a little bit?

11
12 **MICHELLE SCHÄRER-UMPIERRE:** A change in reporting rates. After
13 that pandemic unemployment assistance began and many fishers
14 enrolled in it. Presumably, if they were reporting that they
15 weren't fishing because of the pandemic unemployment assistance,
16 that would affect the reporting rates. I don't know if there's a
17 way that you can actually measure this in order to be confident
18 using the correction factors of 2020 for the following two years.

19
20 **KEVIN MCCARTHY:** So, when would that have begun?

21
22 **MICHELLE SCHÄRER-UMPIERRE:** April of 20.

23
24 **KEVIN MCCARTHY:** And so, it's continued until when?

25
26 **MICHELLE SCHÄRER-UMPIERRE:** 18 months. So that would be August of
27 2021.

28
29 **KEVIN MCCARTHY:** I guess I don't know how to get it. I don't know
30 how we would get at reporting rates because we would know if more
31 or fewer trips were being reported, but we don't know how many
32 were actually occurring. Right? We don't know if it's just a
33 decrease or an increase in actual fishing. Or if it's versus
34 reporting, right?

35
36 We don't know how many people are truly fishing. So, if the number
37 of reports went down, does that mean that there was less reporting?
38 or does that mean that there's just less fishing? And the absolute
39 value of, or the, of the ratio of people reporting versus non-
40 reporting stays the same. You know, what I'm, you know what I mean?

41
42 So, I don't know that we can get at that, given the data that we
43 have. And I understand what the issue is. I just don't know if we
44 can make that determination. Because we don't have the survey data,
45 which is- I mean, what you're getting at is exactly what DNER are
46 doing with their survey relative to the reports that they're
47 receiving. And we don't have the survey side of it during that
48 period. Because if we did, we'd have a correction.

1
2 **MICHELLE SCHÄRER-UMPIERRE:** Just to follow up. You do have a
3 correction factor for 2020. So, if there was a decrease in
4 reporting rate, but the correction factor is seeing the same pounds
5 at the dock, then you can figure it out for that year.
6
7 **KEVIN MCCARTHY:** Um, say that one more time, please.
8
9 **MICHELLE SCHÄRER-UMPIERRE:** If there is a correction factor for
10 2020, you might be able to actually detect a change in the
11 reporting rate because the port centers were at the dock. At least
12 during that year, we don't know what would happen for 2021. But
13 part of that unemployment assistance began in 2020 after April.
14
15 **KEVIN MCCARTHY:** Right, and typically, I think their surveys for
16 this correction factor works are, I think they're in the summer.
17 Maybe they're more widespread than that. But I mean, the correction
18 factor would be addressing that. The 2020 correction factor would
19 be addressing that. What we don't know is, was it different in
20 2021?
21
22 **RICHARD APPELDOORN:** Kevin, did you say you have a graph that puts
23 out the correction factors over time?
24
25 **KEVIN MCCARTHY:** Yeah, I think I have a version of it now.
26
27 **RICHARD APPELDOORN:** So, the questions would be, are there any
28 trends, and did anything unusual happened in 2020? And someone was
29 going to comment.
30
31 **SHANNON CASS-CALAY:** Yeah. So, these are important discussions and
32 ultimately, we always have to make assumptions and projections.
33 The assumptions we make, you know, we often find new information
34 that invalidates those assumptions. And when we do, we update the
35 assessment, and then we can update very simply the catch
36 information, for example.
37
38 So, what we typically do is make relatively simple to execute
39 assumptions about the landings data that is missing from our
40 analysis. And so, for example, we can do something like rather
41 than actually assuming a catch level, you can just say recent F
42 continues until 2023, and in 2023 we actually start our
43 projections, right? Our projected assumed F or catch.
44
45 You can just retain the terminal year of information and say the
46 catches in 2021 and 2022 will be identical to what happened in
47 2020, or you can use a recent average. I mean, those are really
48 the considerations that we typically consider. And we often find

1 that the actualized catches are higher or lower than that. And if
2 it's a substantial amount, the council just asks us to do an update
3 and then we provide that updated information. But it's impossible
4 to guess and be correct about all of the assumptions we're about
5 to make for projections.

6
7 And so, what I'm really saying is we could talk about this all day
8 and do something very complicated, and it would be no more likely
9 to be correct. And when we find out it's incorrect, the easiest
10 thing to do is just update it with the correct information. It
11 doesn't take very long.

12
13 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from J.J.

14
15 **RICHARD APPELDOORN:** J.J.

16
17 **JUAN J. CRUZ MOTTA:** My suggestion would be to make the more
18 parsimonious assumption and run with that. I mean, based on, I
19 mean, using those expanded landings. And as I mentioned in the
20 last meeting, I really like the idea to focus more on updating
21 whatever estimates we did or following that rather than, as Shannon
22 mentioned, try guessing. Thank you.

23
24 **RICHARD APPELDOORN:** So, as I was pointing out, if you look at the
25 correction factors, unless you see something because of the covid
26 year, the 2020 correction factor is an outlier from what we've
27 seen in the recent past. Then 2020 would be a valid, or best
28 estimate regardless of what level best is of what the expansion
29 factors would be for 2021, 2022.

30
31 My concern is more, how do you fill out 2022? You just have
32 something where you say, for a non-covid, major hurricane year,
33 here's the pattern of landing seasonally, maybe average over a
34 bunch of years. And then use that based on whether, you know, this
35 is a big year or a small year you fill in the rest of the months.

36
37 Is that kind of how it goes? or how you were thinking about
38 finishing off 2022?

39
40 **SHANNON CASS-CALAY:** I mean, yes, we typically, you know, we don't
41 have any data yet for 2022. So, what we would typically do is just
42 use a very simple assumption essentially that it persisted at the
43 most recent year's landings or some recent average. But I see,
44 this is Shannon. Sorry, I keep forgetting to tell you who I am. I
45 see Kevin's hand is up also.

46
47 **RICHARD APPELDOORN:** All right. Thank you, Shannon. But again, we
48 know that, if you read the comment by Nelson, you know there was

1 no fishing going on during any of the shutdowns. So, 2020 would
2 not be the year you'd want to base 2022 catches on. Even though
3 the reporting values might be okay.

4

5 Kevin?

6

7 **KEVIN MCCARTHY:** I think we could use the 2021 pattern of landings
8 to whole fill for the landings part of 2022, and then we could use
9 the 2020 correction factor for both 21 and 22. As Shannon said
10 there, you know, there's a million ways we could go at this, all
11 of them full of guesses, and the simpler way is to go with this
12 parsimonious route. And then in, you know, next year we're going
13 to know what the actual landings were and if they're way off then
14 we rerun it and provide the council with an update.

15

16 So, I think we could use 2021 landings by month to fill out the
17 rest of 22, and then we could use the 2020 correction factor for
18 2021 and 2022.

19

20 **RICHARD APPELDOORN:** So, do you fill out using a proportional
21 approach or just whatever the landings were in 2021?

22

23 **KEVIN MCCARTHY:** I think we could look at the beginning of the
24 year and if there's- You know, I mean, I would keep it simple. I
25 would just whole fill using the landings from the prior year, from
26 2021, and just go with that.

27

28 Where we have data that we believe is complete say the first 4, 5,
29 6 months of the year for 2022 we'd go with what's reported. But
30 after that you know and it is pretty obvious where reporting and/or
31 data entry are still waiting to be completed. The landings
32 typically fall off pretty quickly where, you know, when the staff
33 office is still entering data. It's going to be obvious when that
34 happens, and we would then whole fill from there using 2021 data.

35

36 So, let's say, and I'm just- I haven't looked at the data in this
37 way yet. But let's assume everything's fine through June and then
38 July just becomes, you know, they're really not caught up on the
39 data entry, which is, I mean, that happens everywhere. We would
40 start whole filling beginning in July or whatever month the landing
41 start falling off due to data entry backlog.

42

43 **RICHARD APPELDOORN:** So, if you found through your first six months
44 that catch was, 10% higher than it was the previous year, would
45 you raise the predicted ones by 10% over the previous year? Or are
46 you just going to add in what the values actually were?

47

48 **KEVIN MCCARTHY:** Right. I mean, we could do that. We could

1 certainly do that. And if that's the recommendation of the SSC,
2 I'm happy to implement that. But I would, because that's not going
3 too far out there with assumptions, I suppose. I would like to
4 keep it as simple and straightforward as absolutely possible and
5 go with a straightforward approach.

6
7 And I think that's reasonable if we see if they're higher or lower
8 as reported then we could adjust for the remainder of the year.
9 But if they're more or less in line with the previous year's
10 reporting I think we'd just not worry about it and... the whole fill
11 with 2021 data, but if there... we could make that adjustment for
12 the rest of the year.

13
14 (Parts of Mr. McCarthy's comments were not audible in the
15 recording)

16
17 **RICHARD APPELDOORN:** Well, that's okay with me. Anybody else has
18 any comments so we can finish this topic? Okay. I'm not hearing
19 anything more.

20
21 So, I think where we are is, we're circling back to item number
22 two, which we, at least according to my notes, we did not look at,
23 because we were saying that needed to be looked at after we
24 addressed everything else.

25
26 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have raised hand from
27 Shannon.

28
29 **RICHARD APPELDOORN:** Yeah, Shannon.

30
31 **SHANNON CASS-CALAY:** Yes, Thanks, Rich. So, you know, given that
32 the rest of our list is basically refinements to a base model,
33 rather than large-scale changes, you know, it is possible to go
34 ahead and execute the ensemble analysis as we described.

35
36 We could do one of two things. We can either, from that initial
37 search of the ensemble, determine the initial catch that is most
38 appropriate and fix that value in the stock assessment. Or we can
39 go ahead with the full ensemble analysis. And given that you
40 haven't asked for a lot of additional uncertainty to be included,
41 you know, either one of those two options is possible. In fact,
42 they're both possible.

43
44 So essentially you have the option at this point, you know, of
45 executing your ABC control rule from a base run, or we can run the
46 ensemble analysis and you can execute your advice from that result.

47
48 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have raised hand from Erik

1 Williams.

2

3 **RICHARD APPELDOORN:** Yes, Erik.

4

5 **ERIK H. WILLIAMS:** Thanks, Rich. I don't think we need the ensemble
6 analysis. Well, I think we need it longer term, but not for this
7 particular application, because I think the ensemble analysis is
8 too incomplete in terms of its total uncertainty characterization
9 for it to be used at this point.

10

11 I think we would resort to A which is just using the ABC control
12 rule on a base run. So, I would- I think the advice here is just
13 to use the profiling or whatever was used to let the model guide
14 on an initial catch value to fix for that base run in our number
15 one A so that we can apply the ABC control rule.

16

17 I think to get to the point where we're going to use the ensemble
18 analysis, not in place of the ABC control rule, but in terms of
19 relying on it for the full characterization of uncertainty, we
20 need to have a lot more pieces added to it to get to that point.

21

22 **RICHARD APPELDOORN:** So, I understand what you're saying about the
23 whole ensemble analysis. What are you saying about the approach
24 for initial catch?

25

26 **ERIK H. WILLIAMS:** Yeah, I think all that's needed is to rerun
27 that profile, the likelihood profile, to find out which value the
28 model's pointing towards. Correct me if I'm wrong, Shannon, if
29 that's.

30

31 **SHANNON CASS-CALAY:** Yes. We believe that is correct. We do plan
32 to look at whether there's a correlation between that initial
33 equilibrium catch and steepness. And if so, you'd be looking at a,
34 you know, a bi-variate profile of the most likely combination of
35 initial F and steepness.

36

37 So, there is one important question about initial F and that is,
38 basically, do that maximum likelihood estimate that we found was
39 from a weighted median of that profile? So, do you want that
40 weighted median from the profile? or something else? Because it
41 can be quite different.

42

43 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Jason
44 Cope.

45

46 **RICHARD APPELDOORN:** Go ahead, Jason.

47

48 **JASON COPE:** Thank you, Rich. Shannon, I'm trying to be helpful

1 here and think through what you just said there. So, like you said
2 earlier today, there are two ways to do this. There's putting in
3 an actual initial catch, or there's estimating it. Estimating the
4 F that you would get. What Erik said about the profiling is going
5 through actual specification of that initial catch, but then you
6 just brought up again the estimation of F.

7
8 Do you mind explaining if you have a preference or why you might
9 do that instead of just doing the profile over the actual quantity?

10
11 **SHANNON CASS-CALAY:** So, I may have complicated it by saying F
12 instead of catch. I'm talking about the initial catch estimate,
13 but I see that Nathan Vaughan has raised his hand and is happy to
14 explain this in more detail. So, I will defer.

15
16 **NATHAN VAUGHAN:** Thanks, Shannon. So, the thing that we're trying
17 to get across is, basically, if we're not using the ensemble for
18 the uncertainty, which we understand there are a lot of other
19 sources and we're going to stick with the Sigma_min approach. The
20 ensemble, if you take that uncertainty away, is kind of, because
21 we have to take the initial catch outside of the model as a data
22 point, we're basically now just estimating it the same as if we
23 were going to do it in the model.

24
25 And because of the non-symmetrical nature of that profile. We can
26 do the profile over initial catch and maybe steepness at the same
27 time to figure out if they're estimable. If we do that, do we want
28 to use- And then we put them back in the fixed values to do the
29 rest of the analysis, do we use the maximum likelihood estimate of
30 steepness and initial catch? or do we want to put back in the
31 weighted median across the full profile range back in as the fixed
32 value? Because they'll be, because of that skewed distribution,
33 they'll be slightly different. So that would've been-

34
35 **JASON COPE:** For steepness. For the weighted value, you're talking
36 about, for steepness?

37
38 **NATHAN VAUGHAN:** For steepness and initial catch. So, if we do, if
39 we did that, basically, the ensemble approach, which is a grid, a
40 bivariate grid, over lots of different values of initial catch and
41 steepness, or compared, and figuring out the likelihood of all
42 those different estimated models. Do we pick the combined joint
43 maximum likelihood estimate and use those two values? Or do we do
44 a weighted, the same weighted averaging that we did before and
45 just pick the median and use them as fixed values to calculate the
46 base model? The base model will have a fixed value for each of
47 these things, probably.

48

1 **JASON COPE:** It, it, I see Erik's hand has popped up too, so I'll
2 make this quick. So, part of the question is, how does choosing
3 this initial catch play out through the steepness? Like, how can
4 you change it?
5

6 **NATHAN VAUGHAN:** Yes.
7

8 **JASON COPE:** And so, if you just, if you estimated steepness and
9 you did the profile, and then you found the minimum likelihood
10 value for the initial catch from the profile and then checked in
11 to the steepness value to make sure it wasn't something super
12 wacky, couldn't you just go with?
13

14 **NATHAN VAUGHAN:** Okay. Yeah. So, you're saying do the profile in
15 a- Profile the steepness in a model that is actually estimating-
16 Oh, profile initial catch while estimating steepness not, instead
17 of profiling over both of them as fixed values.
18

19 **JASON COPE:** Right. And we admit already that we don't know what
20 steepness is, but we admit that this model seems to have some
21 information, content about it.
22

23 And if that's the case, we're kind of going basing a little tiny
24 bit here with a prior in our mind, like it shouldn't be like 0.3
25 and it probably- Right. We're playing around-
26

27 **NATHAN VAUGHAN:** Yeah. We've got some bumper bands on it.
28

29 **JASON COPE:** Yeah, exactly. Exactly. Yeah. Yeah. But then looked
30 at it and said, "Okay, hey, it's, if it comes up at 0.72, you're
31 like, Okay, that that's reasonable." And this initial catch is
32 that minimum allowing steepness to be estimated.
33

34 **NATHAN VAUGHAN:** I gotcha.
35

36 **JASON COPE:** You feel good about that? Yeah. So that's my
37 recommendation. I'll be quiet and let Erik talk.
38

39 **RICHARD APPELDOORN:** Could you just simplify your recommendation
40 so that others could understand that?
41

42 **JASON COPE:** Yeah. I'll say it quickly. My one recommendation would
43 be to have a base model that estimates steepness and does that
44 likelihood profile across initial catch while estimating steepness
45 at each likelihood profile interval. Then choosing the best fit
46 model, the one that's most- that the data supports the initial
47 catch that's supported by the model. So, the bottom part of the
48 likelihood there. And then with that, checking in just to make

1 sure that the steepness value seems reasonable. And if so, you
2 maintain that as the reference model with the initial catch, based
3 on the likelihood that has estimated a reasonable steepness.
4
5 **RICHARD APPELDOORN:** So, were you using the weighting approach in
6 this?
7
8 **JASON COPE:** No, weigh. No, there's no weighting.
9
10 **RICHARD APPELDOORN:** Okay. Thank you. Okay, Erik?
11
12 **ERIK H. WILLIAMS:** Yes, Thanks, Rich. I'll be quick. Jason said it
13 perfectly, so I agree with everything you just said. So.
14
15 **NATHAN VAUGHAN:** Fantastic. That's easy. We can do that.
16
17 **RICHARD APPELDOORN:** Hang on everybody. Okay. Following all that
18 discussion, Shannon, are you and your group fairly clear on our
19 responses to those six points?
20
21 **SHANNON CASS-CALAY:** So yes, I believe we are. I have what I
22 believe are the decisions written down. If you'd like to show, if
23 you'd like me to show. I can email them to the SSC and to our
24 staff, see if everyone agrees.
25
26 **RICHARD APPELDOORN:** Given that it's almost five, why don't you do
27 that, and then we can pick that up tomorrow? That will give us,
28 give you, more time to compose that and give us a chance to look
29 at it before.
30
31 **SHANNON CASS-CALAY:** Sure.
32
33 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from
34 Kevin?
35
36 **RICHARD APPELDOORN:** Yeah, go ahead, Kevin.
37
38 **KEVIN MCCARTHY:** Thanks, Rich. So, I know that it's five, but we
39 have a similar list of questions for the Virgin Islands assessment
40 models. Now, granted you haven't seen those yet, but where we can
41 get some, where appropriate, and we can get some guidance it would
42 be good to have that. We can pick up that discussion whenever you
43 all want to do that. But it would be good to get what guidance we
44 can, and again, as appropriate, given that you haven't seen
45 anything yet. But if we can get a head start on some sort of
46 general guidance, that would be great. But I recognize that it's
47 nearly five.
48

1 **RICHARD APPELDOORN:** And I apologize, I actually missed a bunch of
2 that cause stuff's coming at me over here from other directions.
3 You're talking about the next agenda item, which are the standard
4 products.

5
6 **KEVIN MCCARTHY:** Well, some similar, similar guidance for the
7 Virgin Islands assessment. I see we've moved ahead to that next
8 slide. This may be quick because these, you know, we've just gone
9 through this in great detail obviously, for Puerto Rico, and the
10 guidance may follow those directions.

11
12 Although again, you haven't, you haven't seen any results yet. So,
13 some of this may be difficult to get at. But where appropriate, or
14 where the SSC feels comfortable in providing some guidance, if we
15 can get that. Doesn't have to be right this second, but if we can
16 get that during this meeting sometime tomorrow that would be
17 helpful.

18
19 **RICHARD APPELDOORN:** Yeah. So, some of these are also going to be
20 based on what all is different. Okay. Initial catch will certainly
21 be different. Are the growth parameters different? or are they
22 using the same growth parameters? Is the selectivity different or
23 are they using the same selectivity functions? etcetera. So, I
24 could see whether it be a discussion on initial catch, perhaps
25 because there may or may not be a problem depending on what that
26 looks like.

27
28 So, I guess I'd want to see a visualization of that in the same
29 way in Puerto Rico where the divers' initial catch is zero was
30 actually a reasonable assumption, but not for the trap catch.

31
32 And if we're using the same growth parameters, then the same things
33 would apply. If we're using the same selectivity, the same would
34 apply for you- actually doing that from a separate analysis I
35 would- You know, I don't know what to say because, as you said, we
36 haven't seen anything yet, but we can at this point we will get to
37 this tomorrow, I think.

38
39 And that is the next thing on the agenda. So, it will be first
40 thing in the morning.

41
42 **KEVIN MCCARTHY:** Okay. Yeah, and I think the life history
43 parameters, I think they're the same across for Puerto Rico as
44 well as the Virgin Islands. So, we can- Yeah, I don't want to
45 belabor this right now, at the end of the day when everybody's
46 tired. We can discuss it tomorrow and get whatever, you all.
47 (Parts of Mr. McCarthy's comments were not audible in the
48 recording)

1
2 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from Erik
3 Williams.
4
5 **RICHARD APPELDOORN:** Yeah. I'll just throw a comment from Jesus
6 that he does say that the growth parameters are used across all
7 jurisdictions. So go ahead, Erik.
8
9 **ERIK H. WILLIAMS:** Thanks, Rich. Yeah, I'm probably jumping ahead
10 and we can talk about this tomorrow, but I do think without having
11 initial model results, I think, it's going to be very difficult to
12 answer this one because a lot of our recommendations were
13 conditional on certain properties that we were seeing from that
14 last assessment, such as steepness looked like it was estimable,
15 you had a good likelihood profile for initial catch. You know,
16 those are the sort of things that if we don't have that in front
17 of us, it's going to be a little more difficult to make
18 recommendations for this.
19
20 **RICHARD APPELDOORN:** Okay, thank you, Erik. And maybe with that,
21 we'll adjourn for the day.
22
23 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from
24 Shannon.
25
26 **RICHARD APPELDOORN:** Oh, Shannon, please go ahead.
27
28 **SHANNON CASS-CALAY:** Yeah, I'll just be very quick. Yeah, I'm not
29 surprised. I agree with you that a number of these decisions might
30 be conditional on some of the results that we will present in
31 November.
32
33 I think the plan then will be for us to present to you the base
34 run and some of the same analyses that accompany this, today's
35 presentation in November for the U.S.V.I. models. And then it
36 should be a much simpler process to finalize those. And so, the
37 question will be, when could those be finalized? It would be best
38 if we could do it before March. There's no reason it has to drag
39 out that long, but we can talk about that tomorrow. Exactly how
40 procedurally we would expect to review the base runs for U.S.V.I.
41 in November, and when those revisions to create final results could
42 be reviewed by the SSC.
43
44 **RICHARD APPELDOORN:** Okay. Sounds like a plan. So, we will adjourn
45 for today, and tomorrow we start up again at 10 o'clock. We stand
46 Adjourned.
47
48 (Whereupon, the meeting adjourned on October 4, 2022.)

1 - - -

2
3 October 5, 2022

4
5 WEDNESDAY MORNING SESSION

6
7 - - -

8
9 **RICHARD APPELDOORN:** Okay. Good morning, everybody. It is October
10 5th, 2022, and it is 10:03 AM. This is going to be day two of the
11 SSC meeting of the Caribbean Council.

12
13 Graciela, do we need to do roll call for voice recognition,
14 anymore?

15
16 **GRACIELA GARCÍA-MOLINER:** Yes, you should. And please everyone
17 states your name when you're speaking up during the meeting.
18 Yesterday we talked about the people who will be transcribing the
19 minutes. So, yeah, I think it will be worthwhile to do that. Thank
20 you.

21
22 **RICHARD APPELDOORN:** Okay. Before we even get started, let me
23 comment on that. So, I went through some of the minutes to see how
24 they were going. On the one hand, it seems to capture rather
25 faithfully everything that's being said that's at least audible.
26 On the other hand, if you don't identify who you are, for every
27 little comment, it's not going to be necessarily obvious. That was
28 evident in my reading through. Some of the times you can- you know,
29 if someone's being called on, they'll start talking and because
30 they were called on, they could be identified, but other times
31 people just were injecting comments and it was not clear. It would
32 not be clear from the reading who that was. If you were at the
33 meeting and you knew the discussion, you could understand who was
34 making the comment but it's not evident in the document. You know,
35 it's not listed like so and so said this, it's just, comment
36 whatever by, and, I think, the time period during that recording
37 session. So, it's really important then that you identify
38 yourselves before making your comments given this system for
39 providing the transcripts.

40
41 So, with that said all the rules that I read out yesterday are
42 still applicable, so please be aware of that. Let's start with the
43 SSC roll call. Michelle.

44
45 **MICHELLE SCHÄRER-UMPIERRE:** Buenos días, Michelle Schärer here.

46
47 **RICHARD APPELDOORN:** Walter.

48

1 **WALTER KEITHLY:** Walter Keithley is present.
2
3 **RICHARD APPELDOORN:** J.J.
4
5 **JUAN J. CRUZ MOTTA:** Good morning, J.J. Cruz.
6
7 **RICHARD APPELDOORN:** Erik.
8
9 **ERIK H. WILLIAMS:** Good morning, this is Erik Williams.
10
11 **RICHARD APPELDOORN:** Jason.
12
13 **JASON COPE:** Good morning, Jason Cope.
14
15 **RICHARD APPELDOORN:** Doug.
16
17 **DOUGLAS GREGORY:** Good morning, Doug Gregory.
18
19 **RICHARD APPELDOORN:** Todd.
20
21 **TODD GEDAMKE:** Good morning, Todd Gedamke
22
23 **RICHARD APPELDOORN:** Vance.
24
25 **VANCE VICENTE:** Vance Vicente SSC member.
26
27 **RICHARD APPELDOORN:** Thank you. Reni.
28
29 **JORGE R. GARCÍA-SAIS:** Good morning, Reni García.
30
31 **RICHARD APPELDOORN:** Okay. Thank you. I am SSC Chair Rich
32 Appeldoorn. As was mentioned before Tarsila is going to be off and
33 on, hopefully, during the meeting. Jason, you said that you'll
34 have to leave at about 11 o'clock. So, we'll try to move as
35 expeditiously as we can over the first part which is the
36 continuation of the discussion of the SEDAR 80 Queen Trigger Fish
37 assessment approach.
38
39 We were looking at the questions that the Science Center needed us
40 to address before they could go forward and finish the assessment
41 for Puerto Rico. Then, we were going to get onto the questions of
42 the additional assessments for the Virgin Islands. Can we get the
43 list of questions that- No, that's the Virgin Islands. We want the
44 ones for Puerto Rico. Okay. Thank you.
45
46 Now we had discussed all these, and Shannon had- We'll get to that
47 next. Shannon had sent a summary of what she understood our
48 decisions to be, which I think was mostly correct. Does anybody

1 want to revisit this before we get to Shannon's list?
2
3 **JORGE R. GARCÍA-SAIS:** Richard?
4
5 **RICHARD APPELDOORN:** Yes, Reni.
6
7 **JORGE R. GARCÍA-SAIS:** I would like to (unintelligible) sorry.
8
9 **RICHARD APPELDOORN:** Nobody got that question.
10
11 **JORGE R. GARCÍA-SAIS:** I would like to know if we already have an
12 answer to my question yesterday of what is the actual or the latest
13 expansion factor for Puerto Rico catch? So, I'd like to have that
14 just for the purpose of perspective. Do you hear me better now?
15
16 **RICHARD APPELDOORN:** Yes.
17
18 **JORGE R. GARCÍA-SAIS:** Okay. So, it's been a long time since I
19 recall, what expansion factor are we using? So, just to have a,
20 even if it's a ballpark number, I'd like to know, you know. I'd
21 like to know if it's 15% or 10 or 40 or 60 or what, what is it?
22
23 **RICHARD APPELDOORN:** Right? And Michelle had asked for that
24 information as well. Kevin, were you able to, if you're there,
25 were you able to get that information?
26
27 **KEVIN MCCARTHY:** Good morning, everybody. Yes, we had it yesterday
28 and we're looking to dredge it up again this morning. So, we'll
29 have that to you as soon can relocate it.
30
31 But as my recollection is, from looking at it yesterday, that it
32 sorts of falls in line right in the middle of the values that we've
33 seen over the last couple of years, but that actual value I'm going
34 to have to look at it again. It's about 1.5 to the best of my
35 recollection, but we'll get the numbers here again and confirm
36 that. We are looking for it right now.
37
38 **RICHARD APPELDOORN:** Right, can we get that in a graphical form
39 that could be put up on the screen?
40
41 **KEVIN MCCARTHY:** Yes.
42
43 **RICHARD APPELDOORN:** All right, thank you, Kevin.
44
45 **LIAJAY RIVERA GARCÍA:** Pardon, Richard. Do you want me to present
46 something else? I couldn't hear well.
47
48 **RICHARD APPELDOORN:** No. We're waiting for Kevin to get his data

1 recovered and then he will show it to us. I have a question, I
2 guess it's for Shannon. In the material you presented yesterday,
3 you know, we had a question on just the role of L Infinity and
4 what some variability in that would have on the analysis. What you
5 presented was, I think, just the effect of the Carolina data on L
6 Infinity, which included also the maximum age. So, if I'm correct,
7 we actually did not see just a pure sensitivity analysis on the L
8 Infinity alone. Is that correct? Shannon?

9 **KEVIN MCCARTHY:** I'm not sure that Shannon's on the call. I think
10 she had a conflict until about 11. Let me see if someone else from
11 the team can tackle that question.

12
13 **RICHARD APPELDOORN:** I see Nancie is on. Adyan is also on.

14
15 **ERIK H. WILLIAMS:** Rich, if I might. I do recall a slide that
16 showed the effects of that and basically, there was almost no
17 detectable effect of that change in L Infinity. They changed the
18 growth parameters, and they were right on top of each other.

19
20 **RICHARD APPELDOORN:** I understood that this was the- adding of the
21 North and South Carolina data did not change the L Infinity much,
22 and therefore that's why they were on top of each other. But what
23 I'm asking was, was there a separate sensitivity analysis on the
24 potential variability of L Infinity? You know, I think we have a
25 very good growth model that came out of Virginia's team. But, you
26 know, the estimates of the growth parameters still have variance
27 on them and, you know, what impact was that variance on the
28 analysis? So, I don't think that was looked at separately from the
29 age, maximum age analysis. Is this something that either Nancie or
30 Adyan can address?

31
32 **KEVIN MCCARTHY:** Yeah, I'm organizing that right now.

33
34 **NANCIE CUMMINGS:** So, Nancie Cummings here. Permission to speak?

35
36 **RICHARD APPELDOORN:** Yes, go ahead, Nancie, and good morning.

37
38 **NANCIE CUMMINGS:** Good morning, Chair, Nancie Cummings here.

39
40 **RICHARD APPELDOORN:** Yes. Can you hear me? Nancie? Can you hear
41 us? All right. We have a technical problem.

42
43 **GRACIELA GARCÍA-MOLINER:** I think we lost Nancie. Here she is.
44 Nancie, can you hear us?

45
46 **KEVIN MCCARTHY:** While we're trying to get Nancie back online,
47 I've asked Shannon to jump on if she can.

48

1 **RICHARD APPELDOORN:** Okay.
2
3 **LIAJAY RIVERA GARCÍA:** Raise hand from Nathan Vaughan.
4
5 **RICHARD APPELDOORN:** Yes, go ahead, Nathan. Thanks.
6
7 **NATHAN VAUGHAN:** So, yeah, jumping in, while Nancie's having tech
8 technical difficulties, she was going to say that we did have the
9 multiple sensitivity runs. We had the base with all the Caribbean
10 data. We had a Caribbean without the five oldest fish, which did
11 not significantly change the growth parameters L Infinity or K and
12 also, did not change the natural mortality rate because it didn't
13 change the maximum age. Then, we had a third model that used the
14 North Carolina-South Carolina data, which also did not
15 significantly change L Infinity and K values but did increase M
16 significantly. So, those were the three different runs that were
17 performed.
18
19 These were just based on the different data that went into the
20 model, not sort of sensitivity, just adjusting K or L Infinity.
21
22 **RICHARD APPELDOORN:** Which is what I was asking for. So, is that
23 something that's done when the models run formally? That those
24 sensitivities would be included.
25
26 **NATHAN VAUGHAN:** I'm not sure that anyone was intending to include
27 those sensitivities. That's the estimate- Well Shannon's on now so
28 she can jump in.
29
30 **SHANNON CASS-CALAY:** So, I can jump in. I, unfortunately, was not
31 here for the question. So, is the question that we are considering
32 additional sensitivity runs on L Infinity?
33
34 **NATHAN VAUGHAN:** Yes.
35
36 **SHANNON CASS-CALAY:** So, I think that the recommendation from the
37 Science Center was to recommend additional research be conducted
38 to further refine growth estimates.
39
40 If you want to see additional sensitivity runs on L Infinity, you
41 know, they are obviously possible, but they would have to be
42 informed by data in some fashion, right? We can't estimate the
43 growth parameters in this model. There are insufficient data to do
44 so. So, you would have to have some hypotheses, some alternate
45 hypotheses, that you wanted to test. And in that sense, it becomes
46 more of a sensitivity run and less a member of the ensemble. So,
47 maybe I need to know what the actual proposal is so that I can
48 comment more effectively.

1
2 **RICHARD APPELDOORN:** Well, I was thinking more of, we have a growth
3 model that's giving us K and L infinity from the work on the aging
4 that Virginia's group has done. And that model would give you
5 estimates of those parameters, but it would also give you
6 confidence limits for those. And have we looked at the effective
7 variance within those confidence limits?
8
9 **SHANNON CASS-CALAY:** So, no, we have not. I see Erik's hand up.
10 So, this gets to why it would be important to work towards
11 something like an MCBE approach because this is when that sort of
12 methodology would be very effective. The issue with stock synthesis
13 is that we are using fixed growth, it cannot be estimated. And
14 that same growth is actually being used to externally calculate
15 the Lorenzen M vector that's being applied for the natural
16 mortality at age, which is also fixed in the stock assessment. So,
17 what you're asking for is very appropriate in an MCBE context or
18 in a more sophisticated way to examine the scientific uncertainty.
19 But it's extremely difficult to do in the current stock assessment
20 model formulation.
21
22 **RICHARD APPELDOORN:** Well, I was thinking of just a simple
23 sensitivity analysis, which I think would be fairly quick to do.
24
25 **SHANNON CASS-CALAY:** We can certainly run a sensitivity analysis.
26
27 **RICHARD APPELDOORN:** I'm willing to- I'd like to see that done,
28 but willing to let you have the leeway to, you know, if nothing
29 comes out of that, that suggests there's a high sensitivity there,
30 then you can just go ahead with what we have and run the model
31 with the primary estimate that we had. I don't know what you do if
32 the sensitivity analysis says, "hey, you're really affecting
33 natural mortality," and then we have to think about what we want
34 to do there.
35
36 **SHANNON CASS-CALAY:** Yeah, and that is going to be exactly what
37 will happen because- Well, L Infinity won't have much impact
38 directly on natural mortality unless we also change the TMAX, which
39 you are not proposing to do. So, I know Erik's hand is raised and
40 I will defer now.
41
42 I think sensitivity runs are possible to look at the impact of L
43 Infinity, but I don't think sensitivity runs- You know, these would
44 be sensitivity runs to determine how variable the stock assessment
45 results are. But unfortunately, we couldn't really include that in
46 the official ensemble used to develop the management advice.
47
48 **RICHARD APPELDOORN:** Yes, I understand the problem with the

1 ensemble thing, so I'm not asking that. Thank you very much,
2 Shannon. Erik?

3

4 **ERIK H. WILLIAMS:** So, we need to be clear on what we're going to
5 do with said run or said sensitivity analysis. I've run across
6 these many times over the years, that there's confusion on what a
7 sensitivity run is and what an alternate base run is. They're not
8 always the same and some people get those mixed up. A sensitivity
9 run is meant to just look at a perturbation to the model and look
10 at its behavior with respect to whatever parameter or input we're
11 varying. What you do with that is what matters then in the end,
12 because the sensitivity is just a, like I said, it's a model
13 behavior test, so to speak.

14

15 Now, if you think of sensitivity run is an alternate base run,
16 well then, then you're into that realm of ensemble modeling, and
17 then what do you do with it? So, you run an alternate version of
18 a growth curve, say for, in this case, what are we doing with the
19 output from that? Is that going to change our base? If I step back
20 and look at where we are now with respect to number one, that's on
21 showing right now in the presentation, what we discussed is, where
22 we're headed is using the ABC control rule with a single base run
23 that we have set up in a way that we all agree is going to capture
24 the central tendency but not the uncertainty. And that means we
25 just need a single run, right? If we're going to go down the road
26 of all the variability that is potentially within that model that's
27 going down the road of that ensemble analysis and needs a lot more
28 work, needs a lot more decision points, you know, of what sources
29 of uncertainty are we going to put into this?

30

31 You know, we probably should go down that road eventually, but I
32 don't think we're there now this gets back to one of my comments
33 earlier yesterday where, what is the- You know, if there's
34 management urgency to get this done, I think we stick with a single
35 base model that we parameterize in a way that captures the central
36 tendency of all the uncertainties that we think are going on and
37 we apply the ABC control rule with the Sigma_min and that's what
38 we can provide to management. That'll be the most expedient and
39 efficient way to get them information and then possibly consider
40 building the ensemble analysis approach further down the road.

41

42 If we're not doing that, then yeah, we're kind of derailing the
43 system and we're not going to get management advice out of this
44 immediately. So, that's sort of my take.

45

46 **RICHARD APPELDOORN:** So, just to clarify. I agree with what you
47 said. So, when we talk about a base model, are we just- You know,
48 that's going to be run a whole bunch of times. You have to get the

1 average or median or whatever we're using as the point of central
2 tendency, and then most likely are going to be applying the
3 Sigma_min. So, something's generating variability there. What is
4 that?

5
6 **ERIK H. WILLIAMS:** No, I think that's incorrect. I, my
7 understanding is we're looking at just a single base model. Now we
8 can characterize uncertainty using, you know, sort of hash,
9 inverted hash, and Matrix, but those estimates are not- they're
10 usually minimal.

11
12 No, we're talking about just a single base run upon which we're in
13 a basis, there's no variability being cast in this. Otherwise, we
14 are talking about going to an ensemble approach of, you know,
15 thousands of models runs with varying input and parameter settings.

16
17 **RICHARD APPELDOORN:** Is this what we did for lobsters?

18
19 **SHANNON CASS-CALAY:** So how you've done it recently is you've
20 actually relied on your control rule to create the PDF. So, you're
21 acknowledging that the scientific uncertainty that comes from the
22 base model, even if we bootstrap it, you know, is much less than
23 the true scientific uncertainty. Which is why your tier three
24 control rule uses two times Sigma_min. So, you are actually
25 discarding the PDF that comes from the stock assessment itself.
26 You're using the central tendency of the single base run and you're
27 creating the PDF using your control rule.

28
29 **RICHARD APPELDOORN:** Thank you for clarifying that.

30
31 **SHANNON CASS-CALAY:** Yeah. And even when we have bootstrapped or
32 even Monte Carlo simulated our base models to create the PDF from
33 all of the uncertainty, from all of the data inputs and the stock
34 assessment, essentially, that- You know, all the parameter
35 uncertainties that exist in the stock assessment because we use so
36 many fixed parameters in many Southeast stock assessments, even
37 when we bootstrap, you know, the PDFs tend to be quite narrow. So,
38 you know, that's why yesterday when I proposed, you have two ways
39 to go now, we try to incorporate a more realistic accommodation of
40 the scientific uncertainty through an ensemble approach, or we
41 rely on your base model to create the PDF that is even wider than
42 what is going to currently come out of an ensemble approach. But,
43 you know, the central tendency comes from a single base run.

44
45 **RICHARD APPELDOORN:** Okay. Thank you for that clarification. Jason.

46
47 **JASON COPE:** Shannon, did a great job of laying out the fact that
48 there's a control rule in place just for this reason of dealing

1 with all these other sources of uncertainty that can't be included
2 in the reference model but should be considered in the risk
3 tolerance decision, which is what we're talking about.

4
5 Also, just a reminder, as we talked about yesterday, there is
6 asymmetry in these uncertainties. When we do pick a reference
7 model, the tricky part is the alternative models that could be
8 devised typically are not- the reference model isn't necessarily
9 centered around all of those. It's centered- I think when we say
10 centered, we mean, we are finding a model that best fits the data
11 and the model specification. Meaning the parameter values used,
12 are the most justified for the moment. That doesn't mean it's
13 centrally placed in all of the uncertainty and all the model runs
14 we could do. And because of that potential bias, this is where you
15 could also kind of think of P^* coming in as well as the sigma being
16 something that could be discussed as part of the risk tolerance.

17
18 But just wanted to remind us that all of these sources of
19 uncertainty are not symmetrical. And that's an important feature
20 consideration, but we find ourselves in this situation a lot. What
21 people often do is put together maybe a decision table-type
22 analysis where they do center the uncertainty in a way that says,
23 "the reference model is here." There could be a natural mortality
24 that kind of pushes it one way and then there's another source of
25 uncertainty that would've actually pushed it a different way. Those
26 bookends, you could actually look at how much more uncertainty is
27 there based on those bookended models. And then look and see if
28 that's more than your $\text{Sigma}_{\text{min}}$, right? But that also isn't the
29 cleanest way of doing it. It's a way. So, I'm not sure if we want
30 to go down that road. I think we have mostly what we need, but I
31 don't know if maybe there's a P^* consideration here that should
32 also be discussed because of bias. Thanks.

33
34 **RICHARD APPELDOORN:** P^* , however, is the review of the council.

35
36 **JASON COPE:** It is, that's absolutely true. And sometimes, I don't
37 know for the SSC guidance part of this, for the statement, maybe
38 we mentioned something and that's why maybe we discuss it. If not,
39 I understand why.

40
41 **RICHARD APPELDOORN:** Okay. Thank you, Jason. Graciela or Liajay,
42 do you have Shannon's list of her understanding of our responses
43 yesterday?

44
45 **LIAJAY RIVERA GARCÍA:** Yes. Give me a second. There.

46
47 **RICHARD APPELDOORN:** While that's going on, Kevin, do you have the
48 information on the expansion factors?

1
2 **KEVIN MCCARTHY:** I do. I can perhaps share my screen. My internet's
3 sometimes a little wonky so it becomes problematic for people to
4 see it clearly. So, we'll give it a try and if that doesn't work
5 I, - well, let me do this. I'm going to email it to Liajay and
6 have her present it. That way it comes through clearly.
7
8 **LIAJAY RIVERA GARCÍA:** Kevin. I just- Okay. Do you want to present
9 something now?
10
11 **KEVIN MCCARTHY:** Okay. Yeah, I'll give it a try. Okay.
12
13 **LIAJAY RIVERA GARCÍA:** So, you're supposed to be able to share
14 now. Okay, we see your research.
15
16 **KEVIN MCCARTHY:** And are you able to see a plot?
17
18 **LIAJAY RIVERA GARCÍA:** Yes.
19
20 **KEVIN MCCARTHY:** Is sharp enough that you can read it or is it
21 fuzzy?
22
23 **RICHARD APPELDOORN:** No, it's good.
24
25 **KEVIN MCCARTHY:** Okay. Excellent. So, here's what you see. For
26 correction factors beginning in 2014 through 2020, we've got 2021
27 in there as well, but it's the same value as 2020.
28
29 So, you can see they all fall in line more or less except the North
30 Coast, which is this yellow line that shoots up to six times
31 expansion. So, we're investigating right now how much of the
32 landings came from the North Coast for Queen Triggerfish.
33 Typically, the North has pretty small landings so generally
34 speaking, about one and a half times expansion for East, South,
35 and West. A little bit- And then there's this inland, which is the
36 red line, which is a minor component, even less so than the North.
37 It's just if we don't have a coast reported, it gets thrown into
38 this inland category.
39
40 So, it's pretty much falling in line one and a half times expansion
41 from the reported landings except for the North. I'll get you a
42 number on the amount that came from the North relative to the other
43 coasts. I've got Stephanie Martinez Rivera's looking that up right
44 now.
45
46 So, there's not, it's not- other than this North that sort of went
47 through the roof in 2020. The other expansion factors, correction
48 factors are falling pretty much in line with where they have been

1 since 2024, oh sorry, 2014.

2
3 **RICHARD APPELDOORN:** So, for me, that North Coast estimate throws
4 all kinds of red flags up in the air. I would be very hesitant of
5 using it unless we fully understood what drove that deviation and
6 we agreed that it was indeed real. So, the fact that perhaps not
7 many fish come from the North Coast would be, would help us out.
8 But frankly, I would take, for the North Coast, I would take the
9 couple last, couple years, average and used that rather than 2020.
10 To have that kind of change is, like I said, sends up all kinds of
11 red flags for me.

12
13 **KEVIN MCCARTHY:** Rich, that's certainly easy enough to do.

14
15 **RICHARD APPELDOORN:** Anybody else, Reni, you were interested in
16 this and Michelle?

17
18 **JORGE R. GARCÍA-SAIS:** Okay. You hear me now? I see that on the
19 West Coast there is a decline in the line after 2019, I guess. Are
20 there any reasons for that or are we- Knowing that the West Coast
21 is a very high contributor to the total landings, perhaps the
22 highest. So, are we going to use this 2020 even though it shows a
23 decline after several years of consistently higher expansion?

24
25 **KEVIN MCCARTHY:** It's not the West Coast that drops. It is this
26 orange line that falls in between, it's inland, which is a minor
27 component. There are a couple of municipalities inland that report
28 landings. And there are also- if a coast isn't assigned to a
29 particular report, then it gets dumped in with the inland category.
30 So that's a very, very minor component. It's even much smaller
31 than in the North. So, it typically amounts to a very, very small
32 percentage.

33
34 **JORGE R. GARCÍA-SAIS:** Okay. Because the colors are so similar the

35
36 **KEVIN MCCARTHY:** Yeah. the West falls in with everything else.

37
38 **JORGE R. GARCÍA-SAIS:** Yeah, that's fine. And by the way, I agree
39 with Rich in terms of the use of the North Coast expansion six
40 times. You know, I believe that there's something wrong there.
41 Maybe it's because of the small sample size. Anyway, I agree with
42 not using that kind of information, you know, completely off the
43 chart. Thank you.

44
45 **RICHARD APPELDOORN:** Kevin, Reni raised a good point in his final
46 comment there about the small sample size. So, 2020 had a lot of
47 lockdowns, restaurants were closed. So, that takes out a lot of
48 the market for the fishermen. So, that would be another thing we

1 would be concerned about is whether, not necessarily was the
2 reporting pattern the same, but was there enough reporting going
3 on to capture what that level was?
4

5 Do you have a feel for that from looking at the data?
6

7 **KEVIN MCCARTHY:** Rich, this is Kevin. I don't, but we can- You
8 know, that's another thing we could investigate. We're working
9 with DNER to automate the calculation of these correction factors.
10 But, you know, aside from that, I'm not too much into the data.
11

12 We can certainly investigate that, you know. Were there
13 particularly small sample sizes that year? Because the rest of the
14 time it pretty much falls in line, it bounces around a bit more,
15 and that may also be a sample size. But the East bounces around
16 too. That's that blue line. So, we can investigate that if it's
17 not going to give me any consternation to use some average of the
18 preceding years which seemed to behave a bit more for the North.
19

20 But yeah, it certainly warrants a little investigation. And again,
21 it doesn't amount to a lot of the landings, but we may as well use
22 the best approach that we can. And so, if that's the route we're
23 going to go, using an average, which year do you want to use for
24 the average? What we're looking at here 14 to 19 or some other
25 group of years?
26

27 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have raised. Oh, sorry.
28

29 **RICHARD APPELDOORN:** Okay. I'll let the others with their hands
30 raised comment first. Michelle.
31

32 **MICHELLE SCHÄRER-UMPIERRE:** Thank you, Mr. Chairman. I agree with
33 looking at an average instead of this one data point from 2020,
34 but I think it's important that we receive some feedback and the
35 number of visits that the port agents did to calculate these
36 expansion factors. Because of the shutdown that we had during that
37 year, things were pretty atypical, not only for the fishers but
38 also for DNER employees. Thank you.
39

40 **RICHARD APPELDOORN:** Thank you, Michelle. Jesus, do you have a
41 comment relative to this?
42

43 **JESUS RIVERA HERNANDEZ:** Yes. I know that the port sampler also
44 mentioned in one of the presentations last month that other people
45 that were recreational fishermen also applied for the commercial
46 license because that was the only way, during the pandemic, to get
47 out of their houses.
48

1 So, most of the recreational guys also jump into the first, you
2 know, the apprentice fisher license, Commercial Fisher license.
3 Again, we don't have them to corroborate. I just checked with
4 Wilson. I don't know how that data goes. Also, another change is
5 that they also have a new port sampler that covered part of the
6 North. So, in the past, they didn't have a specific person for the
7 North, but I don't know when the new port sampler started or if
8 there is an error in the data. But yeah, whatever you decide, it's
9 just- they don't answer me very quickly when that question comes.

10
11 But yeah, again, it would've been nice if they were here and
12 answered that question directly. That's it.

13
14 **RICHARD APPELDOORN:** Thank you, Jesus. That's actually some very
15 interesting information. Again, saying we have a lot of stuff going
16 on in 2020. Again, especially with the North so we should be
17 careful with these values.

18
19 Fortunately, 2019, they all seem to kind of cluster similar to
20 what 2020 is, except for the North. So, that would give us some
21 reason to think the two 20, except for the North, is somewhat
22 valid.

23
24 Kevin, you were asking about which years to average for the North
25 going back and I would, for me, just looking at the graph, I would
26 just go with 17, 18, and 19. I don't know if any of the rest of
27 the committee has a feeling about that.

28
29 Jesus, is your hand up again or you just didn't put it down yet?

30
31 **JESUS RIVERA HERNANDEZ:** That was an error, sorry.

32
33 **RICHARD APPELDOORN:** So, anybody else?

34
35 **VANCE VICENTE:** I would include between 2014 and 2018 because
36 these, like winter storms and weather events, you know. Density-
37 dependent factors that could have been part of the future, in a
38 more continuous way. So, I think that we should be, have a spectrum
39 big enough to include such events.

40
41 **JORGE R. GARCÍA-SAIS:** Richard, I sort of agree with Vance in this
42 observation. Actually, the years 2014 to 2016 show to be a little
43 less, the correction factor appears to be smaller than what we
44 have in 2019, 2020. That may be because, you know, there's an
45 increase lack of reporting due to these factors, Vance, is talking
46 about.

47
48 Maybe the 2014 to 2016 period reflects a more stable or more

1 characteristic type of reporting that probably even extends, at
2 least for the West and the South Coast, extends down to 2017 right
3 before Maria. So, just, you know, just an opinion for your
4 consideration, you know?

5
6 **RICHARD APPELDOORN:** Thank you, Reni. I don't have a problem with
7 using the 2014 to 19 averages for the North, but we're only talking
8 about doing this for the North. That's my understanding.

9
10 **JORGE R. GARCÍA-SAIS:** on average, you know, particularly for the
11 East and on the South Coast. That may just be reflecting the chaos
12 of Hurricane Maria, you know. I don't know how that is
13 characteristic of our fisheries. But you know, ever since
14 hurricanes are now an almost everyday thing, you know, I mean, I
15 don't know why not to include them as well, you know. Thank you.

16
17 **RICHARD APPELDOORN:** Okay. Thank you, Ernie. Does anybody else
18 have comments on that?

19
20 **VANCE VICENTE:** Yeah, I have one more comment.

21
22 **RICHARD APPELDOORN:** Go ahead, Vance.

23
24 **VANCE VICENTE:** Yeah, I see that there are so many variables which
25 affect directly these expansion factors, such as underreporting,
26 pandemic, earthquakes, storms, winter storms, winter swells, and
27 everything. How much weight are we going to give to each of these
28 variables? I mean, is there any way that we can partition and-
29 Like for example, how much of this expansion factor right now is
30 affected by or influenced or impacted by underreporting?

31
32 We've been talking about storms, etcetera but how much weight does
33 underreporting have in determining which expansion factor is going
34 to be imposed on a year, on a specific year?

35
36 **RICHARD APPELDOORN:** Well, expansion factors are driven by
37 underreporting. That's what you're trying to capture. Whether the
38 patterns of reporting or not are variable, depending on whether
39 you have a pandemic or earthquake or whatever, other than sample
40 size, is something that has not been looked at, has not been
41 designed to be captured in the data that are collected.

42
43 And while we can talk about trying to alter the process in the
44 future. What we're really trying to do is to implement the kind of
45 port sampling program that came out of- the port sampling program
46 that was conducted by Amerigroup. So, that's the kind of direction
47 we would really like to go rather than trying to just improve the
48 system we have now. What we really want to do is replace the system

1 we have now with a much more rigorous statistical sampling program
2 that would get us these correction factors. Not just on a coast-
3 wide basis, but on a species basis.

4
5 So, there were hands by Marcos and then Shannon.

6
7 **MARCOS HANKE:** Thank you, Richard. By the way, I totally agree
8 with your last comment. I want to say that in the Northeast and
9 especially on the North Coast of Puerto Rico during the pandemic
10 2020, there is a big quantity of recreational fishermen that
11 couldn't go out fishing. They applied for a commercial fishing
12 license, which is very easy to do in Puerto Rico at this point, in
13 order to go out and fish. I bet you that most of them didn't report
14 anything they caught and most likely that yellow line is responding
15 to that.

16
17 **RICHARD APPELDOORN:** Thank you, Marcus. Shannon?

18
19 **SHANNON CASS-CALAY:** Yes, thanks, Rich. So, I do agree that this
20 is worthy, you know, of further consideration. However, you know,
21 it really is a lengthy discussion and requires very deliberate
22 evaluation. I think it would be more appropriate, you know, to
23 propose, for example, a SEDAR procedural workshop to really get-
24 look into the correction factors.

25
26 This is not a Science Center product. This is basically a
27 cooperation between the Science Center and DNER. So, I think that
28 for the purposes of this discussion for Queen Triggerfish and
29 perhaps for Spiny Lobster, the more important thing is for us to
30 establish what we're willing to assume in 2020 and 2021 for the
31 purposes of the projections of these stock assessments. They can
32 be updated easily if we get improved information from that program.

33
34 But, you know, I think solving the correction factor problem is
35 going to require extensive deliberation and participation from
36 DNER. So, I think what I'm requesting is that, at least for the
37 time being, the most appropriate thing is to address the questions
38 that are at hand about the Queen Triggerfish and Spiny Lobster
39 assessment projections.

40
41 **RICHARD APPELDOORN:** So maybe I can summarize. Okay. Sorry. J.J.

42
43 **JUAN J. CRUZ MOTTA:** Thank you. I think I was going to say what
44 you were thinking. Basically, I just wanted to propose, based on
45 what my colleagues like you said too, to use the average from 2014
46 to 18 or 19 as an estimate for the years that we're missing and
47 decide on that and move forward. Thank you.

1 **RICHARD APPELDOORN:** So, I need clarification on that. I was
2 proposing only to adjust the estimate for the North Coast. Are you
3 proposing that for all the coasts?
4

5 **JUAN J. CRUZ MOTTA:** I'm proposing that for all the- I mean for
6 all the coasts to fill up the dates that we don't have which I
7 believe are 2021 and also 2020 causes of the reliability of those
8 estimates at that time. Thank you.
9

10 **RICHARD APPELDOORN:** Okay. Does anybody disagree with that? So,
11 I'm not hearing any disagreement. That's going to be our
12 recommendation. Instead of using the 2020 correction factors for
13 2021 and 2022, we are going to use the average between 2014 and-
14 Was that 2019 J.J.?
15

16 **JUAN J. CRUZ MOTTA:** Well, I would say 2019, but then Vance
17 suggested we do only until 2018 for some stuff that happened in
18 19. So, I'm happy to do it 19 or 18, whatever points of view.
19 Whatever, whatever most of you guys want to do about it.
20

21 **RICHARD APPELDOORN:** I'm supporting 2019 (unintelligible). With
22 that now can we go to Shannon's list that she prepared for-
23

24 **KEVIN MCCARTHY:** Rich, sorry to interrupt, this is Kevin. I don't,
25 as a presenter, I don't have a way to raise my hand so, I'm going
26 to stop sharing now. So, that is, if I'm correct on this, this is
27 2014 to 2019 across all coasts. So, for 2020 and 2021, we're going
28 to use those averages. And that's for every coast, not just the
29 North.
30

31 **RICHARD APPELDOORN:** That's correct.
32

33 **KEVIN MCCARTHY:** Okay. Thank you.
34

35 **RICHARD APPELDOORN:** So, Liajay, if you could go back to that list
36 of decisions that Shannon made yesterday.
37

38 **VANCE VICENTE:** Richard this is Vance, may I comment?
39

40 **RICHARD APPELDOORN:** Yes. Go ahead.
41

42 **VANCE VICENTE:** One thing that I think we should remember is that
43 the North Coast and the South Coast are totally different regimes.
44 For example, storm more eastern storms affect the North Coast and
45 not the south. Hurricanes go sometimes by the South Coast, along
46 the South Coast shoreline and some come from the North. So, there
47 are different systems I don't know if we should converge, get an
48 average using all the coasts unilaterally. I don't know. That just

1 came up to my mind now.
2
3 **RICHARD APPELDOORN:** No, we're not averaging all of that using the
4 one thing. We're averaging each coast by itself and that's what's
5 going to be used to the-
6
7 **VANCE VICENTE:** Okay. Got it.
8
9 **RICHARD APPELDOORN:** Okay. So, the list is on the screen. There
10 were six things, and of course, there are six things here. Maybe
11 just jump to part six because that's what we've just been
12 discussing. We were going to use the historic time series and the
13 correction factor now is going to be generated from the averages
14 of 2014 to 2019. And that yes, we would use 2021 landings to
15 estimate 2022. So, we haven't discussed that last part, but I agree
16 with that. That's what we recommended.
17
18 Subject two, and correct me if I am wrong, but you did say if you
19 saw an obvious departure from 2021 into 2022, that you could adjust
20 that accordingly using some kind of ratio rather than absolute
21 values.
22
23 **KEVIN MCCARTHY:** Yes, that's correct. We're going to look for, you
24 know, if there are consistently higher landings during the first
25 part of 22, for example, we can make that adjustment to continue
26 throughout the year where we don't yet have 22 landings relative
27 to 21.
28
29 **RICHARD APPELDOORN:** All right. Thank you, Kevin,
30
31 **LIAJAY RIVERA GARCÍA:** Mr. Chair. Anything you would like us to
32 add to the document as a recommendation?
33
34 **RICHARD APPELDOORN:** Okay. Well, the recommendation would be that
35 correction factors by coast would be determined by the average
36 from 2014 to 2019. And that these values would then be used to
37 correct the 2021 and 2022 data.
38
39 **LIAJAY RIVERA GARCÍA:** Richard, we can't hear you.
40
41 **RICHARD APPELDOORN:** I'm not saying anything. I thought you were
42 still writing. So, at the end of that 2021-2022 is data. Thank you
43
44 **LIAJAY RIVERA GARCÍA:** Mr. Chair, you have a raised hand from
45 Kevin.
46
47 **RICHARD APPELDOORN:** Go ahead, Kevin.
48

1 **KEVIN MCCARTHY:** So, what are we doing for 2020? We've bracketed
2 it here. Are we going to use that average to inform 2020 as well?
3 So, that last bit would be 2020 through 2022. Are we just keeping
4 2020 as is but not using it for the average? What's the
5 recommendation for 2020?
6

7 **RICHARD APPELDOORN:** Excellent point. Kevin, thank you for catching
8 that. I would say from our discussion that we are going to use
9 this same average for 2020. Unless the committee would like to
10 comment otherwise, because that was the nature of the conversation,
11 J.J.
12

13 **JUAN J. CRUZ MOTTA:** Yes, I agree.
14

15 **RICHARD APPELDOORN:** So, Liajay, in that sense, the very last part
16 of that recommendation should be 2020 to 2022.
17

18 **LIAJAY RIVERA GARCÍA:** Okay. Thank you.
19

20 **RICHARD APPELDOORN:** Yes, thank you too. So now flipping up to the
21 top of the list. We have the decisions; we don't have the questions
22 here.
23

24 **LIAJAY RIVERA GARCÍA:** Mr. Chair, would you like to have a side-
25 by-side screen with the slide of the decisions needed?
26

27 **RICHARD APPELDOORN:** Yes, if that's possible in a way that we can
28 still read it.
29

30 **LIAJAY RIVERA GARCÍA:** Okay, I'll do that now.
31

32 **RICHARD APPELDOORN:** Well, I have a very small screen and I can
33 actually read it, So, I'm thinking maybe that's okay.
34

35 **LIAJAY RIVERA GARCÍA:** Maybe it's not a good idea then
36

37 **RICHARD APPELDOORN:** No, no, I'm saying it's good.
38

39 **LIAJAY RIVERA GARCÍA:** Oh, you can read it. Okay.
40

41 **Finalized SSC guidance recommendations**

42

43 **RICHARD APPELDOORN:** Everybody should be able to do that. So, the
44 first point, should we use the ABC control rule with the base or
45 the ensemble? I think we said that we were going to use the control
46 rule with the base. I'm actually going to ask Shannon to explain
47 her statement because I don't- What's the MLE option?
48

1 **SHANNON CASS-CALAY:** So, the MLE option is that we can run the
2 initial search on the initial equilibrium catch using a model that
3 estimates steepness and then use the maximum likelihood estimate
4 from that process. So, use the maximum length of those estimates
5 of initial equilibrium catch.

6
7 **RICHARD APPELDOORN:** Thank you. I should have known that MLE was
8 maximum likelihood. So, this was as you had presented yesterday,
9 only now we're going to use that approach to estimate steepness as
10 well. Is that correct?

11
12 **SHANNON CASS-CALAY:** That is our intention. So basically, you would
13 end up with a model at the maximum likelihood estimate of the
14 equilibrium catch. That model has estimated steepness. So, the
15 only trick now is that in step five we have to make sure that the
16 steepness that is estimated makes sense. And that's a step we still
17 haven't attempted yet, but we assume it will. If not, there may be
18 different decisions to make.

19
20 **RICHARD APPELDOORN:** No. So, yes, this agrees with what my
21 understanding was. I just was not understanding how you had written
22 it relative to my thinking. But yes. Thank you. Does anybody else
23 want to comment on that? If not, we would move on to point two.

24
25 All right. Point two, I think this was actually more of a key point
26 that we were looking at because the starting value did have an
27 influence on what the model output was going to look like. So, the
28 question was, should there be a fixed value for the initial catch
29 or an ensemble analysis? And so, the answer that Shannon has
30 written, fixed the initial catch at the maximum likelihood
31 estimate, I think is saying, we're going to use the ensemble
32 analysis to get that maximum likelihood estimate, and then that's
33 what we're going to use. Is that correct, Shannon?

34
35 **SHANNON CASS-CALAY:** Yes.

36
37 **RICHARD APPELDOORN:** Right, thank you. And that's in line with
38 what I thought the conversation said yesterday. Any disagreement
39 from the committee?

40
41 Okay. Number three had to do with the impact of M on basically the
42 Carolina data. And so, we had agreed, as Shannon has written there,
43 not to use the Carolina data especially since that aging has not
44 been validated and we would use the SEDAR growth parameters as an
45 alternative.

46
47 Moving on to number four had to do with selectivity. Should we
48 retain the trap, initial trap selectivity assumption, which was

1 logistic, or used the dome-shaped one? Our decision was, as Shannon
2 has written, to retain the trap selectivity as a logistic model.
3
4 The fifth point with steepness should we retain the fixed value or
5 attempt to include an ensemble analysis? And as we had just
6 discussed in the first part that when we used the ensemble analysis
7 to try and estimate steepness, making sure that that estimate makes
8 some sense. If it does, then we would fix the steepness at the
9 maximum likelihood estimate and if it doesn't, then we would then
10 use some kind of mean recruitment value. And that is in alignment
11 with what I thought we had decided yesterday.

12
13 Now, Erik, you have your hand up?

14
15 **ERIK H. WILLIAMS:** Yes. Thanks, Rich. Just to clarify, I agree
16 with everything you just said, but when we say check that steepness
17 makes sense, what we're talking about is some of the diagnostic
18 tests that we actually talked about yesterday, which would be the
19 likelihood profiling across steepness likelihood profiling for
20 each input, you know, such as the landings, the length comps, and
21 profile across steepness for those to make sure that the steepness
22 estimate is being well estimated by the various data sources and
23 it's not some mediation of two data sources that disagree on what
24 steepness should be. But I think the assessment teams understand
25 that.

26
27 **RICHARD APPELDOORN:** Thank you, Erik. Unless someone from the
28 assessment team doesn't understand that we can go ahead and just-
29 Since we've already done part six, we can say that Shannon has
30 captured the decisions on those six issues with the recommendation
31 that we've added today about the expansion factors.

32
33 And with that, we then move on to a similar set of questions for
34 the analysis to be conducted for the Virgin Islands. Is that
35 correct?

36
37 **GRACIELA GARCÍA-MOLINER:** Yes. Mr. Chair, that's what you wanted
38 to see, right?

39
40 **RICHARD APPELDOORN:** Well, correct. And I'll start by making the
41 comment and hoping somebody else will pick this up. But we had
42 commented yesterday, just looking at this briefly before we closed
43 that some of these would be difficult to address without having
44 some kind of initial results to look at which was the case that we
45 had for Puerto Rico. I think we could say that- For the same
46 reasons, we would have to deal with the ABC control rule. It was
47 the base model.

48

1 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, you have Shannon, Erik, and
2 Kevin.

3
4 **RICHARD APPELDOORN:** Okay. In that order, Shannon.

5
6 **SHANNON CASS-CALAY:** So, yes, thanks. We did have that discussion
7 yesterday and certainly, that's understandable. I think most of
8 the information from the discussion on Puerto Rico can at least
9 help us move forward constructively with the U.S.V.I. There is one
10 question that we have, because in our preliminary examination of
11 Saint Croix, although we have used the same life history
12 information across all three island platforms, in the case of the
13 Saint Croix assessment, steepness does not appear to be estimable.
14 It appears to bound near one, implying that there is no spawn-
15 recruit relationship.

16
17 So, a question that we have is, would you prefer for us to go
18 ahead, use an SPR30 proxy and move over in median or mean
19 recruitment assumption for the projections? or should we borrow
20 from one of the other island platforms that have an estimable
21 steepness value? So, that's really the only question that we have,
22 is the question of steepness in Saint Croix.

23
24 **RICHARD APPELDOORN:** Okay. Sorry, I was writing. Erik.

25
26 **ERIK H. WILLIAMS:** Yeah. Thank you, Rich. I think you got cut off,
27 but I was going to agree with what you said that I think what we've
28 learned is we're not yet ready for the full ensemble analysis. So,
29 I think we are going to be sticking with the ABC control rule,
30 which means then we should be focusing on a base or reference run
31 that's sort of centered on all of our understandings of
32 uncertainty.

33
34 Just to answer, you know, one of the things that comes out of sort
35 of the hierarchy of decisions we made for Puerto Rico is what
36 Shannon was alluding to. And that is, if steepness is not
37 estimated, I think what we said in that case, even for Puerto Rico
38 would be consistent with the Virgin Islands, which would be to use
39 a mean recruitment and the F30%. I don't- We really could discuss
40 whether borrowing the steepness is the appropriate thing to do or
41 not. But I think we even discussed whether estimating a stock
42 recruit curve itself was appropriate, given that you potentially
43 have sources of recruitment from outside the area of interest for
44 the assessment. So, if it's not estimable, I'd say you go with a
45 mean recruitment, but that's just my initial thoughts.

46
47 **RICHARD APPELDOORN:** Thank you, Erik. Kevin,
48

1 **KEVIN MCCARTHY:** Yeah, Shannon just got her hand up before I did.
2 I was going to say the same thing that she mentioned about getting
3 through this list and the steepness in Saint Croix. So, I'm going
4 to lower my hand now.

5

6 **RICHARD APPELDOORN:** All right. And Doug.

7

8 **DOUGLAS GREGORY:** Thank you. Good morning. I don't have a strong
9 preference, but I do want to point out, you know, for a point of
10 discussion with the assessment people, that in the recent scamp
11 assessment, we had a similar situation in which the South Atlantic
12 stock had an estimable steepness, but the Gulf stock did not. And
13 the reviewers decided to take an average of the South Atlantic
14 steepness value and the steepness value taken from an international
15 database. I don't know if it's life-based, or fish-based, and they
16 average the two, and we went forward with that.

17

18 I just throw that out there for discussion purposes. I really don't
19 have enough experience to know which the best way is to go. The
20 more straightforward way seems to be the SPR approach and average
21 recruitment, but other people have done other things. Thank you.

22

23 **RICHARD APPELDOORN:** Yeah. Thank you, Doug. Erik?

24

25 **ERIK H. WILLIAMS:** I just want to follow up on Doug's comments.
26 Very good at comments, Doug. And yeah, I mean, it's a good point
27 to sort of recognize what might be the differences between that
28 situation and this situation. And that is when we're talking about
29 a stock recruit curve, we're talking about a production function
30 and we're talking about how well spawning stock biomass, as we're
31 estimating it in the model, is contributing to recruitment
32 subsequent recruit.

33

34 So, you have to think about the system and the stock that you're
35 defining and estimating in the assessment model. And so, in the
36 case of say, Gulf and South Atlantic, you're talking about a coast-
37 wide, an ecosystem-wide assessment, in which case then you would
38 think that there probably is more likely a chance to be that
39 relationship between spawning stock biomass and subsequent
40 recruitment. Whereas when you start to get down to what we're
41 dealing with here, where, you know, it's island specific and we
42 highly suspect sources of recruitment coming from outside of the
43 stock assessment as it's defined, then you start to question
44 whether such a stock recruit relationship should exist or should
45 we be imposing a steepness on that or not. But yeah, very good
46 point, Doug. Thanks.

47

48 **RICHARD APPELDOORN:** Doug your hand is up again?

1
2 **DOUGLAS GREGORY:** Yes. Thank you. I agree, Erik, and I guess this
3 is the morning of agreement. My first reaction, cause my main
4 experience has been with lobsters, which have a nine-month larval
5 period and are widely dispersed, and local recruitment is highly
6 questionable anywhere in the Caribbean. I would assume the same
7 for most of the species on the Caribbean islands, but then you
8 have these spawning aggregation sites. Life history suggests that
9 where there are spawning aggregations, there's a system of local
10 recruitment, which is contrary to what my initial assumption would
11 be. So, it is possible to have local recruitment with some species
12 there. I guess it depends on the larval cycle and how the larvae
13 dispersed.

14
15 Now, one question I have, I'm not a Triggerfish biologist, but I
16 believe the Gray Triggerfish in the Gulf of Mexico, the males
17 actually brood the eggs on the bottom of the ocean. Like a
18 freshwater nesting bird or something. So, in that case, there
19 really could be local recruitment. If Queen Triggerfish do this
20 similar thing of laying the eggs on the bottom and nurturing them
21 while they're on the bottom. I don't know if, if Queen Triggerfish
22 do that, but I, as I said, I have no strong feelings about either
23 direction. Thank you.

24
25 **RICHARD APPELDOORN:** Thank you, Doug. I would certainly argue that-
26 I agree with the approach of just looking at the average
27 recruitment value and going with the F30% as the way to go. One
28 can certainly look at what's happening in Puerto Rico and Saint
29 Thomas and see if those steepness estimates are similar, and that
30 might give you a suggestion that you could use the same value for
31 Saint Croix.

32
33 In terms of biology. It, you know, Saint Croix would be the place
34 where you would most expect to have a stronger relationship between
35 the population and recruitment. I say that because there has been
36 a study of bluehead wrasse, which has a 40-day larval period from
37 broadcast spawner, showing that fish spawned in the eastern end of
38 Saint Croix do settle in the, or can settle, in the western part
39 of Saint Croix. However, that same study also did show that there
40 were things coming in from off-island as well.

41
42 Triggerfish being a nest brooder is going to have a shorter larval
43 period. So, do you think the possibility of retention in Saint
44 Croix would actually be higher? But we don't have any specific
45 information on that. Virginia, you can maybe enlighten us on some
46 of that.

47
48 **VIRGINIA SHERVETTE:** Yes, I can tell you. So, we try to cover as

1 much of that information in our working paper as possible based on
2 what we do know. And then, you know, what is speculated upon based
3 on our understanding of Triggerfish spawning strategy in general.
4 And also, from our work with Gray Triggerfish, which has been
5 pretty extensive as well.

6
7 And so, essentially, we know that across all three management
8 platforms that there are fish that spawn as part of specific
9 aggregations, but there are also fish that spawn outside those
10 aggregations. We also know, just from our age data, that the time
11 that the larvae and then the juveniles spend in the water column
12 is extended. So, it's not just a, you know, 30 days or 40 days or
13 whatever, but from the data that we have, we don't see the
14 juveniles, the smaller fish, recruiting to benthic habitat until
15 they reach a size and age close to one year. Definitely between
16 six to 12 months after peak spawning occurs. And so, I think that
17 there would be, you know, we don't have any values, any way to
18 actually provide any estimates at this point on what amount of in
19 local recruitment is occurring versus outside the system.

20
21 But there is, at the last GCFI meeting, there was a great
22 presentation about modeling for Red Hind larvae and recruitment
23 and where they would end up, you know, from spawning that occurs
24 in Lang Bank and so on. And so, we're actually trying to work with
25 a guy that did that presentation to see if we can apply that to
26 Queen Triggerfish since we also know that their peak spawning is
27 around the same time as when Red Hind are doing it. Then also,
28 since their aggregations, at least for Lang Bank and in Saint
29 Thomas as well co-occur were some of the Red Hind aggregation
30 spawning is occurring.

31
32 So, yeah, there's a lot still unknown, but in our working paper,
33 we do try to cover as much of that as possible, just for insights.
34 And then, we had a really good discussion at our working group,
35 our life history working group, kind of related to that as well.

36
37 Definitely, you know, from our experience we're getting
38 recruitment from outside the island management platforms
39 themselves, though of individuals into each platform. So, I don't
40 know if that helps in any way, but it's definitely worth looking
41 into that, to the working paper as far as, you know, what we
42 reported on and tried to summarize for that. Thank you.

43
44 **RICHARD APPELDOORN:** Thank you, Virginia. So, getting back to the
45 question, some really interesting discussion there, especially on
46 the biology, but from the point of view of the analysis, I think
47 the sense I have from the discussion is that we would not use an
48 estimate of steepness from another Island platform, but we would

1 just go with the mean recruitment and the F30%.

2
3 So, is there another issue that would need to be addressed
4 specifically for the Virgin Islands that wouldn't more or less be
5 the same result that you got from Puerto Rico? Shannon?

6
7 **SHANNON CASS-CALAY:** So, are you asking me? Could you repeat the
8 question?

9
10 **RICHARD APPELDOORN:** Well, you had more or less said, that you
11 needed some guidance on the steepness issue. I'm asking well,
12 relative to everything else, I think it's kind of how we did it in
13 Puerto Rico. You know, I don't know if the selectivity issues are
14 different than in Puerto Rico, but certainly, the issues about
15 including the Carolina data would be the same.

16
17 **SHANNON CASS-CALAY:** Those are all the same. So, the issue is that
18 in our initial model runs, we're going to have to make these same
19 modifications about initial catch, but in our initial model runs
20 and SEDAR 80, Puerto Rico had a steepness of about 0.75. It was
21 estimable. Saint Thomas is about 0.72 and estimable. Saint Croix
22 is not estimable, according to the likelihood profile. So, we're
23 very comfortable if you want to go ahead and use the main average
24 recruitment for the projection and proxy FSPR30. If that's the
25 decision of the SSC, we can move forward if you want to borrow
26 from Puerto Rico or Saint Thomas instead, we just need to know,
27 because it's unlikely that the Saint Croix steepness will be
28 estimable.

29
30 The decision is fine if you want to go ahead with the decision
31 made in Puerto Rico that if not estimable, we'll use the proxy.
32 That's fine with us.

33
34 **RICHARD APPELDOORN:** Erik, did I see your hand go up and then down?

35
36 **ERIK H. WILLIAMS:** I didn't want to open a whole other can of
37 worms, but, you know, the- and I don't know the history of how
38 this region ended up with F30% as sort of the default proxy for
39 FMSY, but that's in some regions considered rather aggressive.

40
41 One analysis that could be done is, for those stocks where you can
42 estimate steepness is to then look at the corresponding SPR percent
43 proxy that corresponds to that FMSY, and then maybe that'll point
44 to, it may point to F30%, I don't know. But at least it'll give us
45 some idea of what a proxy looks like when we're able to estimate
46 steepness.

47
48 **RICHARD APPELDOORN:** What I think you're saying is that it's just

1 another thing you'd want to look at to see how confident you are
2 in the results that you're getting. Is that correct?

3
4 **ERIK H. WILLIAMS:** No, not exactly. What I'm saying is, there
5 should be, you know, if you do have a system-wide sort of tendency
6 for stocks to fall in some range of steepness values, those
7 steepness values all correspond to an SPR proxy. So, we choose a
8 proxy because we want a proxy that's going to replicate FMSY in
9 the absence of directly estimating FMSY. Well, when you get a
10 steepness value, you directly estimate FMSY. When you do that, you
11 can also then look at what the corresponding SPR proxy is that's
12 associated with that value.

13
14 So, again, as I said, I don't know the source of where F30% came
15 up with- was derived for this region. But one of the things that
16 typically happens in other regions is they look at other species
17 where you're able to estimate steepness and then look at the
18 associated SPR proxy where you can estimate FMSY, just to confirm
19 that say F30% is an appropriate proxy or maybe it's F35%, I don't
20 know. That's something to just- that could be looked at.

21
22 Since we have stocks where it seems like we're able to estimate
23 steepness. I mean that's kind of a bonus. To have that situation
24 in many stock assessments and you can do these sorts of additional
25 analyses when you have that case, which is to look at this, the
26 associated SPR proxy with that steepness value.

27
28 **RICHARD APPELDOORN:** Okay. Thank you for that clarification. So,
29 I think we have two things that that has brought up. One is, since
30 Shannon now gave us the value for steepness in Saint Thomas, that
31 it's very close to that of Puerto Rico, it may be reasonable to
32 say, take an average of those two and apply it to the Saint Croix.
33 Assuming that the dynamics of spawning and recruiter are similar.
34 Given the comments that Virginia made about how long these things
35 are potentially in the water column that probably is a very
36 reasonable assumption. Then, from Erik's comments, if we are
37 estimating steepness in two of the jurisdictions, and that's going
38 to give us an FMSY should we not use that to inform what our proxy
39 is for Saint Croix? Is that kind of where you were going with that,
40 Erik?

41
42 **ERIK H. WILLIAMS:** Yes, that's correct. Thanks, Rich.

43
44 **RICHARD APPELDOORN:** I find that totally reasonable. And so, Erik,
45 would you support using the average value of the steepness from
46 the two jurisdictions and applying that to Saint Croix?

47
48 **ERIK H. WILLIAMS:** So, yeah, that's where this whole thing becomes

1 a circular argument in a sentence. Because yeah, on one hand, we
2 can just apply an average steepness value directly to those stock
3 assessments, or we can use the proxy with an average recruitment.
4 It, yeah, those choices. I think the important reason to sort of
5 associate, figure out what the SPR proxy is that associates with
6 FMSY for the stocks that we can estimate steepness, is you can
7 start to do that for other species beyond just Queen Triggerfish.
8

9 And again, this gets to, you know, how well you think stock recruit
10 relationships line up with various species. But at least to get a
11 sense of whether the proxy of F30% is in the ballpark of FMSY
12 values. That's the check really is F30% very different from, you
13 know, the SPR value that corresponds to the steepness values that
14 are coming from these two Triggerfish stocks where we're able to
15 estimate steepness.
16

17 **RICHARD APPELDOORN:** So, as I understand this, if we were to use
18 the average value for steepness and apply that to Saint Croix,
19 that automatically is going to generate the FMSY and therefore we
20 don't need the proxy. So-
21

22 **ERIK H. WILLIAMS:** Yes, that's, yeah, that's correct.
23

24 **RICHARD APPELDOORN:** Okay. So, we need to make a decision about
25 whether we want to do that or whether we want to just not apply
26 the values from Puerto Rico and Saint Thomas but use those to
27 inform what the proxy should be in Saint Croix. That's the question
28 that we're- are those the options, Is that correct?
29

30 **ERIK H. WILLIAMS:** Yeah. That's how I understand it.
31

32 **RICHARD APPELDOORN:** Okay. While we were thinking about this, we
33 have a hand raised from Hardnose, and you'll have to identify
34 yourself.
35

36 **JULIAN MAGRAS:** Yes. Good morning. Can you guys hear me?
37

38 **RICHARD APPELDOORN:** Yes, we can.
39

40 **JULIAN MAGRAS:** All right. I just like to make a comment as it
41 pertains to recruitment. I know from studies that have been
42 conducted, that we show spawning that takes place in the Saint
43 Thomas-Saint John shelf does send recruitment over to the Puerto
44 Rico shelf. We are all connected. So, I'm wondering if because we
45 have the B.V.I., which is also connected to our shelf, if anyone
46 out of the group knows of any studies that have been done in the
47 B.V.I. to see if their recruitment affects the Saint Thomas-Saint
48 John shelf from all species or any species.

1
2 And then, a comment towards Saint Croix. Saint Croix, you know,
3 has the Lang Bank, but also East of Saint Croix you have Saba Bank.
4 Have they also been affected by recruitment from the Saba Bank
5 since it's downstream? So, it's more like a comment question. If
6 anyone has any information on that, Thank you.

7
8 **RICHARD APPELDOORN:** Thank you, Julian. I think I'll just respond
9 by saying that I don't think there's been very much study but given
10 the longer larval or project duration that Virginia mentioned
11 relative to studies that have been done on other species, we would
12 expect a fair amount of import into all the jurisdictions from
13 other areas. I think, and someone can easily correct me here
14 because I'm guessing, the steepness value, the higher that number,
15 the less the recruitment seems to be related to the actual stock
16 size that we're estimating. Is that correct?

17
18 **SHANNON CASS-CALAY:** Yes, that's correct.

19
20 **RICHARD APPELDOORN:** So, a value of 0.7 is tending toward not
21 having a strong relationship then. Is that correct?

22
23 **SHANNON CASS-CALAY:** Yes, that's essentially correct, Rich.

24
25 **RICHARD APPELDOORN:** Yeah. Okay. So, that's in line kind with what
26 we're thinking and the observations that Julian has, or questions
27 that he had been raising, and the comments that Virginia has given
28 us as well.

29
30 So, for the committee, going back, we have two options for dealing
31 with steepness. Option one was to use the average of the values of
32 Saint Thomas and Puerto Rico. And option two was to use a mean
33 recruitment indicator and a proxy for FMSY. But that proxy could
34 be informed by the steepness relationship from the other
35 jurisdictions. So, Erik?

36
37 **ERIK H. WILLIAMS:** Yeah, thanks, Rich. I don't know how well your
38 proxy is codified in the sense that F30% is it and you have to
39 stick with it. So, that's the only hesitancy I would have with
40 changing that proxy based on the other stocks. How entrenched is
41 that number in any of your sort of FMPs or even ABC control rules
42 or any of that stuff? I don't know.

43
44 **RICHARD APPELDOORN:** Might put that over to Shannon, but it's not
45 entrenched, but it's been a value that we have been at least
46 comfortable applying to a broader suite of species in the absence
47 of actual information to the contrary.

48

1 **SHANNON CASS-CALAY:** Yes. You're right, it's not entrenched in the
2 FMPs or the control rule. We considered it an SSC prerogative to
3 select based on your understanding of the biology of the species.
4

5 **RICHARD APPELDOORN:** So, Erik, I hate to do this to you but you,
6 I think, have the strongest background here to be able to give the
7 committee guidance on which option might be the way to go. Maybe
8 Doug wants to do that. Jason is unfortunately not available at the
9 moment. So, you want to make a recommendation.

10

11 **ERIK H. WILLIAMS:** Yeah, yeah, sure. Rich. Thanks. And yeah, no
12 worries. Putting me on the spot. I hope, you know, I would actually
13 like to hear from Doug if he disagrees with me because I'm
14 perfectly fine with disagreement. I would say, hopefully this is
15 sticking with Doug's comment much earlier, which is, you know, let
16 the data and the model drive our decisions. I would say that the
17 decision should still, that should probably be, if you can't
18 estimate a stock recruit curve, then you go with a mean
19 recruitment, in which case then you have to select a proxy. I think
20 we probably could use whatever the proxy is that corresponds to
21 the other Triggerfish stocks as a good proxy to use in that case.
22

23 I think that there's a logical consistency across the board on
24 that in my mind. But yeah, it'd be- I don't know if Doug has any
25 follow-up on that.

26

27 **DOUGLAS GREGORY:** I feel compelled to answer. Now, I'm fine with
28 it. What we don't know is what the SPR might be relative to the
29 steepness of 0.75. I have no clue about that. That's the only thing
30 that concerns me. I'd be more comfortable going with either or,
31 30% or the steepness that's estimated. But again, I don't have
32 strong feelings about that. Thank you.

33

34 **RICHARD APPELDOORN:** Okay, thank you, Doug. So, let's go with that
35 as a recommendation then. For Saint Croix to use mean recruitment
36 value and use an FMSY proxy as informed by the results from Puerto
37 Rico and Saint Thomas.

38

39 **ERIK H. WILLIAMS:** Thanks for keeping up with all that
40 conversation. You did a good job of keeping track of that cause I
41 know that gets confusing sometimes.

42

43 **RICHARD APPELDOORN:** Well, rest assured that I'll probably forget
44 it all by tomorrow, but it's been great having people who can
45 explain these things to us. Thank you.

46

47 So, I was just looking at the- So, are we done with this issue,
48 Shannon, sufficiently for you guys to move forward?

1
2 **SHANNON CASS-CALAY:** Yes. Thanks, Rich. I would just like to,
3 because I do love repeating what I hear, to make sure that I heard
4 it correctly. The decision was that if Saint Croix is not
5 estimable, we'll replace it with the average steepness of Puerto
6 Rico in Saint Thomas. That was the final decision.
7
8 **RICHARD APPELDOORN:** No-
9
10 **ERIK H. WILLIAMS:** I'll jump in. No, no. To replace, if you cannot
11 estimate steepness in Saint Croix, then estimate average
12 recruitment and use the SPR proxy that matches the- Yep.
13
14 **SHANNON CASS-CALAY:** Got it. My apologies. I'm glad I asked for
15 confirmation because obviously, I missed that final decision. So,
16 thank you very much.
17
18 **ERIK H. WILLIAMS:** Yes.
19
20 **RICHARD APPELDOORN:** So again, Shannon, back to you. Have we
21 addressed the issues you needed to move forward then on the Virgin
22 Islands, to your satisfaction?
23
24 **SHANNON CASS-CALAY:** Yes, you absolutely have.
25
26 **RICHARD APPELDOORN:** So, I'm just scanning the agenda. The next
27 items appear to be related to the Spiny Lobster assessment. Is
28 that correct?
29
30 **GRACIELA GARCÍA-MOLINER:** Yes. That would be the first item on the
31 agenda for today. SEDAR 57 Spiny Lobster update.
32
33 **RICHARD APPELDOORN:** All right. That agenda also suggested that we
34 would be breaking for lunch at noon. It is 10 of.
35
36 **GRACIELA GARCÍA-MOLINER:** Correct.
37
38 **RICHARD APPELDOORN:** So, I'm suggesting that we break for lunch
39 now and return at one to pick up with Spiny Lobster.
40
41 **GRACIELA GARCÍA-MOLINER:** Very well. We will do that.
42
43 **RICHARD APPELDOORN:** Not hearing any opposition then we are on
44 break.
45
46 **GRACIELA GARCÍA-MOLINER:** Thank you. Back at one.
47
48 **RICHARD APPELDOORN:** Right, back at one.

1
2 (Whereupon the meeting recessed for lunch on October 5, 2022.)
3

4 - - -

5
6 OCTOBER 5, 2022

7
8 WEDNESDAY AFTERNOON SESSION
9

10 - - -

11
12 **RICHARD APPELDOORN:** Good afternoon, everybody. I hope you're all
13 back from a nice lunch. I think we should get started again. As
14 discussed, right before the break, the next topic would be SEDAR
15 57. Spiny Lobster update assessment progress report. So, who will
16 be giving that?
17

18 **SEDAR 57 Spiny Lobster Update Assessment Progress Report- SEFSC**
19

20
21 **KEVIN MCCARTHY:** I think Adyan's going to get a quick update.
22

23 **RICHARD APPELDOORN:** Okay.
24

25 **ADYAN RIOS:** Hi everyone. Yes, we are working on that and the only
26 thing that I was going to check in today to ask that I needed was
27 guidance on the 2021 correction factor and the 2022 gap year. But
28 I was thinking that to suggest just following the same procedure
29 that you discussed this morning.
30

31 **RICHARD APPELDOORN:** This would be for 2022.
32

33 **ADYAN RIOS:** Yes, what was discussed this morning was using the
34 2014 to 2019 average correction factor to replace the correction
35 factors in 2020. And then using that information, that correction
36 factor as well in 2021 where we have the reported landings, but we
37 don't have the correction factor yet. And then using 2021 to also
38 provide preliminary numbers for 2022 just to kind of provide the
39 projections starting in 2023 when you see the projections later in
40 November.
41

42 **RICHARD APPELDOORN:** Yes, I think that, unless someone from the
43 committee would like to say otherwise, that would be the
44 recommended approach.
45

46 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, may I ask a question?
47

48 **RICHARD APPELDOORN:** Graciela.

1
2 **GRACIELA GARCÍA-MOLINER:** So, one issue that we have with lobster
3 specifically is the electronic reporting data from Puerto Rico.
4
5 **RICHARD APPELDOORN:** Graciela, do you have your hand up?
6
7 **GRACIELA GARCÍA-MOLINER:** I have my hand up. Can you hear me?
8 Hello? Sorry. Can you hear me now?
9
10 **RICHARD APPELDOORN:** Yes.
11
12 **GRACIELA GARCÍA-MOLINER:** Sorry. Okay, we're switching, switching
13 monitors here.
14
15 So, one question I had regarding the lobster specifically is, the
16 data from Puerto Rico, from the electronic reporting, is that
17 already part of what you're looking at, or is that still in the
18 works? How is that? And the reason for my question is because, you
19 know, it was a pretty large percentage of the landings. Thank you.
20
21 **RICHARD APPELDOORN:** Go ahead, Kevin.
22
23 **KEVIN MCCARTHY:** Thanks, Rich. So, we were able to get from DNER
24 the raw electronic logbook data, which we've incorporated. We
25 incorporated it for 2020 and 2021. It's not clear to me if we have
26 any of the partial 2022 data, partial year. But we're going to
27 check that. So, we are incorporating that, and we are applying the
28 correction factors to those data as well.
29
30 **RICHARD APPELDOORN:** Any other comments? Adyan, do you have what
31 you need then?
32
33 **ADYAN RIOS:** Yes. Thank you. Graciela's hand is up again.
34
35 **GRACIELA GARCÍA-MOLINER:** So, the timeline for this would be the
36 November SSC meeting and then the December meeting for the council.
37 Correct. Thank you.
38
39 **RICHARD APPELDOORN:** Okay. So, the next item on the agenda is the
40 terms of reference for the next SEDAR
41
42 **Review TORs SEDAR 84 yellowtail snapper (Puerto Rico and St.**
43 **Thomas/St. John) and stoplight parrotfish (St. Croix)**
44
45 **KEVIN MCCARTHY:** This is Kevin. That'll be me.
46
47 **RICHARD APPELDOORN:** Okay. Go ahead, Kevin.
48

1 **KEVIN MCCARTHY:** So, I'm not quite sure how you all want to handle
2 this, but I'll just start, and you can tell me if we could speed
3 up or slow down. I don't know, because I don't recall, whether or
4 not you all have seen these terms to reference yet. But I've got
5 them all in a series of slides here and we can just walk our way
6 through them. Or if you're ready to pick up speed and move faster,
7 we can do that as well.

8
9 So, next slide, please.

10
11 So, just a little bit of background, for those of you not familiar
12 with the SEDAR process. Did someone have a comment here?

13
14 **GRACIELA GARCÍA-MOLINER:** So, sorry for the SSC members, the terms
15 are in Google Drive so they all should have access to that. Thanks.

16
17 **KEVIN MCCARTHY:** Okay, thank you. So, just a little background on
18 the SEDAR processes you are experiencing now.

19
20 The SEDAR 84 is going to be what we have in the past referred to
21 as a benchmark assessment. That's not terminology that is currently
22 being used in the Gulf and the South Atlantic. It is being used
23 when we have an assessment that's headed up by the state of
24 Florida. And I'll explain what that is in just a second. But what
25 the process that we have for SEDAR 80, that Queen Triggerfish, is
26 what's called an operational assessment. The update, the very brief
27 questions you got from Aydan about the SEDAR 57 Spiny Lobster,
28 that process, because we've already done an assessment, that will
29 be an update assessment. Each of those is a very different process.

30
31 The idea is that an update goes pretty quickly, an operational
32 takes a little longer and a benchmark is a much more involved
33 process. So, for a benchmark, we're going to have a series of
34 workshops. So, a lot of the discussion that's gone on in this
35 meeting will, under a benchmark process, occur earlier in the
36 process, which will prevent a lot of these late decisions. In a
37 perfect world. There are always decisions that come up and changes
38 throughout the process, but hopefully, those will be minimal under
39 a benchmark and will make the kinds of data and modeling decisions
40 that are being made in this meeting much earlier in the benchmark
41 process.

42
43 So, we will have an in-person data workshop where there will be a
44 review of all the available data. So, discussions about things
45 like correction factors and landing series and all of that are
46 going to occur then and in a couple of virtual meetings before
47 then. So, those workshops involve scientists and stakeholders. So,
48 the fishers are an integral part of that process and very

1 important. You all, I think at some point during this meeting will
2 discuss who, from the SSC, will be an appointed participant. I'll
3 also be working with council staff to come up with other appointed
4 participants including, you know, identifying fishers. SEDAR 84
5 will be for Yellow Tail Snapper in Puerto Rico and Saint Thomas-
6 Saint John and stuff like Parrot Fish in Saint Croix. So, we want
7 to make sure that we've got people on the panel who are familiar
8 with those fisheries and with those species.

9
10 There will be an assessment workshop where a lot of the questions
11 we've been going through about the modeling will occur. That'll be
12 there via webinar. It usually requires several meetings. In this
13 case, because we've got three assessments every time we have our
14 turn at the SEDAR table in the Caribbean, it's always three
15 assessments. That's going to take a couple of months to get through
16 that assessment workshop. The idea being we ideally see a base run
17 early on. There'd be comments, much as you've had during this
18 process. Then the assessment lead would go back and rerun models
19 and change things up and come back a couple of weeks later at
20 another webinar to review the progress and the changes made.

21
22 Then there is a review workshop. It's typically, it may be in
23 person, I think this one is scheduled to be in person. That
24 generally happens at the home base of the modeler, which in this
25 case is likely to be Miami. But we'll see. This is the phase that
26 involves CIE or Center for Independent Expert reviewers.

27
28 And after that whole process, the SEDAR is done, but it then moves
29 on to you, the SSC, for your review. Then presentation to the
30 council after that. So, it's a lengthy process. It tends to be
31 very, very thorough. And that's what we're in for, for SEDAR 48.

32
33 So, in the next slide, we begin the terms of reference, and we'll
34 do that for each of these steps.

35
36 I don't know, Rich, how you want to handle this. There are multiple
37 slides for this. Is it better just to allow everybody to read
38 through the slide and then get comments on the items that are on
39 the slide? I don't imagine you need me to read through it for you.

40
41 **RICHARD APPELDOORN:** Yeah. But you have such a soothing voice.

42
43 **KEVIN MCCARTHY:** Yeah, and after lunch, you'll all be asleep.

44
45 **RICHARD APPELDOORN:** I would say just let's go ahead and present
46 them.

47
48 **KEVIN MCCARTHY:** Okay. So, these are fairly standard terms of

1 reference. They're based on some previous SEDAR terms of reference.
2
3 One is just basically what we're going to do. A stock assessment
4 for Puerto Rico and Saint Thomas Yellowtail Snapper and Saint Croix
5 Stoplight Parrotfish. We'll use approaches, data-limited
6 approaches, similar to what you've been seeing and then what you
7 saw for SEDAR 57, which was a Spiny Lobster.
8

9 **RICHARD APPELDOORN:** All right. Erik has his hand up.

10
11 **ERIK H. WILLIAMS:** Yeah. Thanks, Rich. I'm just curious as to when
12 you use the phrase, data-limited approach similar to those approved
13 in a previous SEDAR, you were immediately limiting yourself. I
14 know you probably are very familiar with what data you're going to
15 have available, but I would- You know, usually you don't want to
16 limit yourself with the terms of reference. You want to leave it
17 as generic as you can to still get what you need out of it but
18 allow flexibility. So, I don't know. I mean, I wouldn't- You know,
19 data-limited, that's not well defined for starters. I would say an
20 acceptable approach or, you know yeah, something along those lines,
21 because people define data-limited in very different ways.
22

23 So, anyways, it may not need to be changed, but it just strikes me
24 that when you start putting very specific things into ToR you start
25 constraining rather than allowing flexibility, which I think is
26 what you want from a benchmark assessment, is you want that
27 flexibility to explore many options.
28

29 **KEVIN MCCARTHY:** Yeah, that makes sense. And we can easily- I'm
30 happy to change things as we go through here. I'm taking notes. I
31 think some others are taking notes and we'll make those changes.
32 That's pretty quick and easy and then send it out to everybody.
33

34 The second bit is just talking about data inputs and how we're
35 going to present those sort of standard data inputs, especially
36 for the kinds of information we've got in the Caribbean.
37

38 **VANCE VICENTE:** Richard, may I add something?
39

40 **RICHARD APPELDOORN:** All right, go ahead, Vance.
41

42 **VANCE VICENTE:** Yeah, look, regarding item number two, review
43 available data inputs and provide data, etcetera. I don't see
44 anything regarding like review available data on the ecology, I
45 don't know, feeding habits, diseases that these species may go
46 through. I don't see anything in there regarding the habitat or
47 anything like it. That's it.
48

1 **KEVIN MCCARTHY:** Well, if there is information- I mean, we could
2 certainly add a line, you know, ecological information or something
3 of that order that can be considered. But, you know, we've to have
4 a way to include it into an assessment model. You know, we want to
5 keep this productive so if we have some actual information that
6 can inform a stock assessment, that's terrific. But we don't want
7 to have the discussion go down the rabbit hole of a lot of
8 discussion of things that we can't actually quantify.

9
10 So, I'm happy to add something here, however, we want to phrase
11 it, to consider other relevant information. But we want to make
12 sure that we're focused on data that will inform an assessment
13 model. That would be the caveat I would include there. But
14 certainly, we don't want to limit things. If they're going to be
15 helpful to the analysis.

16
17 **RICHARD APPELDOORN:** Thank you, Kevin. I want it certainly to say
18 at the end of the first line, "including, but not limited to."
19 Shannon.

20
21 **SHANNON CASS-CALAY:** Yes, thanks. So, Kevin is kind enough to
22 present these terms of reference, which is very helpful. And I
23 think that the SSC is encouraged, frankly, to add their
24 considerations to the terms of reference.

25
26 It does require a negotiation back with the Science Center to
27 ensure that we can meet that capacity. You know, we reserve the
28 right to negotiate, essentially, to make sure that our staffing
29 can meet the challenges that the SCC desires. And so, what I'm
30 getting at is, I think you should feel free to add your own input
31 to the terms of reference but recognize that Kevin is not speaking
32 for the Science Center at this moment. It does require a
33 negotiation with the Science Center to make sure that we can meet
34 the work plan.

35
36 **KEVIN MCCARTHY:** Thanks, Shannon, for that clarification. So, I
37 guess the in practical terms, what that means is we can add
38 whatever edits you care to but that then becomes a negotiation
39 with the Science Center. So, if we want to word smith number two
40 here to include some additional options, we can certainly do that.
41 But it will go back to the Science Center for review.

42
43 So, is there something we care to add here?

44
45 **RICHARD APPELDOORN:** Well, as I said, just a generic, "including
46 but not limited to." So, if something does come up, you know, we
47 have the option of looking at it. So, Erik and then Graciela.

48

1 **ERIK H. WILLIAMS:** I was just going to suggest, I mean, I think
2 your suggestion was good, Rich, just to add that phrase. But maybe,
3 because I think the issues brought up like ecology and habitat and
4 things like that, I always think of them as falling under life
5 history information. Maybe some people don't read that into that.
6 So, maybe we just put "life history and ecology information" and
7 maybe that encompasses it all.

8
9 **RICHARD APPELDOORN:** Thank you. Graciela.

10
11 **GRACIELA GARCÍA-MOLINER:** From the discussion earlier in number
12 one, you also want to have something to that effect "using a data-
13 limited approach, but not limited to those approved SEDAR 57."

14
15 **RICHARD APPELDOORN:** The suggestion for number one was to, I think,
16 take out "data-limited," or "a data-limited" and replace it with
17 "using an appropriate approach."

18
19 **GRACIELA GARCÍA-MOLINER:** Okay.

20
21 **JULIE NEER:** I can't seem to raise my hand. I don't know why.

22
23 **RICHARD APPELDOORN:** Lack of muscle tone, I guess. Anyway, Julie,
24 go ahead.

25
26 **JULIE NEER:** I just have a quick comment with regard to general
27 timing for this. This assessment is slated to begin with data
28 scoping next month and a data workshop in April. So, all the
29 comments that you're making are valid and if you think they're
30 needed, then please do them. Just acknowledging that it might shift
31 the schedule back a bit.

32
33 The more negotiations we have to go back and forth with the Science
34 Center, which is absolutely the way it should work. Things might
35 get switched, slid back a bit. We were going to talk about the
36 schedule when we talk about the potential of participants and we
37 apologize these came late to you guys and so, we recognize that
38 that might just be the case.

39
40 We took a bit of work to finalize the species for this and then
41 finalize the terms of reference to get them in a form that could
42 come to you for review. So, apologize for the lateness in getting
43 it. I just want the big picture. This was supposed to start shortly
44 and finish in early 2024. Just keep that in the back of your head,
45 how pressing your requests are versus how pressing it is to get
46 the assessment done in a timely fashion.

47
48 But everything you want to consider should definitely be laid out

1 at this point So, it can be discussed. I'm just putting it out
2 there that the schedule you're going to see in a bit may not match
3 what we actually end up doing based on your requests at this point.
4 Maybe we should have done the schedule first anyways. Sorry. Thank
5 you.

6
7 **RICHARD APPELDOORN:** Thank you, Julie. I personally like Erik's
8 comment to just include, say, "life history/ecology information"
9 on C.

10
11 **KEVIN MCCARTHY:** Okay.

12
13 **RICHARD APPELDOORN:** And we move to the next slide?

14
15 **KEVIN MCCARTHY:** Yes, please. And thanks, Julie. You're right.
16 I've got the current schedule sort of summarized toward the end or
17 at the end.

18
19 So, here we talk about some of the things to consider in the model.
20 Life history, gear selectivity, a lot of the topics we've been
21 discussing already in this meeting. Abundance. And the NCRMP or
22 RVC survey which is D. That is currently our only, well, to the
23 best of my knowledge, it's one of the few, and so far, the only
24 one that we have attempted to use as an index of abundance. Our
25 only fishery-independent data source. There are perhaps some
26 others out there that we'd like to explore but certainly, we want
27 to have a look at the RVC data point D.

28
29 I see Erik's hand up.

30
31 **RICHARD APPELDOORN:** Yeah, he can read faster than me. Go ahead,
32 Erik.

33
34 **ERIK H. WILLIAMS:** So, you know, this is awfully detailed and
35 again, falling back to my earlier premise, and I'm not necessarily
36 recommending a change here. I recognize the timeline and all of
37 that, but these kinds of ToR are just too specific. It should just-
38 This whole ToR should be summed up with "build a model that's
39 applicable for the data available" or something like that.

40
41 "Build a stock assessment model appropriate for the available
42 data." Maybe that's the phraseology to use, period. This is too
43 detailed and can and often, not often, but has on occasion become
44 constraining because of the wording.

45
46 **KEVIN MCCARTHY:** I'm just taking notes, Erik. Yeah, I agree with
47 you. That we want to be as general as possible in the terms of
48 reference. This is based on some other ToR and maybe that's a

1 reflection of the difference between the Gulf and South Atlantic.
2 Perhaps. Maybe the Gulf was a little more detailed than the South
3 Atlantic. But I like the idea of keeping it a little more open.
4 But that would be a pretty big change. These other edits are less
5 problematic. Well, not that that's problematic but less extreme.
6 So, I'll have to chat with Shannon and others. I don't have a
7 problem with simplifying the terms of reference and as long as
8 they don't, maybe we can do that here.

9
10 **RICHARD APPELDOORN:** Erik, what was your wording again, on a more
11 generalized statement?

12
13 **ERIK H. WILLIAMS:** "To construct a stock assessment model that is
14 most appropriate for the available data."

15
16 **KEVIN MCCARTHY:** I see Doug's hand up.

17
18 **RICHARD APPELDOORN:** Go ahead, Doug.

19
20 **DOUGLAS GREGORY:** Thank you. If this is a benchmark assessment
21 under the old guidelines, definitions of benchmark, then
22 everything is on the table. The constraints that Erik is talking
23 about come into play, at least in my experience, with operational
24 updates, whatever the other intermediate type of assessments is
25 because you're not supposed to deviate from what was in the
26 benchmark. But the benchmark was open to any and all appropriate
27 analyses. So, I agree with what Erik is saying but it may not be
28 critical in this instance.

29
30 It should not constrain the assessment scientist in doing what
31 needs to be done. Now, Julie can comment on this more because she's
32 the gatekeeper of what assessment definitions are as far as I can
33 tell. Thank you very much.

34
35 **JULIE NEER:** Yeah, Doug, is correct that benchmarks are supposed
36 to allow more flexibility to examine everything that, within
37 reason, we still have a schedule to keep so let's just set that
38 expectation from the beginning, but yes. They're not as constrained
39 to define terms of reference as say, an operational or an update
40 would be, which is really looking at just what is specifically
41 outlined in the terms of reference.

42
43 So, in this case, you could do a more flexible term of reference,
44 but it's not even really needed because you can always do more.
45 Terms of reference should be sort of thought of as minimum
46 requirements. It does not mean you can't do above and beyond those
47 terms of reference. Again, within the time constraints and
48 availability of getting stuff done in a timely fashion for the

1 managers who are waiting for this information down the line.
2
3 But yeah, this is a benchmark because some of these species have
4 not been done either at all or for the platforms that they're
5 working on or have not had successful assessments in the past. And
6 so, given that, you really can have more flexibility, but you don't
7 necessarily have to take things out of the terms of reference.
8 These are the things that you're sort of highlighting as you want
9 considered, but they can look at other things and that's what the
10 panelists are also supposed to be part of in developing the
11 assessment.

12
13 Again, always within the realm of getting stuff done in a timely
14 fashion. So, I'm going to keep putting that out there because we're
15 struggling with that piece. But thanks.

16
17 **DOUGLAS GREGORY:** This is Doug again. Thank you, Julie. And I'm
18 not speaking against what Erik has suggested. I like his
19 suggestions. I just wanted to point out that we don't need to feel
20 like we're constrained, but I think his suggestions are very good
21 and I'd like to keep them. Thank you.

22
23 **KEVIN MCCARTHY:** Okay. So, this is Kevin again. I would add a
24 couple of comments. I'm perfectly happy with keeping the language
25 as general as possible. I agreed with you absolutely, Doug, that
26 the benchmarks are wide open to a degree. Let's keep in mind this
27 is not a to-do list for the Science Center alone.

28
29 The SEDAR process is a collaborative process where we're relying
30 on the work of others as well as Science Center staff. So, you
31 know, to put in a bunch of additional ideas about let's turn over
32 every rock, that does not mean that the Science Center staff are
33 going to be the ones turning over all the rocks. So, when we ask
34 for particular things where we want to leave the process open to
35 considering all the available data, that is not definitionally in
36 order for the Science Center to do all that work. So, let's just
37 keep that in mind.

38
39 If we know of people who have expertise in one of the species and
40 they've done work, then the appropriate move is not to task the
41 Science Center staff to understand the work of others necessarily
42 if they are available to participate in the process. So, that's a
43 critical element that is often not pursued to the fullest extent,
44 which is to get the experts involved in the process to the fullest
45 extent possible. So that's something we need to keep in mind when
46 we're looking at getting other participants requested by the
47 council, for example. So, just something to keep in mind.

48

1 Any more thoughts on this one or should we move on? This is a
2 lengthy list because we're just in the data workshop and there are
3 a couple of other workshops that we have terms of reference for.
4

5 Doug, your hand is still up. Did you have a follow-up or just a
6 hand in the air?

7
8 **DOUGLAS GREGORY:** No. Thank you.
9

10 **KEVIN MCCARTHY:** Are we ready? Well, we're ready to move on.
11

12 **RICHARD APPELDOORN:** I have a question for Doug because I wasn't
13 sure he was agreeing with everything Erik said, and then he said,
14 "but" in the end, I didn't catch what his bottom line was.
15

16 **DOUGLAS GREGORY:** Bottom line is I don't think we need to worry
17 about being limited but the things that we have changed that Erik
18 suggested to change were appropriate in increasing the flexibility
19 and recognizing that. Because, you know, he didn't say it, but
20 there's always the potential that somebody will take the terms of
21 reference literally and constrain their efforts in one way or the
22 other. And so, being cognizant of that, I think, just as a
23 precaution is appropriate.
24

25 **RICHARD APPELDOORN:** Okay. So, we take that from Julie's comments,
26 that this would be, the terms of reference are really kind of a
27 minimum. And that should, the parties involved decide more or site
28 different direction that's within their purview. If that's the
29 case, we can move on.
30

31 **KEVIN MCCARTHY:** So, this is Kevin. So, the other thing that I
32 would add is, we've got a relatively well almost brand-new branch.
33 Not yet two years old. We're going through a lot of this for the
34 first time both with new SSC members, with a new branch, with a
35 new approach to how we're going to work in the Caribbean.
36

37 I am perfectly fine with getting everybody happy with the terms of
38 reference, provided the Science Center signs off on it. So, I think
39 it's useful to have this kind of conversation so that, in the
40 future, we will have a better understanding of what we want for
41 the Caribbean benchmark assessments. What do we want our terms of
42 reference to look like? Not that they wouldn't ever be revisited,
43 but you know, let's get a baseline set of the terms of reference
44 and it will benefit us in the future.
45

46 So, I think this is a helpful exercise although I don't want it to
47 take the rest of the day, and I'm sure neither do you. Are we ready
48 to move on? I'm going to take that as a yes. So, next slide.

1
2 So, we always have research recommendations that are pretty broad.
3 They can include new ways of doing port sampling, for example, or
4 other kinds of sampling in addition to, life history work, it's
5 across the board. And then we've to prepare a data workshop report,
6 and that, again, is a collaborative exercise from the people who
7 are involved. We tend to run Caribbean workshops differently than
8 we do in other regions. In that everybody participates in the
9 process. So, in the Gulf or the South Atlantic, for example, we'd
10 have separate working groups. You know, there'd be a group that
11 talked about commercial data and a group that talked about
12 recreational data and a third group that talked about indices of
13 abundance, and a fourth group that talks about the life history.
14 We don't do that in the Caribbean. We tend to work through each of
15 those together collectively as a single group. So, everybody talks
16 about commercial data and then we move on to life history or
17 indices or that sort of thing. But we do have to put together a
18 workshop report and research recommendations, and those go into
19 the report. And that is a collaborative process.

20
21 So, this is pretty standard.

22
23 **RICHARD APPELDOORN:** Yeah, this is pretty standard, and we've been
24 through this before. I don't think there are going to be any
25 arguments. If somebody wants to raise a hand, otherwise, we will
26 go on.

27
28 **KEVIN MCCARTHY:** So, then we've got an assessment workshop. And
29 these are typically virtual. We've just sort of got a general
30 statement at the beginning, about documenting what was done,
31 developing the assessment tools, and then the list of management
32 benchmarks and status determination criteria that are produced.

33
34 **RICHARD APPELDOORN:** All right.

35
36 **ERIK H. WILLIAMS:** Just one phrase to add and this is just to
37 tighten things up. At the end of the first sentence append the
38 phrase "consistent with standard practices" and that links it
39 directly to the review ToRs. The review ToRs are very restrictive,
40 and we need to be careful with those more so than these others.

41
42 So, yeah, I recommend we add the phrase "consistent with standard
43 practices" to the end of the first sentence in bullet one.

44
45 **KEVIN MCCARTHY:** Thanks, Erik.

46
47 **RICHARD APPELDOORN:** So, any other comments on one or two? So,
48 let's go on to the next slide.

1
2 **KEVIN MCCARTHY:** And then 2D gives us wiggle room.
3
4 **RICHARD APPELDOORN:** Sorry, I missed that, Kevin.
5
6 **KEVIN MCCARTHY:** I just said 2D provides us with some wiggle room
7 as needed.
8
9 So here we're talking about projections. To get MSY, OFL. I think
10 I'm missing an open parenthesis there. Thank you, for the edits on
11 the fly.
12
13 **LIAJAY RIVERA GARCÍA:** Whatever is needed.
14
15 **RICHARD APPELDOORN:** Part A, the "use the geometric mean" of
16 following the discussion we had for Spiny Lobster. Is that correct?
17
18 **KEVIN MCCARTHY:** I think that's pretty standard practice. Not
19 necessarily what came out of Spiny Lobster, necessarily. I think
20 it's just standard practice.
21
22 **RICHARD APPELDOORN:** Okay. Hearing no one making any objections,
23 suggestions, or otherwise, Let's move on to the next slide.
24
25 **KEVIN MCCARTHY:** So again, a report comes out of this with research
26 recommendations.
27
28 **RICHARD APPELDOORN:** Again, I think this is very straightforward.
29
30 **KEVIN MCCARTHY:** Yep. Very straightforward. I would just add, one
31 of the things we're working on, and I hope to work on further with
32 this SEDAR 84, is to really tailor these reports to fit the needs
33 of the Caribbean. These reports can be very lengthy, and I think
34 we can design a better format for reports. But that's a
35 conversation with Julie and the SEDAR folks as well as the Science
36 Center folks.
37
38 Next slide. If we're ready to move.
39
40 So, then there's a review workshop with its own terms of reference.
41 These typically involve the CIE review and a number of questions
42 to ask when evaluating the data used in the assessment including
43 the decisions made at the data workshop phase in the assessment
44 workshop phase. So, not just strict data questions, but were the
45 decisions by those two groups sound and robust, and reasonable? We
46 talked a lot about data uncertainties at this meeting, and that's
47 certainly a topic for the review workshop.
48

1 It's just sort of standard things that the review workshop, the
2 CIE team, would be asking of the process.
3
4 **RICHARD APPELDOORN:** Well, it looks okay to me again, and I'm not
5 seeing any other hands up. So, we can go to the next.
6
7 **KEVIN MCCARTHY:** Okay. Next.
8
9 And again, just a series of questions for the reviewers in the
10 workshop.
11
12 **RICHARD APPELDOORN:** Right. Again, I think I'm seeing that we can
13 move on. There's a great-
14
15 **KEVIN MCCARTHY:** Okay, next. Yeah, these are borrowed from other
16 terms of reference from previous SEDARs. Then some questions about
17 how robust the results of the assessment might be.
18
19 **RICHARD APPELDOORN:** It's included in these that there's an
20 assessment of the caveats to answering those questions? Is that
21 assumed in the-
22
23 **KEVIN MCCARTHY:** I think that's assumed. So, particularly, in a,
24 you know, given that- I mean, I could read that as, you know,
25 develop- you know, given the caveats are the results useful to
26 inform management? So, I think that's a fairly wide-open
27 interpretation there.
28
29 **RICHARD APPELDOORN:** Okay. Again, not seeing any other people
30 commenting. So, let's move on.
31
32 **KEVIN MCCARTHY:** So again, questions about uncertainty and research
33 recommendations.
34
35 **RICHARD APPELDOORN:** Okay, I think we have a silent agreement
36 there. Let's move on.
37
38 **KEVIN MCCARTHY:** So, opportunities to provide some guidance for
39 improvement in both the SEDAR process and the assessment modeling.
40 Then a summary of conclusions and recommendations. That's
41 something that the CIE reviewers do, that 8- well, all of this.
42 But they are also responsible for preparing any documentation.
43
44 **RICHARD APPELDOORN:** I have an issue with the English in number
45 six. It sounds to me like "which" should really be "that." Other
46 than that, it looks fine.
47
48

1 **KEVIN MCCARTHY:** Okay. There's always a (unintelligible) but that's
2 helpful. So, any questions about what we've seen so far? Because
3 from here on out I'm just going to walk you through sort of a
4 condensed or a highly edited timeline. I didn't go through
5 absolutely everything that needs to be done in a benchmark but
6 some of the highlights. If not, we can move on to the next slide.

7
8 So, terms of reference approved, which is we're getting your side
9 of it. It would then go back to the Science Center and then it
10 would be sent off to SEDAR. That's what we're trying to do here in
11 October.

12
13 We talked about workshop appointments. So, I'll be working- I think
14 you all have the opportunity to appoint some SSC members to be
15 involved in the process, which will be really helpful. I'll work
16 with the Council staff and SEDAR staff to get some additional
17 appointments. Hope to get all that done this month.

18
19 We need to be concerned about management history. We've got a
20 mechanism for getting that together. That'll be Council staff and
21 Science Center staff.

22
23 Then no rest for the weary. We're right now scheduled in mid-
24 November to begin data scoping calls. And then in a data scoping
25 call, we're identifying data sources and providers of those data.
26 And we review the timeline for data delivery.

27
28 Next slide, unless there are questions.

29
30 Then we've got some data deadlines. Unprocessed data is in mid-
31 February. Those are things like QA/QCd length comp data, NCRMP
32 data, and other data sources where we want to start to get that
33 together. Landings data. We don't have a lot of recreational data,
34 but there are some in Puerto Rico. Unfortunately, that's not
35 ongoing, but work is being started to get that up and running
36 again.

37
38 Then there are a couple of life history webinars that are in the
39 second half of February. One for Yellowtail and one for Stoplight
40 Parrotfish.

41
42 Next slide.

43
44 Length comp data will be finalized in mid-March. We need not only
45 the tip data and other sources of length data, but we also need
46 the commercial and recreational landings to do that work. Working
47 papers submitted to SEDAR in early April. And then right now the
48 data workshop is an in-person workshop that's scheduled.

1
2 I think we need more days than that, but I'll- we probably, we
3 might- I can't remember what we discussed, Julie, so I'm sure this
4 is what we did discuss. So right now, it's scheduled for three
5 days. Those are three full days. I guess the day before and the
6 day after will be travel days for folks. And so that's scheduled,
7 you know, mid-April right now.

8
9 Next slide.

10
11 Then we get final analytical products to the assessment lead in
12 the beginning of May. We get a final data workshop report at the
13 beginning of June, that goes to SEDAR, and then is distributed.
14 There are a lot of steps to get to all of these, but I spared you
15 that level of detail.

16
17 The assessment workshops will, again, be a series of webinars from
18 June through October. Again, it's an extended period because we've
19 really got three assessments we're walking through. Then, we get
20 an assessment report in January. We'll have a review workshop.
21 It's scheduled in my Miami in February or for Miami in February.
22 And then the report to the Council in March or April of '24.

23
24 So, this is a long process. You know, I certainly hope that as we
25 do more of these, we will reduce this timeline. That's certainly
26 something that Clay would like to see. I think that all of us would
27 like to get through the process as rapidly as possible while doing
28 the best work that we can.

29
30 I think that's the last slide.

31
32 **LIAJAY RIVERA GARCÍA:** Yes.

33
34 **KEVIN MCCARTHY:** Okay, so once that- so this is the end of the
35 SEDAR process, and then there would be SSC review after that
36 assessment report goes to the Council. So that's- an SSC review is
37 really outside the SEDAR process as I understand it. Julie can
38 correct me if I'm wrong about that, but it's not the end of the
39 review of the assessment. It's just the end of the SEDAR part. And
40 then it goes to you all for your review much like we've been doing
41 the last couple of meetings. But, hopefully, it's a single meeting
42 because we've gone through this lengthy process. Some of you will
43 have been involved throughout the process, I hope. And you know,
44 it'll be much more of a presentation for you all to do your review
45 in a single meeting.

46
47 So, any further questions or concerns, or comments? I see
48 Graciela's hands up.

1
2 **GRACIELA GARCÍA-MOLINER:** Sí, Mr. Chair if I may. So, Kevin, one
3 of the things for people to- once they sign up or are assigned to
4 the different groups, the data, the assessment, the review,
5 etcetera, to follow through during all of the meetings so that we
6 don't lose the continuity of the work that it's being done. So,
7 you know, data and assessment people go through all of the
8 meetings, right?
9
10 **JUAN J. CRUZ MOTTA:** Graciela, sorry to interrupt. Rich is having
11 issues communicating I don't know if there are technical problems
12 on that side that you could help us with.
13
14 **KEVIN MCCARTHY:** Yeah, I agree completely. It would be really
15 helpful to have SSC involvement throughout the process so that a
16 couple of SSC members have seen the data discussions and have seen
17 the modeling discussion and be aware of the questions that came up
18 during the CIE review. So, that would be really helpful to provide
19 some background to the SSC in general.
20
21 So, you're absolutely right about participation and Marcos has a
22 comment along the same lines in the chat. So, it's very helpful to
23 have folks who are assigned to really be involved and follow
24 through.
25
26 **RICHARD APPELDOORN:** So, I'm back. Are we talking about
27 appointments to the process from the SSC?
28
29 **KEVIN MCCARTHY:** We're certainly talking about the importance of
30 SSC appointments and their involvement in the process.
31
32 **RICHARD APPELDOORN:** Graciela, that's the next item agenda.
33 Appointments from the SSC. So, is that something you're actually
34 doing now?
35
36 **GRACIELA GARCÍA-MOLINER:** Yes, please. I mean, because it's better
37 if people volunteer for this. So, Yellowtail Snapper for Puerto
38 Rico, Saint Thomas-Saint John, and Stoplight Parrotfish for Saint
39 Croix. So, we need three SSC members for the data and assessment
40 workshops.
41
42 Ideally, they would go from the data all the way to the assessment,
43 but that's not a complete requirement. And then the appointment
44 for the review panel. I mean, you would recommend who the people
45 would be to the Council, and they will make all the appointments.
46
47 **RICHARD APPELDOORN:** But we have a year before we get to the review
48 panel and the make-up of the committee might change by then. So,

1 I would suggest we're not going to make those recommendations yet.
2 We're looking towards the deadlines for the- What was it, the
3 deadlines for the assessment workshops? Kevin?

4

5 **KEVIN MCCARTHY:** The assessment or the data workshop?

6

7 **RICHARD APPELDOORN:** The data.

8

9 **KEVIN MCCARTHY:** The data workshop comes first. Yeah. So that's in
10 April. But I would also say that whoever volunteers or is otherwise
11 appointed at least for this first phase, ideally, will be involved
12 in the various calls and webinars that occur prior to the data
13 workshop.

14

15 So, there's a data scoping call that'll come up in mid-November.
16 There are some life history webinars that are in the second half
17 of February. So, ideally, they would be involved in all of those.
18 There's no, you know, those are all calls or webinars, so there's
19 no travel involved. I realize people's time is limited but it is
20 really helpful to have people involved in each of those phases.

21

22 I would say that in the Gulf or the South Atlantic, and Eric could
23 correct me if I'm wrong, for the South Atlantic, it's typically
24 one or two SSC members that are involved in the process. I think
25 there are oftentimes, and I may again be wrong on this, but I often
26 see Council members who attend the workshop as well. So, if I'm
27 wrong on that, Eric or Shannon or Nancie, or Adyan, please let me
28 know. But that's my recollection of being involved in this process.

29

30 **JULIE NEER:** Hi, this is Julie. Can I chime in for a second?

31

32 **RICHARD APPELDOORN:** Yes, go ahead, Julie.

33

34 **JULIE NEER:** Yeah. You know, we try and get all the appointments
35 at once. If we can't that's totally understandable. I want to just
36 refresh everyone's memory that if you serve on a panel for data
37 and or assessment, you cannot serve as the reviewer at the review
38 stage. You could serve as the chair of the review workshop, but
39 you could not be one of the SSC-appointed reviewers.

40

41 So that's part of- does everyone think about that? What stage of
42 the process they might wish to be a part of? You can't be a reviewer
43 if you also help make all the decisions leading up to the product
44 for review. Just a quick FYI and a reminder with regard to that.
45 Thanks.

46

47 **RICHARD APPELDOORN:** Thank you, Julie. Shannon?

48

1 **SHANNON CASS-CALAY:** Yes, thanks, Rich. So, I think Julie is
2 basically still my funder. Thanks, Julie. I think it is very
3 important though, that we have some SSC representation in the data
4 stages of this process as well. Especially if you are aware of
5 data sets or scientific findings that might be relevant to these
6 assessment processes. You know, the earlier we can receive that
7 information, the better, in terms of trying to integrate that
8 information into the stock assessment.

9
10 **Appointments of SSC members**

11
12 **RICHARD APPELDOORN:** So, considering that things are going to start
13 in mid-November, according to Kevin. That means we need to get
14 some volunteers out now prior to our next meeting. So, I'll start
15 with, are there any volunteers for the data process, the data
16 workshop, and the things that lead up to that? And if not, I will
17 probably have to harass some people. I guess I would do that over
18 the next couple of days and then get that information to you guys
19 on the Council as to who our recommendations would be. So, I'm not
20 overwhelmed by volunteers at the moment. I'd just rather do the
21 harassing offline than online.

22
23 **GRACIELA GARCÍA-MOLINER:** So, Mr. Chair if I may. So, you know,
24 the Council will be looking into industry members who will be part
25 of, especially the data process. Most of them will go through the
26 whole data assessment and review. So that's something that the
27 Council will be doing. So yeah, in the next few days, please
28 volunteer or make the appointment so that we can recommend it to
29 the Council and see who's involved.

30
31 **RICHARD APPELDOORN:** Okay. So, I guess that- Julian.

32
33 **JULIAN MAGRAS:** Yeah, good afternoon. I would just like to make a
34 recommendation that all the DAP chairs be included in the process.
35 Because especially since we go into island-based fishery
36 management plans and each one of us has our own knowledge of each
37 one of those fisheries I think it would be of great interest to
38 have us involved in the process.

39
40 I've been involved in almost all the processes already, but it's
41 just to ensure that recommendations can be made to the Council.
42 That would be greatly appreciated. Thank you.

43
44 **RICHARD APPELDOORN:** Thank you, Julian. Kevin?

45
46 **KEVIN MCCARTHY:** Yep. Thank you. So, Julian, yeah, I agree with
47 you that we definitely need to get people whose expertise is in
48 these particular fisheries, Yellowtail, and Stoplight. So, whoever

1 those fishers might be, if they're the DAP chairs, that's great.
2 If they're other fishers, you know, those are the folks that we
3 need. You know, whoever are the experts in those particular
4 fisheries are the folks we'd like to have involved.

5

6 **JULIE NEER:** Hey, Rich, this is Julie. I still can't-

7

8 **RICHARD APPELDOORN:** Go ahead, Julie.

9

10 **JULIE NEER:** Sorry, thanks. I just wanted to let people mull over
11 as you're thinking about, you know, how you'd like to be involved
12 as SSC members. The way this is set up with your involvement in
13 the process and during the entire process, what you guys have been
14 doing for this review now is not what you're intended to do when
15 you review a benchmark product.

16

17 That product has gone through a review. You're not to re-review
18 it. You're supposed to review, you know, look at the results and
19 the information, the reviewer has provided to you. So, your ability
20 and your opportunity, I should say, to participate, we want it
21 front-loaded. We want it as part of the process, not expecting
22 that you're going to get free SSC meetings to redo the assessment
23 at the end.

24

25 So, you know, I know you have some new SSC members who may not
26 have been through SEDAR processes, but it's a different process in
27 terms of the type of assessment and where we want your feedback.
28 And so, we're hoping to get your feedback front-loaded more than
29 at this point, at the end, and have the Science Center go back and
30 redo things to address your concerns. We want your concerns brought
31 to us earlier.

32

33 So, I just want to make sure everyone understood that when you're
34 looking at your schedules and potentially volunteering for one or
35 all of the steps. And you can just do data if you can't do data
36 and assessment, or you can just do assessment. We understand that
37 time is important for everyone. So, thanks.

38

39 **RICHARD APPELDOORN:** Thank you, Julie. As I said, seeing no
40 volunteers I will start harassing people and find some volunteers
41 to the best of my ability. So, I suggest we then move on to the
42 next agenda item.

43

44

45 **LIAJAY RIVERA GARCÍA:** Yeah, allow me a second.

46

47 **RICHARD APPELDOORN:** And that's the island-based fishery
48 management plan update. María, are you giving that?

1
2 **MARÍA LÓPEZ-MERCER:** Yeah, I was just waiting for your cue. Cause
3 I see there were other things too.
4

5 **LIAJAY RIVERA GARCÍA:** Okay. Allow me a second. I'm just uploading
6 that document on the screen.
7

8 **Island-Based Fishery Management Plan and Amendments Update** 9

10 **MARÍA LÓPEZ-MERCER:** Alright. Good afternoon, everybody. This is
11 María López with SERO Sustainable Fisheries Division in the
12 Caribbean branch. I was asked to give an update on the island-
13 based FMPs. Where we are right now in the process and also the
14 status of some of the amendments that are currently ongoing for
15 the island-based FMPs.
16

17 I have one slide that I want to show to you, which is the next
18 one. Please, Liajay.
19

20 This is just a list of all of the amendments and the plans and the
21 statuses. So, I'm going to discuss each one of them pretty quickly
22 because I know that we are a little bit behind on time.
23

24 So, the Puerto Rico FMP, San Croix FMP, and Saint Thomas/Saint
25 John FMP, or the island-based FMP, have been- the final rule was
26 published on September 13. It will be effective on October 13th,
27 2022, so next week. After that, the old plans which are the reef
28 fish, Spiny Lobster, corals, and the Queen Conch are not going to
29 be used anymore and we are going to be moving on to island-based
30 management and everything that it needs.
31

32 With that said, that means, that every single one of the amendments
33 that we are working on right now are going to be amending all of
34 these plans, or each one of the plans, depending on the actions.
35 So, the list that we have here is all of the actions that we're
36 currently developing. They're in different stages of progress,
37 depending on the Caribbean Council's priorities.
38

39 The first one is the generic framework amendment to the island-
40 based FMPs. This is the Spiny Lobster reference points. This is
41 the one that updates the reference points based on SEDAR 57. The
42 status of this one is that it has been submitted by the Council on
43 September 26th, 2022. When we say submitted, it means that this is
44 the final version, like no more changes, etcetera. Everything is
45 good to go. The Council basically submits it to NMFS. Then
46 officially the National Mayor Fisher Service starts working on the
47 proposed rule stage. And that proposed rule is currently being
48 drafted right now.

1
2 Another one of the amendments that we have currently ongoing is
3 the Buoy Gear Definition and Use. This one is the one that will
4 allow the use of buoy gear only for the commercial sector. So, it
5 prohibits the use of buoy gear for recreational. Then it will allow
6 up to 25 hooks on buoy gear for the commercial fishers. So, this
7 one we're still working on a couple of minor details, but it will
8 be submitted by the Council soon. And then the next stage will be
9 drafting the proposed rule.

10
11 So, these are, these two amendments we're hoping could be out at
12 least the proposed rule and final rules before the end of the year.
13 That depends on, of course, how long the proposed rule phase takes,
14 which is the one that usually takes a little bit longer. But
15 they're all being worked on right now.

16
17 Another amendment that is in the works, although at a different
18 stage, is another amendment to the island-based FMPs. This one is
19 dealing with the trawl gear, net gear, and descending devices.
20 This one, as you may recall from other Council meetings, may
21 prohibit the use of all trawl gear in the U.S. Caribbean EEZ, or
22 alternatively in the marine-managed areas. That's a decision that
23 the Council will need to make. It may also prohibit the use of
24 gillnets, trammel nets, and purse seines in the EEZ. As you recall,
25 the gillnets and the trammel nets are already prohibited for reef
26 fish and Spiny Lobster. However, they are not prohibited for use
27 for the pelagic species that are new to management now. So, this
28 action aims to do that and perhaps, put a more general prohibition
29 on its use for other species as well. This is not related obviously
30 to HMS, which are not things that we manage.

31
32 Purse seines is another one that the Council was interested in
33 doing a prohibition in the EEZ. I mean, this is a gear that it's
34 not necessarily, is not used in the EEZ, at least for our species.
35 But the Council is interested in being proactive for any potential
36 future use.

37
38 Now, another thing that came at the August Council meeting was the
39 use of assembly devices. So, the Council wanted to include in this
40 amendment that was on the work, a requirement for having the
41 descending devices rigged and ready when fishing or possessing
42 reef fish in the EEZ.

43
44 So, these are three actions that are going to be included in this
45 amendment. The status of this one, the IPT was formed. They have
46 met a couple of times. Right now, there's a draft that is being
47 developed for the Council, and the Council will be able to select
48 preferred alternatives soon.

1
2 Another amendment that's on the work is another generic amendment.
3 It is the pelagic management measures. This one may establish
4 recreational bag limits, commercial trip limits, and/or
5 recreational and/or commercial size limits for pelagic stocks.
6 There are several decisions that need to be made. For this one,
7 there's an IPT that has been formed and there is a draft that is
8 being developed for the Council review as well.

9
10 Now the next actions that I'm going to mention are actions that do
11 not have an active development of an amendment per se, because
12 they're still too early, or the direction that the Council has
13 taken right now is not conducive to doing an amendment. Mostly
14 because it depends on the, of course, the priorities and workload,
15 etcetera, and interest from the Council doing it.

16
17 So, number one will be the development of a federal permit system.
18 This basically will revive the action that was tabled in 2016. If
19 you might recall, back then there was a discussion about creating
20 federal permits. This was back in 2013, and this was a discussion
21 that was done from 2013 through 2016. That was tabled because the
22 Council wanted to have the island-based fishery management plans
23 in place before moving forward and get a little bit more
24 information to be able to do this. This is something that is a
25 Council priority, and we all know that it's needed.

26
27 So basically, this one would evaluate either the use of general
28 permits or limited permits or any other combination of permits
29 that the Council deems necessary. So right now, the IPT is under
30 the selection process, and then there's going to be a scoping paper
31 presented at the Council meeting. This scoping paper is going to
32 have information from before from everything that was discussed,
33 and it will be updated. The Council has not expressed anything
34 other than wanting to do maybe some pilot project, etcetera. So,
35 it's important for them to see what we did in the past and see
36 where they want to move forward with this because many years have
37 passed.

38
39 Next is the trap reduction plan for the U.S. Virgin Islands. This
40 is another action that was brought to the Council's attention.
41 This one is about evaluating compatibility with the trap reduction
42 program that is in place in the U.S. Virgin Islands. The Council
43 requested a presentation with the issues for the December meeting.
44 This is something that has been discussed in the past as well.
45 However, there were some discrepancies between the U.S. Virgin
46 Islands regulations and the federal, that need to be addressed
47 before something like these could move forward.

48

1 The last two actions have to do with Red Hind. One of them is the
2 timing of seasonal area closures for the Red Hind Grouper in the
3 Puerto Rico EEZ. This was a discussion paper. The last time that
4 it was discussed at the Council was in December 2021. The Council's
5 direction was to have some informational workshops with fishers to
6 obtain more information and also do some more data requests and
7 some of the things are pending.

8
9 The last one is the modification of Red Hind seasonal closures in
10 the EEZ of Saint Croix. The task will be to develop a scoping paper
11 to evaluate modifying the Red Hind closure that is in the area of
12 Lang Bank to allow fishing for pelagic species during that closure.
13 And this is another action that is pending further discussion. The
14 status is, well, at the April Council meeting it was discussed
15 this request camp, and then SERO staff has been conferring with
16 HMS staff, as recently as in the summer of '22. So, this is pending.

17
18 Again, there may be other actions that have been discussed in other
19 Council meetings, but these actions may be a little bit more
20 important at this time. And of course, the development will depend
21 on the Council's priorities.

22
23 So that's it. If there are any questions.

24
25 **RICHARD APPELDOORN:** Any questions from the committee or comments?
26 Okay. I'm not seeing anything. So, thank you very much, María.

27
28 **MARÍA LÓPEZ-MERCER:** Okay. Yep.

29
30 **RICHARD APPELDOORN:** It's really good news to hear that next week
31 we'll have island-based plans.

32
33 **MARÍA LÓPEZ-MERCER:** I agree, finally. It's been a really long
34 process and I want to thank everybody that has been involved
35 through all these years. So, looking forward to new things.

36
37 **National SSC (August 15-17, 2022) Update**

38
39 **RICHARD APPELDOORN:** So, the next item on the agenda is what we're
40 calling the National SSC meeting, which took place in Alaska in
41 August. There's been a slight change, well, several slight changes
42 for that. So, I remember the case study that we presented, or
43 actually, J.J. presented, is not going to be presented to the
44 committee now. That'll be done later on when we meet in person
45 because it's really important to have that kind of give and take
46 that we really can't do as well online.

47
48 Also, unfortunately, I grabbed the wrong folder this morning when

1 I left for someplace with internet. And so, I don't have my notes
2 on the meetings, so I'm just going to have to wing this a little
3 bit and maybe J.J. can step in to help me with that.

4
5 So, the focus of the meeting was on EBFM approaches, focusing
6 really on stock assessment. Typically, in SSC meetings we have
7 really high-end people coming in and talking about really high-
8 end models that don't really apply to our situations here in the
9 Caribbean. However, in some cases this was different.
10 Nevertheless, there were a number of people who were presenting
11 models that were incorporating the effects of the environment and
12 different competing, or prey or predator, species and looking at
13 those impacts on a particular stock. So, all the assessments that
14 we saw, or I should say attempted assessments that we saw, were
15 all still single species directed. But they were bringing in a lot
16 of other factors that might affect that particular species.

17
18 None of them, to my recollection, actually were operational. That's
19 to say that they ended up being accepted for management advice.
20 But they were looking at quite a number of different ways to try
21 and approach looking at various aspects of the environment.

22
23 One of the things that came up as kind of a focus area in terms of
24 the environment was climate change. This is going to play back a
25 little later when we, either in this meeting or the next one, talk
26 about climate change and assessments. But most of what we were
27 looking at were the effects of large-scale changes in
28 distributions. By large scale, I'm talking hundreds, if not a
29 thousand kilometers, scale change in the distribution of where
30 fish were and where they are now. Or occasionally where they get
31 restricted to during essentially marine heat waves. And the changes
32 that they look at, at those scales are indeed large. Here in the
33 Caribbean if we look at the Puerto Rico/Virgin Islands platform
34 our North-South range is something on the order of, I don't know
35 what, 60 miles.

36
37 So, it's a whole different scale that they were discussing at these
38 meetings relative to the kinds of ways that climate change is going
39 to affect our species and perhaps how we do our assessments as
40 things become more obvious in terms of how these changes are
41 affecting us.

42
43 Now, one thing- I have to find it, excuse me. Here we go. One thing
44 that impressed me, and I talked to J.J. who is also of the same
45 opinion, was a presentation that was given by Sarah Gaichas who
46 works for the Northeast Center. While everybody else was talking
47 about how to do these models and eventually, someday we might be
48 able to get something that's actually giving management advice.

1 She took a very different approach and was trying to develop on
2 behalf of the Mid-Atlantic Council a system of ecosystem
3 information and catch recommendations that would give more general
4 advice to the Council. So, you know, this advice would fit into a
5 number of places in the management process. We were really
6 impressed by that.

7
8 My major takeaway from the meeting was it would be extremely
9 valuable to have Sarah present, basically, her presentation to the
10 Council, FSC, and EBFM Tap. Because it was a way of trying to get
11 that information into the modeling system that was not necessarily
12 derived from complicated models that would not be possible.

13
14 J.J., you want to add to that a little bit.

15
16 **JUAN J. CRUZ MOTTA:** Yeah. Thank you. I have feedback. Anyhow it
17 doesn't matter. Expand on what Rich was saying for- sorry, can you
18 mute your mic, please? Thank you. Now I'm fine.

19
20 Yeah. I just wanted to expand on what Rich was saying. We took
21 from that meeting a couple of main messages. One of those that was
22 highlighted during Sarah's presentation is that we need to come up
23 with complementary information to the stock assessment we have
24 been doing to help inform the management process. The reason why
25 Rich is proposing to invite Sarah is that she provided specific
26 examples that would be those alternative tools or exercises that
27 could help the management process.

28
29 The other lesson was that what we believe is peculiar to the
30 Caribbean, which is a multi-specific fishery with multi stressors
31 affecting those fisheries with multiple objectives being
32 overlapped on the areas where these fisheries happen, is not unique
33 to the Caribbean. Many other regions, including the western
34 Pacific, shared that. Even though a lot of them, or most of the
35 talks during the joint SSC had to do with multi-specific models,
36 what we learned is even the most sophisticated, and I was really
37 impressed by the nice models brought up by a colleague in
38 Australia, even those sophisticated model will not even get close
39 to predict the reality in the Caribbean. In this case, what I
40 mentioned before in the West Pacific. So based on that, it's not
41 only the Caribbean that would need to come up with new or
42 complementary information to manage the fisheries. Other regions
43 would benefit from that.

44
45 What will make the Caribbean unique is, I mean, based on the
46 conversation with colleagues from all the regions, this is a nice
47 experimental setup to propose these complementary approaches. The
48 fact that we are small, the fisheries are artisanal, 100%

1 artisanal, it happens mostly in the coastal zone, and is strongly
2 related to the habitat. I mean, most of these managed species are
3 related to the reef or habitats related to the reef. Provides the
4 Caribbean a uniqueness in which we can develop these complementary
5 approaches that could help the management of fisheries that are
6 multi-specific.

7
8 So basically, to summarize the lessons that we learned during that
9 meeting. One is the need to come up with complementary approaches.
10 Second that the Caribbean, even though has been traditionally
11 criticized as that type of region where not much advance has been
12 done, in this particular case, could provide a unique setting to
13 come up with these complementary approaches. That's the two
14 messages that I would like to convey from that meeting. Thank you.

15
16 **RICHARD APPELDOORN:** And just as a commentary. You're going to
17 hear this presentation at a later meeting. The case study that
18 J.J. presented, which is the work coming out of the Lenfest-
19 sponsored work in conjunction with the Tap, and everything was
20 very well received. It was very different than what most people
21 were doing but it was very well received as an approach that, I
22 guess, others had not really considered. So, I think we really
23 have something to offer the rest of the Councils in that regard.

24
25 So I'd like to have the committee support a recommendation that
26 Sarah Gaichas be invited to present jointly to the Council, the
27 SSC, and the EBFM Tap. Basically, the presentation that she gave
28 at the SCS7 meeting in Alaska. So, I'll ask if anybody has an
29 objection to that. J.J., do you have your hand up, or not?

30
31 **JUAN J. CRUZ MOTTA:** No, no, I don't.

32
33 **RICHARD APPELDOORN:** So, I'm going to take the silence here to say
34 that there's an agreement that we're recommending-

35
36 **LIAJAY RIVERA GARCÍA:** Mr. Chair?

37
38 **RICHARD APPELDOORN:** Yeah.

39
40 **LIAJAY RIVERA GARCÍA:** If it is okay with you, I can drop here the
41 link for Sara Gaichas' presentation at the meeting.

42
43 **RICHARD APPELDOORN:** Okay.

44 **LIAJAY RIVERA GARCÍA:** Okay. And will the invitation to Sara
45 Gaichas will be for the next SSC meeting or at her convenience for
46 a future meeting?

47
48 **RICHARD APPELDOORN:** Well, the recommendation would be a

1 presentation to the Council, the SSC, and the EBFM Tap. So, yes,
2 I'm sure she would be giving that a zoom.

3

4 **LIAJAY RIVERA GARCÍA:** Okay, thank you.

5

6 **RICHARD APPELDOORN:** It would, I guess, take a while to get
7 everybody on the same page for when that would be. Much of her
8 presentation is, in fact, oriented to things that the SSC would
9 normally have to work on within the process. But I think it takes
10 to Council to kind of say, yes, we want our committee to kind of
11 start implementing something like that. Cause there were some
12 things that needed to be done. And again, J.J. might elaborate on
13 this, but there was, they were doing some- J.J. what were they
14 called? Ecosystem status reports or something like that?

15

16 **JUAN J. CRUZ MOTTA:** No, no, it's called the Fisheries Status
17 Report, which is one of the tools they presented as complementary
18 to stock assessment to inform management. By the same token,
19 another tool, they were not using but she talked about it, is the
20 ecosystem status report. Two different types of reports are
21 complementary to stock assessment to inform management. Thank you,
22 Rich.

23

24 **RICHARD APPELDOORN:** Okay. Thank you J.J.,

25

26 **JUAN J. CRUZ MOTTA:** To mention. A lot of the tools she talked
27 about, which is interesting, take into consideration what we call
28 non-traditional knowledge, or local knowledge, from different
29 types of stakeholders. It's a shame Tarsila is not here today
30 because she could expand on that a little bit. Thank you, Richard.

31

32 **RICHARD APPELDOORN:** So, either Graciela or Liajay, you captured
33 the essence of the recommendation.

34

35 **LIAJAY RIVERA GARCÍA:** Yes. I have here the SSC request to Sarah
36 Gaichas to be present for the EBFM Tap, SSC, and Council meetings.
37 If there's anything else you want me to add, just let me know.

38

39 **RICHARD APPELDOORN:** Oh, her presentation or that was given at the
40 SCS7 meaning or modification? They out of, Okay,

41

42 **GRACIELA GARCÍA-MOLINER:** Mr. Chair let's take together after the
43 meeting if the SSC is recommending this because it might be a good
44 opportunity to have also J.J.'s presentation at the same meeting
45 and perhaps the ESR if Mandy is ready by then. So, let's talk about
46 it afterward if it's okay with you. Have like a mini workshop type
47 of thing, the one day of these updates.

48

1 **RICHARD APPELDOORN:** Yeah. Our recommendation is to have this kind
2 of presentation. I think the format in which it might best be done,
3 I would kind of leave to the Council, or Council staff actually,
4 which comes down to you, I guess. J.J.?
5

6 **JUAN J. CRUZ MOTTA:** Thank you. Yeah. This is not up to us, to
7 recommend. I mean, because this has to do with another advisory
8 panel, which is an EBFM Tap. But it will be a personal
9 recommendation to the Council to set up a meeting of that group.
10

11 Because based on what we learned during this joint meeting Tarsila,
12 Stacey, and I would like to propose a roadmap, which includes some
13 of the tools that we learned about during that meeting. But of
14 course, it's not up to SSC to recommend that. It's just a personal
15 recommendation for the accounts. Thank you.
16

17 **RICHARD APPELDOORN:** Thank you, J.J. Any other thoughts on this?
18 If not, I'm going to interject something here. We're actually close
19 to being on schedule, believe it or not. And we're scheduled for
20 a break at three, which is 12 minutes from now. And so, I'd like
21 to take the time between then and now to go back to an issue I
22 raised yesterday concerning a written response to the issue of the
23 conflict-of-interest charge that came up from the last meeting.
24

25 And so, what I'll do, just for Kate's sake, if you have a copy of
26 the transcripts. you can find the pertinent discussion in the
27 committee on the second day. So, the file is SSC second day Augusto
28 Segunda parte, or second part, I'm not quite sure of that. In mine
29 is parenthesis two. And the initial chat comment that was read
30 into the record is found on the line that is labeled S403:26:09.
31 So, I think that's three hours and 26 minutes into that afternoon's
32 discussion. Todd's specific request for a written resolution is
33 found online, S703:38:54.
34

35 This was brought up in the Council meeting that this had occurred
36 and that we were requesting a written resolution or statement as
37 Todd had, and as you've noticed, has said that he would- well,
38 he's still listening to the meetings and that he would refrain
39 from commenting from SSC procedures and discussions until such
40 time that this was cleared up.
41

42 So, I think it's important for this committee to have Todd's input,
43 especially for the kinds of stuff we just spent the last day and
44 a half working on. So that's what we're looking for. There is a
45 follow-up to Todd's comment where Jocelyn says, yes, this is
46 possible. So, I don't know whether that was ever communicated to
47 Kate or not. But it's in the record. So, Kate?
48

1 **KATHERINE M. ZAMBONI:** Yes, sir. Thank you. I tried to convey
2 yesterday that it's not really the role of NOAA's Office of the
3 General Council to weigh in on specific individuals' conflicts of
4 interest. As I understand, the way this came up, it's not as though
5 Mr. Gedamke claimed to- He did not think he had a conflict.
6 Normally, that's how a conflict is addressed, somebody's concern
7 that there's an interest that they have and that it should be
8 disclosed. If they want to get written confirmation or ruling, if
9 you will, on whether or not a conflict exists, the appropriate way
10 to do that is through the Department of Commerce's, Legal Ethics
11 Division or Department.

12
13 Those lawyers are very skilled at weighing through those types of
14 issues. They're the only ones that really, in my mind, could do a
15 written response to a specific set of facts. In this case, it was
16 somebody else that asked a question, and I don't think that
17 question- I have read- I don't have the transcript in front of me,
18 but I do have a copy of the chat, I think, that raised that
19 question. I think the question came from a place where maybe the
20 term, conflict of interest, wasn't completely understood, hence
21 the need for some additional guidance on what those conflicts mean.
22 But, to the extent there's a need for anything in writing, I stand
23 by the letter that the executive director wrote in response to the
24 Chair's request with a number of issues.

25
26 Based on the guidance that we are working on and the facts as
27 presented we don't believe that it rises to a conflict of interest.
28 There's no requirement that he refrain from participating in
29 discussions. I understand that that's his personal choice at this
30 point, but I agree with you that his input's important and invite
31 him to further engage. I don't really think there's anything more
32 to be said on the matter at this point.

33
34 **RICHARD APPELDOORN:** Okay. Thank you, Kate. I think actually Todd
35 is not online at the moment because he had some kind of medical
36 appointment that took him away and I'm not sure that he's back
37 yet.

38
39 **GRACIELA GARCÍA-MOLINER:** Mr. Chair, Todd Gedamke is online. He has
40 his hand raised.

41
42 **RICHARD APPELDOORN:** Oh, okay. Sorry, I didn't see you, Todd. Go
43 ahead.

44
45 **TODD GEDAMKE:** Richard. I'm here. Kate, that is a really fantastic
46 explanation of what happened at our last meeting, but you're
47 ignoring everything else that has happened in the previous years
48 over this, which is stated on the record. We also have GC Council

1 stating that they will work with me on a written response. And I
2 have emails to you specifically requesting the statements.

3
4 My statements are not a legal conclusion. My request is very simply
5 that on these three occasions, not just this last little one, this
6 has been going on for many years and the Council and GC have not
7 provided any buffering of an individual to provide their own
8 opinion. To provide their take on science without having lash backs
9 in the public forum.

10
11 The record is being used, and this swarm is being used to make
12 personal attacks repeatedly upon individuals and members that are
13 part of the SSC. This has already been discussed. So, my request
14 is very simple, and I wrote it to you, specifically, and Jocelyn
15 and I laid it out exactly. I have not received a response from
16 Kate, you nor Jocelyn nor Miguel on this.

17
18 So, you can say whatever you want publicly here, and verbally, but
19 this needs to be resolved. You have people, you have a situation,
20 and multiple conflicts of interest have been accused in this case.
21 And Kate, if you search your email, you will see the issue here.
22 Not that this letter is the issue. This is a much, much bigger
23 issue. And Jocelyn on the record, as Richard just pointed out,
24 during the last meeting, told me that this would work.

25
26 So, all I want is on this date, these people, I have not been
27 informed. These are all things on the record. These are things
28 that have been stated previously by the Council because this is
29 insane that we are allowing people to just make- I mean, I can say
30 something right now, four or five things right now that will be
31 interpreted in a different- excuse me, I'm just going to stop right
32 there.

33
34 This forum is being allowed for people to make false allegations
35 repeatedly on the record with no accountability. There you have
36 the impotence of the Council if we end up in that situation. We
37 need to be able to make our own decisions regardless of people
38 standing up there and attacking us given this forum.

39
40 I really hope that I can get not this grand legal opinion that
41 you're talking about, Kate. Not this grand thing that has to go to
42 other people. Just protect the institution of the SSC by not
43 allowing members to make false allegations on the record. And when
44 they do, there needs to be repercussions and accountability. Thank
45 you.

46
47 **KATHERINE M. ZAMBONI:** Mr. Chair. May I respond to that?
48

1 **RICHARD APPELDOORN:** Yes, Go ahead, Kate.
2

3 **KATHERINE M. ZAMBONI:** I certainly understand where you're coming
4 from. Regarding a number of the points that you made, we're very
5 much aware of the personal attacks that have been made on the
6 record, and there is an effort to quell that. I appreciate you
7 showing some restraint. I'm sure there was more that you wanted to
8 say. The Chair read a kind of rules, if you will, of conduct that
9 is going to be expected moving forward, and that's part of the
10 effort to stop the discussion from becoming one that engages in
11 personal attacks.
12

13 I agree with you, that when one alleges a conflict of interest of
14 a participant, that constitutes a personal attack. That really
15 does interfere with the important work that this committee needs
16 to do and we're going to really try to dissuade people from doing
17 that.
18

19 I know that it was read what Jocelyn said on the record, that she
20 thought something could be done. And I, having talked to her, know
21 what she had in mind. It is the letter that was provided to the
22 Chair. She believed that that resolved the matter, and she did not
23 think that it would be appropriate, and I agree with her, for our
24 office to provide anything more specific on that. The main reason
25 is I don't know that we have all the correct facts to make a
26 determination. So, everything I have to say has to be caveated,
27 you know, based on the information I have available to me.
28

29 I don't believe there was a conflict of interest. I don't even
30 think there was the appearance of a conflict of interest. My hope
31 is that once people understand what it means to have a conflict of
32 interest, it will no longer be used as a way to make those types
33 of personal attacks that have become so distracting. And that's
34 all I have.
35

36 **GRACIELA GARCÍA-MOLINER:** Mr. Chair you have Todd Gedamke's hand
37 raised.
38

39 **RICHARD APPELDOORN:** Alright. Okay, Todd.
40

41 **TODD GEDAMKE:** I just want to be clear, Kate, you will not be
42 responding to any of my emails or any of the requests, that
43 previously- I would at least expect a response that says, we're
44 not doing this, instead of ghosting me on everything because I
45 need something documented at this point.
46

47 All the SSC members need to understand that what you're saying is
48 that you're not going to get protected, but we're going to write

1 a document that gives guidelines. Because that's where you're at
2 right now, just moving- You're saying there's nothing, quell, is
3 that I think the word you used. We will quell this for the future.
4

5 What about where we're at right now? And you're saying- I just
6 want everyone on this SSC to be totally clear that the General
7 Council is not going to jump in or not going to do anything to
8 guide this. If you make a recommendation or say something on the
9 record that may be problematic because this is this situation-

10
11 Anyway, is there a way- Forget is there a way. Kate, are you saying
12 that you will not be responding to any of my correspondences on
13 this?
14

15 **KATHERINE M. ZAMBONI:** Mr. Chair, may I respond?
16

17 **RICHARD APPELDOORN:** Yes, go ahead. Kate.
18

19 **KATHERINE M. ZAMBONI:** I believe I have responded to you here. If
20 you want me to write you an email that provides the same
21 information on how to contact the Department of Commerce's Legal
22 Ethics Division for a formal opinion, I'm happy to do that, but
23 I'm not ghosting you. This is the response. The message, you know,
24 perhaps I was not clear, is I do intend to intervene if I see
25 people making personal attacks, including alleging conflicts of
26 interest in the record.
27

28 I don't know that it's my role to protect anybody here, but I do
29 think it is my role to guide this body and help it stay focused on
30 its mission and what it's the important work that it has to do. To
31 the extent personal attacks are made if the chair does not step
32 in, I will remind the Chair when it's appropriate to do that.
33

34 So, I think that's very different from what you repeated, but if
35 there's a continuing misunderstanding, I'm sure you will let me
36 know. That's all I have.
37

38 **RICHARD APPELDOORN:** Okay, thank you, Kate. And with that, it's
39 three o'clock. We're on break for 15 minutes or at 3:15.
40

41 **GRACIELA GARCÍA-MOLINER:** Back at 3:15. Richard, back at 3:15
42 correct? Alo, I think Richard left.
43

44 (Whereupon, a brief recess was taken.)
45

46 **RICHARD APPELDOORN:** Okay, everybody, I'd like to start the meeting
47 again, back from break. Graciela.
48

1 **GRACIELA GARCÍA-MOLINER:** Yes.
2
3 **RICHARD APPELDOORN:** One of the things I forgot to ask when we
4 started today, or Liajay, was to read out the people who were
5 online. So, I wonder if that could be done now?
6
7 **LIAJAY RIVERA GARCÍA:** Certainly, yes. I can do it now.
8
9 **RICHARD APPELDOORN:** Because we only did the committee before.
10
11 **LIAJAY RIVERA GARCÍA:** Okay. So, starting with myself, Liajay
12 Rivera Council Staff, Alida Ortiz Sotomayor, Graciela García-
13 Moliner, Adyan Rios, Carlos, missing the last name, but I guess it
14 is Farchette, please confirm. Cindy Grace-McCaskey, Ed Glazier,
15 Julian Magras, Jesus Rivera Hernandez, Kate Zamboni, Kevin
16 McCarthy, Marcos Hanke, María López-Marcer, Nancie Cummings,
17 Nathan Vaughan, and Nelson Crespo. That is all on my list.
18
19 **GRACIELA GARCÍA-MOLINER:** So, from earlier this morning you also
20 have Jesus Rivera, Virginia Shervette, Julie Neer, Martha Prada,
21 Sarah Stephenson, she's still online. Jay Grove, Nicole Greaux.
22 Let's see Rafik Orhun, Jerry Ault was also online. Jeremiah Tania
23 Capote, Rachel Eckley, and that's what I had for today.
24
25 **LIAJAY RIVERA GARCÍA:** I was still missing people on my side here.
26
27 **GRACIELA GARCÍA-MOLINER:** But there is a complete list of
28 participants that we have at the end of the meeting from the Zoom
29 list of participants. So that will be part of the record.
30
31 **RICHARD APPELDOORN:** Okay. Thank you very much then. Alright
32 getting back to the agenda then, I think we are scheduled for an
33 update by Alida Ortiz on the outreach and education advisory
34 panel. Alida, are you there?
35
36 **ALIDA ORTIZ SOTOMAYOR:** Yes, I'm here.
37
38 **RICHARD APPELDOORN:** Please take it away.
39
40 **ALIDA ORTIZ SOTOMAYOR:** Yes. Okay. Liajay, can you put the
41 presentation in?
42
43 **LIAJAY RIVERA GARCÍA:** Hi, Alida. I did not receive your
44 presentation, but you are already a co-host, so you are able to
45 present.
46
47 **ALIDA ORTIZ SOTOMAYOR:** Okay. I'll do that. That's the one that I
48 gave to you for the previous meeting.

1
2 **LIAJAY RIVERA GARCÍA:** Oh, okay.
3
4 **ALIDA ORTIZ SOTOMAYOR:** But I can try my best to do, you know to
5 share my screen.
6
7 **LIAJAY RIVERA GARCÍA:** Okay. We'll let you try first and if you
8 can't then I'll just open it.
9
10 **ALIDA ORTIZ SOTOMAYOR:** Okay. Where do I press here so that I can
11 share the screen? In more?
12
13 **LIAJAY RIVERA GARCÍA:** There is a green icon that says share
14 screen.
15
16 **ALIDA ORTIZ SOTOMAYOR:** Share screen. Okay, great. So, I'll put my
17 stuff-
18
19 **LIAJAY RIVERA GARCÍA:** You should see the window that you want to
20 present.
21
22 **ALIDA ORTIZ SOTOMAYOR:** Okay.
23
24 **LIAJAY RIVERA GARCÍA:** You will hit it twice and it should be
25 available.
26
27 **ALIDA ORTIZ SOTOMAYOR:** When it says, share. Okay, I did it.
28
29 **LIAJAY RIVERA GARCÍA:** Yes. Now we need it in full screen.
30
31 **ALIDA ORTIZ SOTOMAYOR:** Okay. And where do I get that full screen?
32 Right here. I think.
33
34 **LIAJAY RIVERA GARCÍA:** There, Perfect.

35 36 **Outreach and Education Advisory Panel Update**

37
38 **ALIDA ORTIZ SOTOMAYOR:** There. Alright. Okay. Thank you for the
39 opportunity and I will be very short. I will just let you know
40 what we have been doing with outreach and education. I will also
41 be requesting that the SSC suggest new topics to work with,
42 especially now that we will be working with specific island-based
43 plans in each of the islands. And also on issues very important in
44 terms of what we want to get to the public, like in areas of a
45 stock assessment and the species that are being managed.
46
47 So, in our outreach education, as you all know, we are following
48 the Caribbean Fishery Management program for five years. A five-

1 year strategic plan. You have seen this. In terms of communication,
2 it says that it's sound science and data on fish and fisheries,
3 productivity, and ecosystem. Improvement of public understanding,
4 and work with existing legislative, regulatory, and institutional
5 frameworks. Because we have- the species don't know where they
6 are, whether they're in the economic exclusive zone or whether
7 they're in the territorial zone, but it is the same species. So,
8 we have to learn and put together all the regulations.

9
10 Then the design and production of educational materials that
11 translate scientific research to the public. There are many, many
12 issues that are employed in management that need to be explained
13 to the public and need to be explained in a vocabulary and in a
14 format that is easier for them to understand. We are making
15 partnerships with all the local agencies See Grant, the Department
16 of Natural Resources, and the Nature Conservancy. We have worked
17 with them in terms of seafood sustainability. And then to increase
18 that political awareness and understanding of the ecological and
19 socioeconomic impacts of fisheries to promote better stewardship
20 and informed decisions. These are the five-year strategic plans
21 that you all have and have seen.

22
23 The material that we have produced already for the ecosystem fisher
24 management plans, and MPAs, they're already in the hands of the
25 fishers and the consumers. We put them in the Council and also the
26 liaisons take them to the fisher themselves. And we have worked
27 one on ecosystem-based fishery management and another one on the
28 MPAs. There's an old one, a fact sheet on essential fisher
29 habitats. And also, what are the forage fish that are working here.

30
31 All the products that I brought to you at the last meeting. They
32 are posters on the life cycles of the species that are being
33 managed. This is something very important because it is not just
34 how many fish they catch, but the size, the time of the year, and
35 knowing if they have been reproducing or if they are in the
36 reproduction stage. That's something very, very important for
37 people to know.

38
39 Other products have been the posters that were requested by Saint
40 Croix for seafood and also for Saint Thomas. These are materials
41 that were brought to the fish markets, the restaurants, and the
42 hotels. Wherever they wanted to have them so that the consumers
43 also know what they are eating and what regulations exist. We are
44 now working on fact sheets of other invertebrates, and other
45 organisms associated with the fisheries. These are part of what
46 they have in each one of the island-based fishery management plants
47 as reef organisms or organisms that live on the seagrass beds.
48 They are as important as the ones that we are catching. If we don't

1 regulate or aren't aware of these species, we are impacting the
2 life cycle of the species that we are eating.

3
4 For new products, we will be working on climate change and marine
5 fisheries. We have a very special interest in understanding a stock
6 assessment, not only for fishers but all the stakeholders. For
7 this, we are working with Adyan Rios, and Graciela so that we have
8 the information that you discuss in your meetings, in the
9 presentations, the SEDARs, and all the very scientific meetings.
10 This is so that they can have the information and they can see how
11 it applies to what they are doing and why is that information so
12 important as a management tool. Also, the fishers recognize that
13 they can contribute enormously to the material that is going into
14 these products. Especially, when they tell you about where they
15 are eating, where are these species ovulating, the aggregations,
16 and where they go from there. That's something that we cannot get
17 just from a scientific space.

18
19 Also, the IBFM will be working just now, and we are starting very
20 soon. The IBFM essential topics and especially chapter five for
21 each one of the management plans for Puerto Rico, Saint Thomas-
22 Saint John, and Saint Croix. With this, we will get the material
23 that is in there, which is like a summary of all the content of
24 the document. María Del Mar will be very good support for that
25 information. Also, the district advisory panels are giving
26 recommendations from materials on deep-water snapper and grouper
27 fishing regulations that they want in a vocabulary and in a format
28 that they can use. And we have to find ways that all the
29 stakeholders, the consumers, the household people, everyone, the
30 teachers.

31
32 We need to get this information to all these areas where something
33 as La Parguera in Puerto Rico, where you have a school there where
34 the students are from La Parguera and many of their parents are
35 working in the fishing industry, but they don't have information
36 anywhere. So, to understand this terminology that is so important,
37 like optimal yield, allow catch limit, acceptable biological
38 catch, and all these other terms that appear in the island-based
39 documents and also in all the regulations that they have.

40
41 So, with that, what we would like to request from the SSC is to
42 suggest to us formats that you would like to see that information.
43 Vocabulary, because I know that as scientists, we do have, you
44 know, a vocabulary for our meetings. But then if you are in a bar
45 in La Parguera with fishers, do you use the same vocabulary? If we
46 are in the fish market, are we going to use the same vocabulary?
47 Do we have ways of getting more information and getting more
48 collaboration from the fishers and the consumers so that our

1 documents are easier to understand and easier to follow if there
2 are any recommendations?

3
4 So that's what I was planning to present to you, and I am very
5 grateful that you allowed me this moment. So, I will take any
6 recommendations, any questions, or any ideas that you can give me.
7 Graciela, I think that's my presentation.

8
9 **VANCE VICENTE:** Alida, thanks a lot for all your effort and your
10 great work, which has been- Thanks a lot for your great effort on
11 this endeavor of transmitting, you know, scientific terms,
12 etcetera to the public, the fishers and other person, people of
13 interest on it. My recommendation would be, and it's for my own
14 sake too, to put more effort into trying to translate, digest, and
15 simplify the models. Mathematical models are being used to impose
16 new recommendations and new regulations. I know that's going to be
17 very challenging, but if there will be a way in which we can
18 transmit to the public, to the fishers, and other stakeholders,
19 how these models work in a very simplified fashion, which I know
20 is going to be rather impossible, but I trust that you can do a
21 good job on this. That's my recommendation. Thank you, Alida.

22
23 **ALIDA ORTIZ SOTOMAYOR:** Thank you, Vance. And if you have any
24 references that you can give me, I will be very grateful. And
25 the same thing for María Del Mar, for Adyan, for all the people
26 that work with the other Science Centers that have probably the
27 same reto, the same challenges that we have.

28
29 Remember that the Caribbean Fishery Management Council is more
30 complex than any of the other Councils. Because we have, even
31 though we have Puerto Rico, what we do in the West might be
32 different from what we do in the East. The North of the South. And
33 then what happens in Saint Thomas is another thing. And what
34 happens in Saint Croix is another thing. And probably, to me, after
35 so long that I have been with the Council and with a marine
36 education, not just fisheries, to me, the thing that now we have
37 plans for each one of these islands is a very, very important
38 challenge that we will have to follow. Thank you, Vance. Any other
39 ideas? Recommendation?

40
41 **RICHARD APPELDOORN:** Well, Jason, you have your hand up and then
42 Shannon does as well.

43
44 **JASON COPE:** Yeah, I do. Sure. Thank you. That's a great
45 presentation. Science communication is at the crux of what we do,
46 and if we can't communicate what we do, really doesn't matter how
47 well we do it. It's not going to get uptaken right. And so, I
48 really appreciate this specific emphasis on the science

1 communication education part. I am grateful that I have an
2 opportunity to do a fair bit of this, working with the folks at
3 the Marine Resource Education Program.

4
5 I think at some point in one of our SSC meetings, we brought up
6 that group and they happen to be on the west coast this week right
7 now, and we're meeting with the fishers, right? And one of the
8 best things you can do is have the scientists in the room with the
9 fishers and the managers and create a space where any question can
10 be asked. Right? There are absolutely no remedial or dumb
11 questions. Let people explore what they have questions about.

12
13 Let the scientists learn how to communicate back to them in simple
14 ways, what it means. Because our models, they may be complex, but
15 they have very simple elements that are things that we can
16 communicate. So, I guess that's one suggestion is to maybe, if
17 that partnership hasn't been created, have a partnership with that
18 group.

19
20 And then, again, I have materials. I do this not infrequently and
21 very much enjoy making this accessible. So, I'd be happy to talk
22 more with you specifically about opportunities.

23
24 **ALIDA ORTIZ SOTOMAYOR:** Great. I'll contact you. Actually, when we
25 participate in the MREP in Puerto Rico, to me it's a classroom and
26 it's a very, very effective classroom. And now we have the
27 liaisons. The liaison is the person that connects the Council with
28 the fishers for everything. Sociology, economics, cultural things,
29 everything. And the experience and the resources that we are
30 getting for them are extremely valuable. So, thank you.

31
32 **JASON COPE:** Absolutely. The last subject matter that I was going
33 to throw out was the concept of uncertainty and having grown an
34 appreciation for that term and what it means because we're never
35 going to be able to deliver a number. It's always going to be
36 surrounded by uncertainty. And we talk about precaution, we talk
37 about buffers, and it leads to all its other jargon, but really
38 being able to communicate the idea of uncertainty and why it's not
39 bad, it just is. And knowing that it exists is an advantage for us
40 to be able to make better decisions. And so that would be a specific
41 topic that I would have as a discussion point or an education
42 point, taking away the fear about the concept of uncertainty and
43 learning to work with it.

44
45 **ALIDA ORTIZ SOTOMAYOR:** Great. I took note of that and when I do
46 something, I'll send it to you so that you can help me with that.

47
48 **RICHARD APPELDOORN:** Okay. Thank you very much for those comments.

1 Jason. Shannon?

2
3 **SHANNON CASS-CALAY:** Yes, thanks, Rich. Yeah, the Science Center is
4 also very interested and very involved in outreach and education
5 and of course, Adyan serves this Council in that capacity. So, I
6 just wanted to make sure you understand too, that if there are
7 specific topics that the fishing community, DAPs, or the SSCs have
8 identified that they would like additional information, you know,
9 we are more than happy to look into it and create outreach tools
10 as well. So, you have our support as well in any capacity.

11
12 **ALIDA ORTIZ SOTOMAYOR:** Thank you so much, Shannon. Any other
13 comments? Graciela, do we have any other?

14
15 **GRACIELA GARCÍA-MOLINER:** So I don't see any other hands.

16
17 **RICHARD APPELDOORN:** Yeah, I'm working on J.J. I think he'll make
18 a comment.

19
20 **JUAN J. CRUZ MOTTA:** Yeah, there was something that was
21 mentioned in the joint SSC and it's not exactly outreach. It's
22 not like the scientists are trying to convey what we were doing,
23 but it was a very interesting exercise in which, and this was
24 related to the fisheries status report. So, the engagement with
25 the fishers in this particular meeting was the other way around.
26 It was basically the scientists asking the fishers about their
27 perception of changes in their environment or changes in the
28 stocks. You know, information that came out of the fishers to
29 the scientists. And then, the (unintelligible) there was too and
30 the tools that Sarah was developing were basically tools to
31 quantify that information, which by the way are in line with
32 some of the tools that we have been using in this Lenfest
33 project, and that we will be presenting in the next SSC and
34 hopefully the Council.

35
36 So basically, the way the Northeast Region was engaging, in this
37 particular case, the fisher, but this can be extended to any other
38 stakeholders, was by getting the information out of them,
39 quantifying and getting it in this management advice tool, which
40 is the official status report.

41
42 So please note it's not exactly outreach material. There is a way
43 in which you can incorporate the stakeholders, and in this case,
44 the fishers into the management process or informing the management
45 process. But thank you.

46
47 **ALIDA ORTIZ SOTOMAYOR:** Thank you so much J.J. I think that's
48 probably, for our region, again the Caribbean region, that's

1 probably one of the most valuable actions that we can have.
2 Because, my experience, in a long time, is that fishers were way
3 out, they were on the coast, they didn't have anything to do with
4 the rest of the community, they got fish, they sold it, and that's
5 it. And that's a very incorrect look at the product, at what they
6 gave, what they produced for the economy of our sociology.

7
8 And I lived in La Parguera for quite a long time. I studied marine
9 sciences and as far as I remember, we had very little contact with
10 the fishing community. Except for when we took the boat to go to
11 the marine sciences. And that's something that we have to, if we
12 have the opportunities, if we have the facilities, we have to
13 incorporate them.

14
15 Are there any other comments?

16
17 **RICHARD APPELDOORN:** Okay. I'm not seeing any other comments, but
18 I think you had some things you can work on. Vance was really
19 pushing the issue about having to try to develop ways of
20 communicating how the models worked in fairly simple terms. And,
21 Jason had some experience that I think you could apply.

22
23 **ALIDA ORTIZ SOTOMAYOR:** Yes. Yes. That's what I'll do. What I'll
24 do is that the materials that we are working already on the island-
25 base, on each one of the island-based, I will send you our draft.
26 Actually, we're going to have a meeting next in two weeks with the
27 DAPs and the liaisons for the question that the community has on
28 the island-based fishery management plans. And I will, when we
29 have a draft of what's there, I'll send it to you so that we can
30 get all your recommendations.

31
32 **RICHARD APPELDOORN:** Alright. Thank you, Alida.

33
34 **ALIDA ORTIZ SOTOMAYOR:** Thank you for the opportunity.

35
36 **RICHARD APPELDOORN:** Yeah, I'm sorry we couldn't fit it in the
37 last meeting, but sometimes these things take time. Thank you.

38
39 **ALIDA ORTIZ SOTOMAYOR:** Oh, yes. And it lasts forever, so whenever
40 it can be done, it gets done. Thank you.

41 **Other Business**

42
43 **RICHARD APPELDOORN:** Okay. I think we've come to the point where
44 we're going to be looking at some of the new business issues that
45 were added to the agenda yesterday morning.

46
47 I guess we're going to start with the Queen Conch list thing. And
48 I understand Orian Tzadik is online and maybe he would like to

1 explain to the SSC what's going on here. And how we can affect
2 that. You there Orian?

3

4 **ORIAN TZADIK:** Yeah. Hi, can you hear me?

5

6 **RICHARD APPELDOORN:** Yeah, you're good.

7

8 **ORIAN TZADIK:** Okay. I have to apologize. I've been having some
9 Fiona-related internet issues, still. So, if I cut out, maybe
10 Graciela can text me or something. Yeah, as Rich said for those of
11 you that tuned into the last Council meeting, you'll see that the
12 Queen Conch has been listed with a proposed ruling for threatened
13 status under the Endangered Species Act.

14

15 A lot of people are asking us what exactly that means. And the
16 truth is that it doesn't mean anything yet. No immediate actions
17 are going to be taken. However, once it is listed under the
18 Endangered Species Act as threatened, there are measures that can
19 be taken by NOAA Fisheries based on the kind of input that we get
20 back from everybody else.

21

22 So, what I want to encourage for this group here, for the SSC being
23 regional researchers and people who know about the fishery here
24 and about the state of the fishery and all that. I would really
25 just like to encourage anybody who feels the need to, to please
26 write in with comments. Comments are open until November 7th. The
27 easiest way to do that is to go onto the Federal Register and look
28 up the proposed rule for Queen Conch and file your comments there.

29

30 I will note on the side that I have spoken to Rich and Marcos
31 separately about trying to get ahead of this. I don't think that
32 anybody, you know, is trying to impose anything that's unjustified.
33 But if we could all work together on this, I think that that would
34 go very far. Yeah. So, looks like Liajay has the exact point that
35 I'm talking about, and if you see that green button there, it says,
36 "submit a formal comment." You guys have until November 7th to do
37 that.

38

39 One thing I just want to emphasize particularly for this group is
40 that the Endangered Species Act specifically says that NOAA
41 Fisheries can take ecological and biological factors into account,
42 but not social or economic, with regard to the listing of a
43 species. So please try and keep your comments geared in that
44 direction. And ideally to the people in this room, if there are
45 additional data sets that maybe were unavailable to the review
46 team, those would be of particular interest.

47

48 I think that's about it. Just wanted to kind of give the

1 notification to everybody and make sure that you guys were all
2 aware that, as it says there, you got, 33 more days. The comment
3 period ends in 33 days. Yes. So please get your comments in if you
4 have any.

5
6 **RICHARD APPELDOORN:** Yeah. Thank you, Orian. I have a question. If
7 this goes through as proposed, is there a set of automatic things
8 that happen, not necessarily regulations, but steps, whatever that
9 this would initiate?

10
11 **ORIAN TZADIK:** Yes, yes. So as many of you know, I'm relatively
12 new to this process, so you know, forgive me for all the details.
13 But yes, the Endangered Species Act outlines a process of what
14 needs to happen. So, as you pointed out if it's listed as
15 threatened, the regulations get put in. If it's listed as
16 endangered, that's a different story. But once it's listed as
17 threatened, under the proposed rule, there is a time limit of one
18 year to get to the final rule. And then once the final rule is
19 published, there will be a proposed critical habitat rule. And
20 then after that will be a final critical habitat rule. And then
21 after that, there are several other products that get produced as
22 we go along, including obviously like a five-year review. But those
23 are down the line.

24
25 So, the immediate actions that are going to happen are that we're
26 going to have, the proposed rule listed. Then we'll have the final
27 rule within a year. And then immediately after that'll be the
28 critical habitat rule, the proposed rule. And that'll be kind of
29 what we're all working on, you know, immediately following the
30 final rule.

31
32 **RICHARD APPELDOORN:** Okay. Thank you, Orian. Any questions from
33 the committee?

34
35 **VANCE VICENTE:** I have a couple of comments. One thing- Thank you,
36 by the way, for your presentation. The fact that the specie is
37 being proposed. I mean, there is a proposed rule that
38 automatically, believe me, makes a big conservation wave. Second,
39 I have my own opinion. I'll be making my reading comments.

40
41 I work with Fishers, you know, I use their boats. I use them as
42 captain to do my work. And I ask them, you know, what is their
43 opinion about making more stronger conservation, imposing more
44 conservation measures on the Queen Conch. And surprisingly, you
45 know, I'm talking to very heavyweight fishers, and they agree.
46 They think that they believe that it should be protected at a
47 higher level as a threaten or even as an endangered species, which
48 has really surprised me. I was expecting a different answer. And

1 this is specifically fishers from the North Coast. Anyhow, those
2 are my two comments. Thank you.

3
4 **ORIAN TZADIK:** Thanks, Vance. That's good information. And yes,
5 please do include that in written comments. I'll just kind of
6 repeat, you know, when I spoke to Marcos, I think it's essential
7 that if, you know, our Council kind of gets ahead of this issue,
8 I think it'll be easiest for everybody in that, you know, we're
9 looking at the recovery of a species. And it's a species with a
10 wide range beyond the U.S. Caribbean. And so, if we can, you know,
11 enact sense here, it'll be very easy to then approach other
12 countries throughout the range and kind of, you know, put our best
13 foot forward while we're doing so. So anyway, I appreciate the
14 comments.

15
16 **RICHARD APPELDOORN:** Orian, you sort of touched on the subject.
17 Can you comment a little bit about what impact the listing might
18 have on other jurisdictions across the region?

19
20 **ORIAN TZADIK:** Yeah, I mean, you know, again, I have to caveat
21 this with, you know, I just started in this position a couple of
22 months ago, but my understanding is that I, personally, will be
23 working with other liaisons from other countries to try and fill
24 data gaps and ideally influence legislation both domestic and
25 abroad.

26
27 We're focused on the recovery of a species, you know, not the
28 recovery of species within Puerto Rico and the Virgin Islands. And
29 so, I mean, obviously, the recovery within those waters comes into
30 play and once we kind of are able to do what we do here, we'll
31 also be able to kind of discuss opportunities with other countries.

32
33 **RICHARD APPELDOORN:** We have a number of hands up now Marcos, Kate,
34 and Doug, and we'll take him in that order. So, Marcos.

35
36 **MARCOS HANKE:** Thank you. Orian. I know that we spoke before, but
37 I want to share those thoughts with SSC as well. Once we treat
38 this issue across the range, I'm not hearing something super
39 important around WECAFC, Nicaragua and all the countries that fish
40 heavily for these fish, for the Conch, they have motherships, they
41 import, they export, and so on. But treating the U.S. Caribbean
42 leaders on science-based proactive regulations for Conch should be
43 used as an example and treated in accordance. Otherwise, we'll
44 mine regionally, the interest in science, compliance, and the
45 sustainability of the Conch across the range. Other countries will
46 not have any stimulus to look for science to manage the Conch. It
47 will be much harder if we give this example and just address
48 heavily the local fishermen. It can be super detrimental to the

1 Conch across the range if the leaders of the best science-based
2 regulation treat it the same as the countries that export, that
3 doesn't comply with international treaties or regulation.
4

5 Fish Conch sustainability is something that everybody wants to do
6 in U.S. Caribbean, and we have regulations that are topnotch on
7 that matter. Things that we should address are to fix what is not
8 working, which is compliance, education, limitation on the future
9 for exploitation, and creating, probably, enforcement. A
10 specialized enforcement group to address the problem with
11 enforcement. Around the region leading by example is the way to
12 go. And we should use our position to show how science works.
13 Enforcement and education, we should improve those first before we
14 do anything else. That's all I want to say. Thank you.
15

16 **RICHARD APPELDOORN:** Thank you, Marcus. Kate, your hand is still
17 up. I only see, I don't see another one, so go ahead.
18

19 **KATHERINE M. ZAMBONI:** Thank you, Mr. Chair. I just wanted to
20 elaborate a little bit on what Orian said. He did a great job
21 explaining the effect of the proposed rule under section seven of
22 the Endangered Species Act. There now is a requirement for
23 conferencing on federal actions that could jeopardize the future
24 existence of Queen Conch. I know there is a plan in place to
25 conduct such a conference on the island-based fishery management
26 plans. So, they'll satisfy that section seven requirement. Once
27 the final rule comes out, if presuming it is listed as a threatened
28 species and we have a final rule, that conference requirement
29 becomes a consultation requirement.
30

31 The service could also contemplate implementing what is known as
32 Section four D rules. So, unlike an endangered species, where there
33 are some automatic prohibitions that go into place when a species
34 is listed as endangered, such as banning importations and takes.
35 That doesn't necessarily apply to species that are listed as
36 threatened, but the National Marine Fishery Service could
37 implement additional rule-making that would determine whether or
38 not imports would be allowed and those types of things. That would
39 probably be the type of action that would be taken to address what
40 goes on in foreign countries because our listing status doesn't
41 necessarily affect other countries. But to the extent those Conch
42 are imported from those other countries, that could help. I just
43 wanted to add that. Thank you.
44

45 **RICHARD APPELDOORN:** Thank you, Kate. And I would point out that
46 the U.S. is one of the two major importers of Conch, the other one
47 being the E.U. So, we potentially have a lot of opportunity here
48 to sway how other countries are looking at their stocks as it might

1 affect their ability to import into the U.S. more so than under
2 the CITES process that is already in effect. So, any more
3 discussion on this issue? Sorry. Michelle?

4
5 **MICHELLE SCHÄRER-UMPIERRE:** Thank you, Mr. Chairman. I just had a
6 quick question regarding- In our EEZ, we have a prohibition and I
7 believe we have a rebuilding plan, if you could update us on that
8 and what actions that includes?

9
10 **ORIAN TZADIK:** Yeah. We don't actually have a rebuilding plan that
11 is part of the process through the Endangered Species Act. We will
12 need to develop a formal one. I'm not sure what has been discussed
13 at the territorial level. I don't know if they have rebuilding
14 plans within DNER or DPNR. But at the federal level, the recovery
15 plan, one of the products that I was mentioning is after the
16 critical habitat proposal rule, and then the critical habitat final
17 rule we will need to develop a recovery outline, and then that
18 will be followed by a recovery plan. So that's the status of that.
19 Anything prior to now has been just Council legislation or Council
20 actions.

21
22 **MICHELLE SCHÄRER-UMPIERRE:** Mr. Chair, a follow-up. I was actually
23 asking about a fishery rebuilding plan after it was determined
24 overfished. Not a recovery plan.

25
26 **ORIAN TZADIK:** It looks like María has her hand up. I'll defer to
27 her because again, that would be a sustainable fisheries question.

28
29 **MARÍA LÓPEZ-MERCER:** Yeah. Thank you. Thank you, Orian. Yes,
30 Michelle. So, yeah, that's correct. In the EEZ, obviously, we have
31 management measures to protect the species such as, you know, the
32 prohibition on the harvest of the Queen Conch in pretty much the
33 whole EEZ except for that smaller area in Saint Croix. And then
34 there was that rebuilding plan that the Queen Conch had that ended
35 I believe in 2020.

36
37 And so, one of the things that our office is doing is we are in
38 the process of evaluating, finding a way of evaluating if the
39 species is rebuilt or it hasn't been rebuilt. Then what management
40 measures need to be taken to ensure that the population of the
41 Queen Conch is at the level that it's not overfished.

42
43 So, we are having those conversations right now. This also kind of
44 goes hand in hand with this proposed rule. So hopefully we will
45 request the assistance of the SSC once we have a better plan put
46 in place. But this is something that we definitely have at the top
47 of our list, and we have been working on it. That's all I can say
48 for that right now. I'm sorry, I don't have any additional

1 information, but this is something that you will probably, as you
2 know, as a member of the SSC you will be hearing from us. Thanks
3

4 **RICHARD APPELDOORN:** Graciela.
5

6 **GRACIELA GARCÍA-MOLINER:** Okay. So, thank you María for that.
7 But I still have one more question regarding the- Orian, there
8 is a statement that you can request a public hearing before
9 October 24th. I know that you're new to the job, but do you have
10 any idea- I mean, how does that work in terms of having a public
11 hearing for the listing of an ESA species? I've never been to
12 one.
13

14 **ORIAN TZADIK:** Yeah, that's a good question. I would, I mean, I
15 can certainly, you know, look into that, or I would recommend
16 contacting the contact on the listing. While I will be heavily
17 involved in this moving forward, I was not involved with this being
18 produced because of the timing of it. So, there is somebody listed
19 there that would be the person to contact for that and she would
20 be able to guide you to do something like that if you wanted to.
21

22 **GRACIELA GARCÍA-MOLINER:** So, follow- Let's see, our microphones
23 are dying on us. Can you hear me? Yes?
24

25 **ORIAN TZADIK:** Yeah, we can hear you.
26

27 **GRACIELA GARCÍA-MOLINER:** Okay. So, you know, the request for a
28 comment, it's open until November 7th. I see from, you know, the
29 federal register, that there are already 22 public comments. We're
30 trying to get to them to see. We've known of a couple of fishers
31 that are sending information on the numerous regulations that are
32 in place already. Who would be- we don't have an evaluation of the
33 changes in the habitat that's specific to the Queen Conch. That
34 kind of information would be something that we need to look into
35 because, Richard, correct me if I'm wrong, but there is some
36 specificity to the habitat of the Conch and the type of sandy
37 shelf-bottom that it can handle. And there have been quite dramatic
38 changes near shore, you know, making it really muddy type of silty
39 areas. So that's one. And secondly, very few monitoring efforts
40 have been conducted in the mesophotic reefs. Apparently, the
41 densities of Conch are higher but it's not part of the ongoing
42 monitoring efforts.
43

44 So, those are the kinds of things that the Council will be
45 addressing. We had submitted a 12-page or something like that
46 letter way back when in 2012. Those would be the kinds of
47 considerations that the Council would be looking at. So just to
48 put that on the table. Thanks.

1
2 **RICHARD APPELDOORN:** Thank you, Garciela. María, is your hand still
3 up, or do you have an additional comment?
4
5 **MARÍA LÓPEZ-MERCER:** No, but I just want to add something else.
6 So, as the next step for the rebuilding and just to clarify that,
7 and then, as I say, hopefully, we can bring that to your attention
8 at some point, is to determine if the Queen Conch is rebuilt in
9 each island area. And if it's determined, of course, you know,
10 there are data limitations. But, if not, one thing that could be
11 done is to develop a new rebuilding plan. And I just wanted you to
12 know that the ESA listing process and any regulations that come
13 out of that ESA process are separate, and they are apart from this
14 process, from rebuilding, from the fishery part. Thank you.
15
16 **RICHARD APPELDOORN:** Okay. Thank you, María, for clarifying that.
17 Any other questions or comments on the listing?
18
19 **JORGE R. GARCÍA-SAIS:** Richard, Reni here.
20
21 **RICHARD APPELDOORN:** Yes, go ahead. We can't hear you very well.
22
23 **JORGE R. GARCÍA-SAIS:** Well, it's green. Let me see with
24 Graciela's. Can you hear me better right now?
25
26 **RICHARD APPELDOORN:** Yeah, much better.
27
28 **JORGE R. GARCÍA-SAIS:** Oh, good. Okay. You know, I see this lifting
29 of Queen Conch under the threatened list, actually, as an inability
30 for scientists, for us scientists to develop a management policy
31 that will allow sustainable fisheries of this organism. And I was
32 wondering, you know, where are we regarding the status of that
33 population within the EEZ and even within state waters? I mean,
34 it's been a long time since we heard about the status of the
35 populations of Queen Conch in our waters. I wonder if, you know,
36 just listing this organism under a threatened list with plans to
37 ban its fisheries altogether is just an admission from us that we
38 cannot manage this population from a fisheries standpoint. And I
39 was wondering, you know, I mean, isn't there any other route? Isn't
40 there any other alternative to look at Queen Conch fisheries
41 anymore? Just like well, you know, we're not going to do anything
42 more with it, you know, just put it on the list and ban it forever.
43
44 You know, I mean, Queen Conch still is a very important fishery
45 product in Puerto Rico and the U.S.V.I. I don't see anybody saying,
46 "wait." I mean, there might be ways in which we can apply catch
47 quotas or seasonal closures or any other alternative for the
48 fishermen to keep bringing this product to the table.

1
2 So that's just my comment. You know, I don't know where this is
3 coming from. What kind of data is backing this up? I don't even
4 know what's the opinion of the SSC regarding this. But we certainly
5 should have a voice and our voice might be significant in pushing
6 this forward or giving it a twist. So that's my opinion. And this
7 microphone is going red, so thank you for the chance.

8
9 **RICHARD APPELDOORN:** Alright, if I could fill in something before,
10 we go to Jason. So, the listing, of course, isn't banning anything.
11 It's just, it's listed as threatened, so there's a concern there.
12 What might or might not be done remains to be seen. It is also
13 something that is focused on the species as a whole, even though
14 its specific impact is going to be relative to U.S. populations.
15 You know, the U.S. Caribbean, and Florida.

16
17 However, as I mentioned before, the real impact it can have is
18 regulating imports. And that's what's going to potentially force
19 other countries in the region to actually take a really good look
20 at their fisheries and start making sure that they have something
21 that's sustainable. Now, this is something that's supposed to be
22 going on through CITES, but thus, a nicely envisioned and flawed
23 implemented system because of the way in which CITES committees
24 are formed in a lot of countries. Where you have a good committee
25 that's independent of the fishery, it works nicely. Jamaica's a
26 good example of that. Where you don't have that, it's basically an
27 arm of the industry and it's not really doing its job. So, there
28 are ways that the U.S. can impact what's happening in the regions
29 through controlling the status of populations from which imports
30 are coming.

31
32 So, what's happening in Puerto Rico on the Virgin Islands is not
33 really, you know, the focus of this action. However, yes, the
34 potential for it to impact the fisheries here is there. There has
35 not been a formal assessment. This is a survey of the concrete
36 sources in the US Caribbean since 2012. There was some additional
37 work that was done by Ron Hill and his colleague Jennifer, oh, I
38 forget the last name, on the Virgin Island. And there was a pilot
39 survey testing a towed photographic sled array off the west coast
40 of Puerto Rico. So, they sort of filled in some stuff, but since
41 then we've had Hurricane María and lots of other things going on.

42
43 So, we really don't know what the status is of the Conch. I would
44 point out that both of those interim surveys, were not necessarily
45 designed to show the full status of the stocks, in fact, the one
46 for the sled was not designed to do that. But they did find very
47 high concentrations of Conch in the areas that they looked at.
48 Much higher than what we saw in the previous CMAP surveys, which

1 is the main mechanism we're using to assess the populations.
2
3 So, it is obvious that the population is fluctuating. We don't
4 know what the status is now. Right now, CMAP is undergoing surveys
5 to test a new methodology. So, the pilot study for that is
6 currently underway. And then, based on the results of that, it
7 will be implemented next year. So at the end of the next year, we
8 should have a fairly good indication of what the status of the
9 resource is, both in Puerto Rico and the Virgin Island.
10
11 So those are my comments. And you know, if things look good that's
12 something that could be presented to the team that's looking at
13 the proposed rule. And I don't know if at that point they would be
14 changing their mind on anything. Again, it would just be the U.S.
15 Caribbean and not relative to the whole region.
16
17 Now, I will say that regionwide, for maybe a number of reasons,
18 there have been things that don't look good. And I think this is
19 what's driving the committee to make the recommendation for the
20 listing. In the Bahamas in particular, there's been a number of
21 papers published showing that there are severe problems with the
22 fishery. I believe there is a number of papers that also point to
23 that. Although the fishery departments would argue that there's no
24 problem and that in fact, the thought is that it's getting better.
25 They have closed the fishery in Pedro Bank in Jamaica, which is
26 one of the biggest because densities in their last surveys were
27 low, but they haven't repeated the survey in quite a number of
28 years. So, we don't know what's going on with that population.
29
30 So, these kinds of things are happening and there's not a lot to
31 refute what's going on. There's also a modeling study, and you can
32 agree with this or not but there was a modeling study of dispersal
33 and try. They made a number of assumptions about what the impact
34 of density is on that and the ability to produce larvae and have
35 them disperse. Then, there's the question of the model they used
36 to do dispersals on. But that paper was saying that overfishing,
37 or let's just say the level of fishing, whether it's overfishing
38 or not, is having a significant impact on the connectivity of Conch
39 populations across the Caribbean. That study was not designed to
40 look at one specific location to the level that it could offer
41 management advice to that location. But as a regional-wide study,
42 it painted a not very positive picture.
43
44 As I said, it's a modeling study. It has lots of caveats, but I
45 think this is, you know, this is what's coming out in the
46 literature and that's what the committee is responding to. So, I'm
47 not sure I agree with the action, but I think from what I've seen
48 of the literature coming out, I understand what they're reacting

1 to.

2
3 And both Ron Hill and Jennifer Leo were on that committee or are
4 on that committee. They both have a very extensive background
5 working with Conch Copulations, particularly in the Virgin
6 Islands. So, there was a lot of Conch expertise on that committee
7 when those recommendations were coming out. So those are my
8 comments. Jason, you have your hand up.

9
10 **JASON COPE:** Yeah. Thank you. Something that María said I think is
11 important, and this is just something to flag in general is that
12 there is no official connection between ESA and Magnuson-Stevens
13 Act. So MSA management. And that is a very awkward thing.

14
15 We're dealing with that in Puget Sound with some rockfish that got
16 listed and trying to do a recovery plan. But the question is, when
17 do you hand it back over to fisheries management? And there are
18 large inconsistencies in how recovery plans are built around
19 reference points that exist for fisheries management. They can be
20 very inconsistent and hard to communicate why they're
21 inconsistent.

22
23 So, we'll be having a paper submitted soon on the topic if it's
24 something the SSC wants to talk about later. It's a really
25 interesting thing that should be solved by getting the MSA and the
26 ESA to talk a little bit more. Because there's no reason they can't
27 be connected more effectively. They just haven't been because I
28 think the two arenas haven't really been operating in the same
29 sort of space. But with a few more marine animals getting listed
30 like this, it becomes, I think something that can't be put off
31 anymore. Thanks.

32
33 **RICHARD APPELDOORN:** Thank you, Jason. Any more questions or
34 comments? If not, we would move to the next item, which I'm
35 guessing is climate and control rules. Is that correct Graciela?
36 Graciela, are you there? Oh, you are in the room with the-

37
38 **GRACIELA GARCÍA-MOLINER:** Oh, sorry.

39
40 **RICHARD APPELDOORN:** I was going to say, you're in the room with
41 the dead microphones.

42
43 **GRACIELA GARCÍA-MOLINER:** Okay. Wait, we are on the last of the
44 batteries here, so H.R.4690, that's the one that you want to talk
45 about?

46
47 **RICHARD APPELDOORN:** Yes.

48

1 **GRACIELA GARCÍA-MOLINER:** Hello?
2
3 **RICHARD APPELDOORN:** Yes, that's the one we want to talk about.
4
5 **LIAJAY RIVERA GARCÍA:** Did you hear us?
6
7 **RICHARD APPELDOORN:** Yes, we can hear you.
8
9 **GRACIELA GARCÍA-MOLINER:** Richard, do you have the, um- it should
10 be in the Google Drive. Amendment in the Nature of a Substitute
11 (ANS) that will be offered to H.R.4690.
12
13 **LIAJAY RIVERA GARCÍA:** Mr. Chair let me know if this is the
14 document.
15
16 **RICHARD APPELDOORN:** Yeah, if you go down to the, where the paper
17 actually starts.
18
19 **LIAJAY RIVERA GARCÍA:** This is the top of the page.
20
21 **RICHARD APPELDOORN:** Yeah, go down a page.
22
23 **LIAJAY RIVERA GARCÍA:** Okay. Oh, okay. Here,
24
25 **DOUGLAS GREGORY:** Mr. Chair. Can I interject something while we're
26 in the middle of this before getting started?
27
28 **RICHARD APPELDOORN:** Yeah, go ahead.
29
30 **DOUGLAS GREGORY:** We were talking earlier about steepness and SPR
31 and I mentioned that I didn't know the relationship between the
32 two. So, during lunch I went online and just did a quick search,
33 and found two papers, nothing extensive, that talked about that.
34 And it looks like a steepness of about 0.73 or 0.75 is probably
35 between 35 to 37% SPR. I mean, it's above 30% SPR, but not by much.
36 I sent those papers to, Graciela, but I failed to ask her to
37 forward them to the committee. So, I just think we need to know
38 what it was we were asking for. And it seems like there is an
39 almost one-to-one relationship between steepness and SPR, so it's
40 fairly easy to judge where things will fall, it looks like. But
41 again, I just did a cursory look at what I could find on the
42 internet really quick. Thank you very much.
43
44 **RICHARD APPELDOORN:** Thank you for those comments, Doug. And I am
45 sure Graciela will forward those papers to the rest of the
46 committee.
47
48 **LIAJAY RIVERA GARCÍA:** Mr. Chair, the documents are already

1 uploaded in the- for the SSC members. They're already uploaded in
2 the shared folder.

3
4 **RICHARD APPELDOORN:** Yeah. So, I have to admit I'm not prepared
5 for this because I wasn't able to download them until yesterday.
6 Cause I haven't had internet since Fiona went by. But the issue
7 here obviously is trying- and this is, if I understand this
8 correctly, these are revisions to the initial document that came
9 out that I think we had, and the Council was asked to comment on,
10 at least a year ago, I would guess.

11
12 Probably in line with comments that I made before the climate
13 change issue in a lot of the other jurisdictions is a much bigger,
14 obvious impact at the moment. Because of the issue of changing
15 distributions. Basically, moving northward as temperatures warm.
16 And we just don't have a large north-south territory to be able to
17 really look at what this issue would look like for at least our
18 reef-based species. And more likely we are looking at the potential
19 for depth changes. As the waters warm, things might look to get
20 into cooler waters below the thermocline. It's not really sure how
21 this is going to play out.

22
23 I think that the greater concern that we would have is the impact
24 on, say, growth and reproduction. And I'll give you an example.
25 This is not definitive, it's just where the thinking is at the
26 moment. Those who have been following Queen Conch in Florida,
27 they've had reproductive failure inshore waters for quite a long
28 time now. And initially, the thinking was that this was due to
29 some form of pollution going on inshore waters that was not
30 affecting the offshore waters. And if you move the Conch from the
31 inshore waters into the offshore waters they recover and reproduce.
32 If you take Conch from the offshore waters and put them in inshore
33 waters, they stop reproducing. So, there was something going on
34 there.

35
36 More recently they're thinking it's a temperature issue, a high-
37 temperature issue. And again, that's something that hasn't been
38 established, but that's where their thinking is at the moment. And
39 I think that kind of problem may start occurring with a lot of
40 species. That's just going to be too warm for them to be able to
41 adapt to and be able to, say, reproduce if they're doing that
42 during the peak temperature months. Or the other side of that is
43 something like Nassau Grouper and Red Hind which seem to require
44 a minimum temperature to be able to spawn somewhere in the ballpark
45 of 26 degrees. And so, as temperatures warm, they're not going to
46 get that temperature unless they move deeper. And so that might be
47 driving some dynamics on spawning aggregations in the future.

48

1 And then there's just a general issue on growth where warmer waters
2 hold less oxygen. And oxygen is very much a limiting factor in the
3 growth of marine organisms because it's in low concentration in
4 water. So, while at the same time higher temperatures will increase
5 biological activity and hence oxygen demand. So, what oxygen they
6 can get is going to go into maintenance metabolism as opposed to
7 growth and reproduction. So, I think we're looking at potentially
8 a large impact from climate change, but it's not the kind of thing
9 that has been most obvious to the other Councils who have been
10 dealing with these problems. And there's been really directed
11 toward changes in distributions, which as I mentioned before, have
12 been substantial.

13
14 I also don't know of any particular ongoing research in the
15 Caribbean that's really directed toward looking at the issue of
16 climate change and how it would affect particular species.

17
18 **JORGE R. GARCÍA-SAIS:** Richard, Reni García here.

19
20 **RICHARD APPELDOORN:** Yeah, Reni, go ahead.

21
22 **JORGE R. GARCÍA-SAIS:** Yeah, Richard, I want to make a comment.
23 You know, some very recent observations we've made with the ROV.
24 I don't know if there is any background data or information or
25 anecdotal accounts of Queen Conch in the 200-foot range, but we
26 have seen, particularly in Culebra and V.I. this last survey that
27 we were there last month we observed several, if not like a dozen
28 of Queen Conch, you know in the 200 plus range. So, I'm not sure
29 if that is a recent movement of Queen Conch towards cooler, deeper
30 waters below the thermocline or close to the thermocline. Or if
31 this is just, you know, something that has been reported before.

32
33 So just for your info, you know, we were not expecting to see- At
34 first, we saw one, then we saw two, then we saw several, you know
35 in a particularly horizontal area. Cause, you know below 160 feet
36 what we usually encounter is a slope. But whenever we see a
37 horizontal bottom we were surprised to see quite a few Queen Conch
38 in our way, with the ROV. Thank you.

39
40 **RICHARD APPELDOORN:** Yes, Reni. That would match the observations
41 you've made off of Abrir la Sierra with your rebreather diving and
42 also ROV observations we had of the Tourmaline as well. And yes,
43 I don't know whether that's a movement or just that it has always
44 been there.

45
46 Graciela, was the Council looking for us to make additional
47 comments to the alterations that had been made to the original
48 4690 documents?

1
2 **GRACIELA GARCÍA-MOLINER:** I think this one works. So, the question
3 that Miguel has provided for us was, what and how can
4 considerations on climate change be included in the FMPs?
5

6 So, you know, one thing that we need to get back on track is the
7 research priorities. You know, that might be one way of us dealing
8 with that. But, you know, in terms of specifics to the document
9 that you were provided. Is there anything in particular that you
10 see that needs to be addressed?
11

12 **RICHARD APPELDOORN:** Well, as I said, I- since I was only able to
13 download this the other day, I haven't had a chance to go through
14 it. But I'll point out that my previous comment about the
15 recommendation to have Sarah Gaichas give her presentation to the
16 various committees and the Council proper, is that this is sort of
17 exactly what she's trying to do, is set up a way where this kind
18 of information can actually be entered into the control rules stock
19 assessment process in a formal way. And does not rely necessarily
20 on developing complicated models to look at. Either the
21 interactions between stocks or stocks in their environment,
22 particularly the changes being caused by climate. So, I think from
23 her presentation, we can kind of look at this issue in that way
24 and start thinking about how this is going to affect things.
25

26 But clearly, it's an area of needed research because things are
27 going to change and to a degree that we can anticipate where the
28 priority stocks are going to be that potentially will be impacted,
29 the more we can try to address, you know, those things in our
30 assessments.
31

32 And at this point, I would again talk about the workshop that was
33 held in Miami a decade ago, at this point, or more, where we tried
34 to develop a consensus view on what species would be priority cases
35 to be impacted by climate change. And the report for that was never
36 released. And I think that was, you know, it was a week's worth of
37 work that everybody put in. I'm not sure why it was never released
38 other than, we got things about, or that it was being reworked, or
39 they were modifying the process from what had been done when they
40 were applying it to other regions. But the point was that there
41 was an effort made to try and identify what species would be most
42 vulnerable to climate change and why. It would be nice to have
43 that as a starting point.
44

45 Graciela, I think you were at that meeting. So, you know what I'm
46 talking about.
47

48 **GRACIELA GARCÍA-MOLINER:** I can't hear you. So, what?

1
2 **RICHARD APPELDOORN:** I said, I think you were at that meeting as
3 was I. Do you know what I'm talking about?
4
5 **GRACIELA GARCÍA-MOLINER:** The report of the vulnerability?
6
7 **RICHARD APPELDOORN:** Yes.
8
9 **GRACIELA GARCÍA-MOLINER:** Yeah. I just asked Liajay to see if we
10 had it in the-
11
12 **RICHARD APPELDOORN:** No, it never came out.
13
14 **GRACIELA GARCÍA-MOLINER:** But I thought that there was a draft of
15 some sort. So let me, let us check on that.
16
17 **RICHARD APPELDOORN:** Yes, there may have been a draft,
18
19 **VANCE VICENTE:** But there was never a final report.
20
21 **GRACIELA GARCÍA-MOLINER:** Okay. So, then we would have to, you
22 know, scoop it out and, and bring it up to date. I mean, there is
23 quite a bit of work being done by the Puerto Rico Climate Change
24 Council. And they do have the resilience reports, for Puerto Rico
25 and the Virgin Islands. So that would be, you know, that's- A lot
26 of is addressing anthropogenic impacts out of the sea level rise,
27 the changes in weather, etcetera.
28
29 **VANCE VICENTE:** But nothing much in the biology.
30
31 **GRACIELA GARCÍA-MOLINER:** Yeah, Vance was just saying nothing
32 really on the biology. So, that's an issue and a gap.
33
34 **VANCE VICENTE:** Except for mitigation. The only thing about biology
35 that I have read that they've been doing is establishing artificial
36 dunes to mitigate the costly erosion rate, but nothing on the
37 ecology or fisheries or endangered species or anything of the like.
38
39 **RICHARD APPELDOORN:** Yeah. And of course, another area of concern
40 is not just the impact on the species themselves, but on the
41 habitat. Obviously, corals are the poster child for this because
42 of bleaching and disease under high-temperature conditions, but
43 there are other issues as well.
44
45 **GRACIELA GARCÍA-MOLINER:** So, I was just looking at the dates, and
46 September 19th was Fiona, right? So, we were just- Part of the
47 problem that we're having, you know, and it had to do a lot with
48 the excessive amount of water that we received. There are going to

1 be very large issues, especially on the North Coast of Puerto Rico,
2 with all the water being dumped out of the urban area into the
3 Atlantic, for example. So yeah. So, these are big concerns because
4 of the changes to the habitat, the decline of coral cover in an
5 area that it's already, you know, exposed to high energy, high
6 wave energy, and just open Atlantic rather than protected areas.
7 So that's also a concern.

8
9 So, one of the things is that the EFH review thing, it's coming up
10 for us. So, we'll be looking into doing that review. And that would
11 be one place that's, you know, climate needs to be and has to be
12 addressed. And what I had mentioned earlier about the changes in
13 the habitat, specifically for the Queen Conch, for example, would
14 be quite pertinent to the EFH review, five-year review, or seven-
15 year review that's coming up.

16
17 **RICHARD APPELDOORN:** So, where do we go from here at the moment?
18 I mentioned that I think Sarah Gaichas's approach would be helpful
19 in looking at how we can take this kind of information and get it
20 into the assessment process. But obviously, I think it's an area
21 that a lot of research would help.

22
23 **GRACIELA GARCÍA-MOLINER:** So, I don't know if María's online, but
24 we will do our best to find the draft of that vulnerability
25 workshop and bring it up to date and see what we have not used
26 from that report. Then again, you know, you saw the many amendments
27 are coming up in terms of the island-based FMPs and this would be,
28 you know, also different for each one of the islands. So, that's
29 going to be a lot of work I foresee.

30
31 I've been trying to figure out a way of making this easier to deal
32 with, but I don't think that there is a way to do that. So, we
33 have to figure out a way of basically, accounting, for making sure
34 that we have information on the parameters that we need to look
35 at. And I think that that's where the conceptual models and the
36 Lenfest effort might come into play. So, it might be through the
37 fishery ecosystem plan, the way that, that should be addressed.
38 But I'm not a hundred percent sure. I'm just saying that that's
39 what I think should happen.

40
41 **RICHARD APPELDOORN:** Okay. Thank you. We have about 15 minutes
42 left. There was an issue about risk policies that had come up
43 recently, and I'm not sure I fully understand where the SSC comes
44 into these. So, if you could enlighten us on that.

45
46 **GRACIELA GARCÍA-MOLINER:** So, this just came out to us, what,
47 yesterday or the day before yesterday? So, apparently, the CCC is
48 working on assessing the risk policies at the Council level. So,

1 Miguel had actually answered to Chris Moore from the Mid-Atlantic
2 about, you know, looking at page 25. But I think that what you're
3 seeing is the presentation, was there a document with that?
4

5 So, we would have to look at that presentation and see what needs
6 to be changed now that the island-based FMPs are in place and add
7 our changes. Add whatever needs to be changed at that presentation.
8

9 **RICHARD APPELDOORN:** Is this an effort to more standardize risk
10 policies? In the sense that each Council has been dealing with
11 this independently and maybe there should be some comparison and
12 look at what- Sorry, go ahead.
13

14 **GRACIELA GARCÍA-MOLINER:** Well, that's what the presentation- So,
15 that's what the presentation does. It goes through the risk policy
16 of the other Councils and what's similar and what's not. I think
17 that this might need a little bit of updating and looking at it
18 and- You know, the ABC control rule, the P*, let's see, Managing
19 risk.
20

21 So, you know, now we have the ABC control rule for the island-
22 based FMPs. We have what we discussed, you know, this morning or
23 yesterday. So, this needs to be updated. So yeah, there are changes
24 that we need to make, but I don't think that we need to do anything
25 in terms of the SSC per se. I think that we just need to update
26 the information that's in here.
27

28 So, I'm looking to see if we have any other documents. I think
29 that it was just a summary presentation.
30

31 **RICHARD APPELDOORN:** There's a paper.
32

33 **GRACIELA GARCÍA-MOLINER:** Yeah, but the paper refers to a- Yeah.
34 So now I think I'm starting to understand it. So yes, we definitely
35 need to update what's in the presentation. So that's where the CCC
36 and they're referring to this paper for the implications on climate
37 resilience to see how our risk policy got generated by what we've
38 done. But, you know, I think that I just need to sit down look at
39 the presentation, and definitely include the CFMC updated version
40 from the island-based FMP.
41

42 **RICHARD APPELDOORN:** Well.
43

44 **GRACIELA GARCÍA-MOLINER:** okay. And I think that that's what needs
45 to be done with that.
46

47 Yeah. This is outdated. Definitely, this needs to be revised for
48 us.

1
2 **RICHARD APPELDOORN:** Right? So, the paper shows harvest control
3 rules used in U.S. Federal Fisheries Management and Implications
4 for Climate Resilience are in the preprint stage. That's what was
5 provided to us.
6
7 **GRACIELA GARCÍA-MOLINER:** Okay. I mean, if anyone had more
8 information than I do please say so. If not, Richard, it would be
9 us sitting down and going through the paper and the presentation.
10
11 **RICHARD APPELDOORN:** Right. Can you hear me? I've again lost the
12 zoom. I mean, I can hear you, and maybe you can hear me, but I
13 can't see anything, and I can't control muting or anything, so I'm
14 going to have to-
15
16 **GRACIELA GARCÍA-MOLINER:** So, all we have in there on the screen
17 is the paper that they sent, the pre et al. paper. And the
18 presentation goes through whatever was in place at the time of
19 2012, you know, that's a long time ago. In 2016 that's way before
20 all the island-based FMPs, etcetera. So, the summary that you have,
21 it's outdated for the Caribbean Council.
22
23 **RICHARD APPELDOORN:** So, this would be an issue that the Council
24 and the SSC should revisit at the upcoming meeting.
25
26 **GRACIELA GARCÍA-MOLINER:** Right. So, I need to update the
27 presentation because that needs to change. I mean, they're talking
28 about the scenarios that we used to have way back when. So now
29 things are not like that. And there is the P* and everything else,
30 that is now in place that wasn't then. So, the presentation, it's
31 quite outdated.
32
33 **RICHARD APPELDOORN:** Okay. I was able to recover my controls here.
34
35 **GRACIELA GARCÍA-MOLINER:** Can you see the screen already or not?
36
37 **RICHARD APPELDOORN:** Yes, I can.
38
39 **GRACIELA GARCÍA-MOLINER:** Okay. So, in this overview, if you go
40 down "the CFMC sets ACLSs using a multi-step process. The OFL can
41 be set to the average, or median of catch (unintelligible). So,
42 the ABC control rule now is a little bit different. So, it has-
43 keep going down. There! So, Caribbean uncertainty is associated
44 with the landings data due to underreporting or non-reporting.
45 High scientific uncertainty due to the lack of scientific
46 information. So that kind of thing, you know, needs to be- Do we
47 still believe that that's the case? So those are the things that
48 need to be corrected.

1
2 **RICHARD APPELDOORN:** Yeah. In a generic sense, I'm not sure much
3 is going to change, except for now we have the island-based plans
4 actually coming into effect, and therefore the control rules
5 developed within that will also come into effect.
6
7 **GRACIELA GARCÍA-MOLINER:** Right. So now, in this case, the approach
8 to say, these are four tiers, right? Not eight scenarios. I don't
9 know if you guys even remember what the scenarios were. So, that's
10 the kind of thing that we need to, you know, go through the
11 presentation and make sure, that we change it. Okay?
12
13 Yeah. Change the CA to only C. Yeah, this is from the previous
14 FMP. Yeah.
15
16 **RICHARD APPELDOORN:** So, without really specific information we're
17 sort of left saying, "Okay, the climate's going to be a much more
18 significant player in the dynamics here. And maybe the multipliers
19 on our Sigma_min have to be actually expanded to account for even
20 more uncertainty." But I would wait to hear more about some
21 approaches, again, looking at Sarah's presentation that might help
22 us look at how we might incorporate things more specifically.
23
24 And with that, I'd ask the committee whether they have any other
25 comments or questions on anything before we close. It's almost
26 five o'clock. Go ahead.
27
28 **GRACIELA GARCÍA-MOLINER:** I think I sent everyone the National
29 Standard 1. I think María just sent it to me, or I sent it to her.
30 So that is just part of the press.
31
32 **RICHARD APPELDOORN:** Yes. So, Jason, if you're there, does this
33 means this is going to be in effect?
34
35 **JASON COPE:** Yeah. Yeah, they're going to have an official rollout
36 and all that stuff, but it's an official tech memo now. So it can
37 be used.
38
39 **RICHARD APPELDOORN:** Well, that's great news. It's obviously going
40 to be something that we're going to have to learn how to use this
41 new flexibility to our advantage. But I think that opens up a lot
42 of possibilities for a lot of our stocks such our, you know, our
43 poor, on the data-poor scale. So that's really good news.
44
45 And for those of you who don't remember these flexibilities are
46 ones that would allow us to use something other than a weight to
47 set OFLs and ABCs. So, they could be something like catch per unit
48 effort level or mean size, length, or combinations thereof to be

1 able to manage the fisheries.
2
3 **GRACIELA GARCÍA-MOLINER:** This concludes all the other businesses
4 that we had on our list. Anything else that you need?
5
6 **RICHARD APPELDOORN:** In the next three minutes? No, not that I can
7 think of.
8
9 **GRACIELA GARCÍA-MOLINER:** We are negotiating the contract with the
10 hotel for the next SSC meeting. The date that we have is the week
11 of November 28th. So as soon as we have that information, we'll be
12 sending out the travel memo. It looks like we might need a three-
13 day meeting. So, Richard, I will be speaking to you probably next
14 week about, you know, all the topics, etcetera. But that's all I
15 have for now. So, if anyone has any specific topics that they would
16 like to include in the agenda for the November meeting, do send us
17 an email.
18
19 **RICHARD APPELDOORN:** Okay, Graciela, We'll be working on the agenda
20 for that. Julian?
21
22 **JULIAN MAGRAS:** Yes. Good afternoon once again. Question for
23 Graciela. Diana sent out a memo from a week ago for us to make
24 reservations for this meeting. So, does that still stand, or do we
25 need to cancel those hotel reservations?
26
27 **GRACIELA GARCÍA-MOLINER:** And they were for the SSC meeting?
28
29 **JULIAN MAGRAS:** Yes.
30
31 **GRACIELA GARCÍA-MOLINER:** Let me-
32
33 **JULIAN MAGRAS:** She sent it out, I can tell you right now, let me
34 get into my phone here.
35
36 **GRACIELA GARCÍA-MOLINER:** Then let me talk to Diana about it
37 because- No they sent- Yeah, there was a-
38
39 **JULIAN MAGRAS:** The reservation link for the SFMC SSC meeting from
40 November 28 to December 1st and that was sent on August 23rd. And
41 it has a link down below of who to call, and reservations must be
42 made by October 15.
43
44 **GRACIELA GARCÍA-MOLINER:** Julian, can you send that to me because
45 I don't have it?
46
47 **JULIAN MAGRAS:** It was sent to a lot of people. So, I'll forward
48 it to you because I actually forward it to Nelson today.

1
2 **GRACIELA GARCÍA-MOLINER:** Please do because I don't have it in my
3 email at all and that's what I was-
4
5 **JULIAN MAGRAS:** Alright you have it. I just sent it to you. Yeah,
6 but that was sent on August 23rd.
7
8 **GRACIELA GARCÍA-MOLINER:** Si, si but that- Yeah. That's an email,
9 if that's the one that I'm looking at, that has to do with the
10 setup of the October meeting, and then it should be stating that
11 it will be the week of the 28 but it doesn't have a link. So, send
12 me what you have because I really don't have-
13
14 **JULIAN MAGRAS:** I just did.
15
16 **GRACIELA GARCÍA-MOLINER:** Okay.
17
18 **JULIAN MAGRAS:** So, can you please confirm so we can know if we
19 have to do our reservations or not?
20
21 **GRACIELA GARCÍA-MOLINER:** Okay, pues thank you.
22
23 **JULIAN MAGRAS:** Not a problem.
24
25 **GRACIELA GARCÍA-MOLINER:** Okay. Did you adjourn the meeting?
26 Richard?
27
28 **RICHARD APPELDOORN:** I haven't. So, first, Julian, thank you for
29 the critical information.
30
31 **GRACIELA GARCÍA-MOLINER:** Definitely because it's-
32
33 **RICHARD APPELDOORN:** And then I would like to thank the committee
34 Sarah, Kevin and there are others there at the Science Center who
35 did some excellent presentations. And of course, the Council staff,
36 especially, Graciela for helping lead this and Liajay for all of
37 the zoom stuff. So, it is now a little after five so thank you
38 very much and we'll adjourn the meeting.
39