

1 **CARIBBEAN FISHERY MANAGEMENT COUNCIL**
2 **SCIENTIFIC AND STATISTICAL COMMITTEE MEETING**
3 **CFMC Headquarters**
4 **San Juan, Puerto Rico**

5
6 **JUNE 19-20, 2013**
7

8 The Scientific and Statistical Committee of the Caribbean
9 Fishery Management Council convened at the CFMC Headquarters,
10 San Juan, Puerto Rico, Wednesday morning, June 19, 2013, and was
11 called to order at 9:00 o'clock a.m. by Chairman Barbara Kojis.

12
13 **CALL TO ORDER AND ROLL CALL**
14

15 **BARBARA KOJIS:** Good morning, everyone. This is June 19 and we
16 are commencing the SSC meeting, Scientific and Statistical
17 Meeting for the Caribbean Fisheries Management Council. It's
18 being held in the CFMC Conference Room on June 19 and the start
19 time is twenty-five past nine. I would like to start off with a
20 roll call, starting over here, and just go around the room,
21 please.

22
23 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC.

24
25 **GRACIELA GARCIA-MOLINER:** Graciela Garcia-Moliner, council
26 staff.

27
28 **BILL ARNOLD:** Bill Arnold, National Marine Fisheries Service.

29
30 **WALTER KEITHLY:** Walter Keithly, Louisiana State University.

31
32 **TODD GEDAMKE:** Todd Gedamke.

33
34 **MICHAEL SISSENWINE:** Mike Sissenwine, Woods Hole Oceanographic
35 Institution.

36
37 **JORGE GARCIA-SAIS:** Reni Garcia, SSC.

38
39 **MEAGHAN BRYAN:** Meaghan Bryan, Southeast Fisheries Science
40 Center.

41
42 **JULIE NEER:** Julie Neer, SEDAR.

43
44 **IRIS OLIVERAS:** Iris Oliveras, council staff.

45
46 **BARBARA KOJIS:** Barbara Kojis, SSC Chair. Welcome, everybody.
47 We have a fair amount of things to discuss today and tomorrow.
48 We are commencing with a discussion of the paper that was

1 produced on the queen and silk snapper and I would just like to
2 get some background information on the purpose of our discussion
3 from Graciela on what we're doing with respect to this new
4 assessment of queen and silk snapper.

5
6 **TODD GEDAMKE:** Jim Berkson just dropped a note asking if he
7 wanted to be on the roll call.

8
9 **BARBARA KOJIS:** Yes, please, Jim.

10
11 **JIM BERKSON:** Good morning, everyone. Jim Berkson, NMFS
12 Southeast Fisheries Science Center.

13
14 **BARBARA KOJIS:** Is anyone else on the telephone conference or Go
15 to Meeting?

16
17 **GRACIELA GARCIA-MOLINER:** They should be able to hear us at the
18 Regional Office. They will see the screen and they will hear
19 the discussion.

20
21 **BARBARA KOJIS:** But they can't -- Jim is the only one that is
22 able to communicate with us?

23
24 **GRACIELA GARCIA-MOLINER:** Yes and you have Miguel Lugo and
25 Brittany at SERO.

26
27 **ADOPTION OF AGENDA**

28
29 **BARBARA KOJIS:** Okay. Graciela, can you go over a little bit
30 what the purpose of this initial agenda topic is? Well, first
31 of all, let's just go over the agenda. I suppose we had better
32 approve the agenda, adoption of the agenda. Does anybody have
33 anything to add to the agenda or anything that they want to --
34 Changes that they want to make?

35
36 **GRACIELA GARCIA-MOLINER:** I have an official item to the agenda.
37 This afternoon, Randy Parks will be here to talk about the --
38 They will go over the reef conservation grants and so anyone
39 from the SSC who wants to stay around and talk to them, they are
40 welcome to do so.

41
42 **BARBARA KOJIS:** But that's not part of the official meeting?

43
44 **GRACIELA GARCIA-MOLINER:** No.

45
46 **BARBARA KOJIS:** Okay. Jim, did you have anything you wanted to
47 add?

48

1 **JIM BERKSON:** No, I don't.
2
3 **BARBARA KOJIS:** Okay. Let's just -- By consensus, let's agree
4 that we're going to adopt the agenda as is. Everybody is
5 agreeing the agenda will be as is. Graciela, could you just
6 review a little bit of what we're doing?
7
8 **GRACIELA GARCIA-MOLINER:** The annual catch limits for the
9 species under management are based on average landings. You
10 have a copy of the Federal Register with the final ACLs as they
11 were established and in 2013, it is now that some of the ACLs
12 have been exceeded and so if they are exceeded, they are a
13 number of accountability measures.
14
15 There is one accountability measure that is stricter and that
16 accountability measure is that the fishing season is shortened
17 by a certain amount and so the fishing for Snapper Unit 2 will
18 come to an end and you also have a copy of the Federal Register
19 notice that says the date it will close. That is September 21,
20 2013.
21
22 Snapper Unit 2 is the queen snapper, the silk snapper -- The
23 species that were overfished and undergoing overfishing, because
24 -- For the Virgin Islands, they are just reported as snappers.
25
26 Come September 21, the fishing season will be over for queen
27 snapper and cardinal snapper. Those are the two species that
28 make up Snapper Unit 2. The reason for the overrun was that the
29 ACL was set for 145,916 pounds per year and it was reported,
30 based on the average for 2010 and 2011, over 300,000 pounds.
31 Basically, it's almost a 100 percent increase from the landings.
32
33 There have been a number of issues dealing with the queen
34 snappers specifically and that will be the opening or the
35 relaxation of the regulations in Puerto Rico, so that anyone --
36 People didn't have to submit the IRS information and they would
37 just write notary public letters saying that they were
38 commercial fishermen and this is one of the things that was
39 found by the DNER.
40
41 People who were not commercial fishermen were submitting
42 commercial landings data and that's one of the points. The
43 second issue is that there were, at the same time that the
44 council had been talking about annual catch limits, we were also
45 looking at limited entry for the deepwater snappers.
46
47 There was a lot of information coming in and there were people
48 that wanted to participate and make sure that they had

1 participation in that fishery.
2
3 Most of the public comments that were received when this was
4 announced had to do with the fact that people seem to think that
5 the queen snapper didn't have any problems and it was an issue
6 with the landings, the way they were reported, but nevertheless,
7 because the information that came from the Southeast Fisheries
8 Science Center and the Region, it states that we have almost
9 300,000 pounds of landings, on average, for the very recent
10 data. The ACL was exceeded and the AMs were published and the
11 final rule on that is out.

12
13 **RICHARD APPELDOORN:** What was the ACL?

14
15 **GRACIELA GARCIA-MOLINER:** It's 145,916 pounds.

16
17 **MICHAEL SISSEWINE:** So it's almost double. It's more than
18 double.

19
20 **BILL ARNOLD:** They overran by about 90 percent.

21
22 **JORGE GARCIA-SAIS:** What was the final catch?

23
24 **GRACIELA GARCIA-MOLINER:** The ACL was 145,916.

25
26 **JORGE GARCIA-SAIS:** What was the catch?

27
28 **BILL ARNOLD:** The catch was 277,979.

29
30 **GRACIELA GARCIA-MOLINER:** In addition to that, the SEDAR-26 had
31 looked at the use of a length model to determine if there was
32 any problem with the stocks at the time and that information was
33 brought to the council.

34
35 There was then a revision of the SEDAR methodology. The review
36 of the SEDAR-26 was by the Southeast Fisheries Science Center
37 and that's what you're going to hear today and to make
38 recommendations on two things.

39
40 One, in terms of using the model for other species, so that we
41 will just direct our efforts to do the assessments, quote,
42 unquote, following that directive and, number two, if there is
43 any indication that the Snapper Unit 2 could hold a higher
44 commercial landings, if the SSC thinks that the council should
45 take action regarding the ACL.

46
47 We are very late in the process, because we've already published
48 the final rule for September 21. Probably even if the SSC

1 believes that there was no problem, but you already spoke to
2 that, with the ACL, then to recommend anything to the council
3 regarding that, trying to prevent the AMs from being triggered.
4
5 The main reason that you're here is just to look at the
6 reanalysis of the queen snapper information and recommend to the
7 council if you should follow that path for the other species.
8
9 **MICHAEL SISSENWINE:** Could I ask a question about the
10 accountability measures? The accountability measure shortens
11 the season.
12
13 **GRACIELA GARCIA-MOLINER:** That's correct.
14
15 **MICHAEL SISSENWINE:** Is there also a reduction from the ACL to
16 account for the overage?
17
18 **GRACIELA GARCIA-MOLINER:** No, it just shortens the season and
19 then come January 1, 2014, the season opens again.
20
21 **RICHARD APPELDOORN:** It closes when?
22
23 **GRACIELA GARCIA-MOLINER:** September 21.
24
25 **JORGE GARCIA-SAIS:** And it reopens, Graciela?
26
27 **GRACIELA GARCIA-MOLINER:** January 1 of the next year, 2014.
28 There is no payback on the landings. Now, the issue is going to
29 be that if you already have 145,000 pounds as an ACL and people
30 are reporting almost 300,000 pounds, the ACLs probably need to
31 be revised. These are some of the things that are on the table
32 right now and that's going to be analyses of the information and
33 that presentation is important.
34
35 **BARBARA KOJIS:** Okay. Then are queen snapper considered
36 undergoing overfishing or underfished in the original?
37
38 **MEAGHAN BRYAN:** I'm going to review that.
39
40 **BARBARA KOJIS:** You're going to review all of that?
41
42 **MEAGHAN BRYAN:** Yes, I'll review those, the main stuff about
43 SEDAR-26.
44
45 **BARBARA KOJIS:** If you're going to review that, then that's
46 fine. That's great. I just want to make sure everybody is on
47 the same page and understands what the situation is with respect
48 to what the focus of our discussion should be and in terms of

1 what the status is with things, because I know we had a
2 discussion regarding the fact that there's all these fishermen
3 reporting catch now that didn't report before, but there is also
4 a -- The data is standardized and that's taken into account by -
5 - It should have been taken into account when Puerto Rico made
6 their determination of how much the catch was.

7
8 They should have been looking at how many commercial fishers
9 there were and how much reporting is being done compared to
10 previous years, so they have a --

11
12 **GRACIELA GARCIA-MOLINER:** There are a number of issues with the
13 Puerto Rico dataset and the recent meeting, just a week-and-a-
14 half ago or something like that, we got into the number of
15 fishermen that are submitting commercial landings, but that's a
16 -- We don't have a good handle on that yet.

17
18 **BARBARA KOJIS:** You don't have a good handle. Okay. Any
19 questions for Graciela?

20
21 **GRACIELA GARCIA-MOLINER:** The thing is that with the snappers,
22 when the council took action in terms of establishing the ACLs,
23 it had to do with -- It went along with all the species that
24 were overfished and undergoing overfishing.

25
26 The snappers at that time -- It was groupers, snappers,
27 parrotfish, and queen conch. That's why it's -- The buffer at
28 the time for the ACL was much larger than was used for the other
29 species that were not overfished or undergoing overfishing and
30 so there is a 15 percent buffer for those that were dealt with
31 in 2010 and only a 10 percent buffer for the others.

32
33 **TODD GEDAMKE:** The difference between those two categories
34 though -- You just stressed that these were treated as
35 undergoing overfishing. In the end, if you did a difference,
36 you would have been talking a difference of about 3,000 pounds.
37 You're talking insignificant differences between the way those
38 buffers were set up.

39
40 **RICHARD APPELDOORN:** What was the numbers, 10 percent?

41
42 **GRACIELA GARCIA-MOLINER:** 15 and 10 percent.

43
44 **BARBARA KOJIS:** 15 for species undergoing overfishing and
45 overfished and 10 percent for those that weren't.

46
47 **GRACIELA GARCIA-MOLINER:** The way that we're setting this up, I
48 am going to transfer the presentation to Meaghan and she'll be

1 showing everyone, including Jim, who is going to be looking at
2 the screen, and she will have the power now.

3
4 **BARBARA KOJIS:** Okay, good.

5
6 **PRESENTATION OF REANALYSIS OF SEDAR-26 DATA**

7
8 **MEAGHAN BRYAN:** You all should have received a report, and I
9 don't know when, that summarizes the approach that I used and
10 the results and basically what I did was just an extension of
11 the analysis from SEDAR-26.

12
13 I didn't reanalyze anything in terms of what we did with the
14 mean length estimate. I just took the results that were
15 generated during that SEDAR process and then applied them to the
16 yield per recruit and spawner per recruit analysis that I did.

17
18 What I thought I would do first is just review what we did for
19 SEDAR-26, before moving on to what I did, and summarize some of
20 the main conclusions and the results and the methods from that
21 SEDAR process.

22
23 As you know, during SEDAR-26 we looked at three species, but the
24 two that I was told we were concerned with for this meeting were
25 queen snapper and silk snapper. What we did was we assessed
26 each of these species separately by island platforms and gear
27 types and the main gear types that target queen snapper and silk
28 snapper are hook and line gear types.

29
30 During the SEDAR-26 process, we reviewed all of the data
31 available in the Caribbean, and so MRFSS and the commercial
32 landings, but what turned out to be the most consistent, in
33 terms of species-specific information for these species and
34 Puerto Rico, across Puerto Rico, St. Thomas, St. John, and St.
35 Croix was from the Trip Interview Program, or TIP.

36
37 This data collection program is a port sampling program and it
38 was designed by the Southeast Fisheries Science Center to
39 supplement the data collection that we don't necessarily get
40 from the commercial landings and so information about lengths,
41 species composition of catch. Those kinds of things are
42 collected by the TIP program.

43
44 The data that was of main interest to us were the annual length
45 data, because this was the data that we were going to be able to
46 apply to the mean length estimator that I will talk about
47 briefly in a moment.

1 Just to give you a sense of the length frequency data that's
2 available from TIP for these species by island and gear types,
3 you can see there are some observations from other gear types,
4 but I think some of these might be erroneous or just incidental
5 catch.

6
7 Mainly, queen snapper is targeted using the hook and line gear
8 types. This figure just shows the length frequency data
9 aggregated in five-year blocks, due to fairly low sample size in
10 some of the years, but this gives you an idea of what the length
11 frequency of the species looks like over time, between 1983 and
12 2011.

13
14 **MICHAEL SISSENWINE:** What is the red bar?

15
16 **MEAGHAN BRYAN:** Sorry. The red bar is what -- It basically
17 shows the mode of the distribution and that's what we used to
18 pick the length at full vulnerability for the analysis.

19
20 **MICHAEL SISSENWINE:** That's what I would have thought, except
21 for the lower left. The red doesn't look like the mode.

22
23 **MEAGHAN BRYAN:** It represents the bin with the highest frequency
24 and so in most cases, that's the mode. I will talk about that a
25 little bit more in a bit, about how we chose the length at full
26 recruitment. This is just the length frequency distribution for
27 queen snapper in St. Croix. Again, hook and line is the main
28 gear type.

29
30 You will notice between 1999 and 2002 that there were barely any
31 samples collected for queen snapper in St. Croix and I don't
32 know if that was due to a decline in sampling efforts in St.
33 Croix or if that's just because they were just not intercepting
34 trips that were catching queen snapper.

35
36 **BARBARA KOJIS:** That would have been because of not as many
37 samples being taken.

38
39 **MEAGHAN BRYAN:** Funding? Okay.

40
41 **BARBARA KOJIS:** Yes, funding was a very serious issue back then.

42
43 **MEAGHAN BRYAN:** I am also looking at silk as well and, again,
44 hook and line, you can see the length frequency data for silk
45 snapper caught in St. Croix.

46
47 I am not showing the length frequency data from Puerto Rico and
48 I didn't reconsider that analysis for this meeting, because

1 during SEDAR-26, we talked about how there was some shift in
2 management towards a larger size limit. I can't remember what
3 year it was and maybe 2004. That was a violation of the
4 assumption that selectivity was constant over time and methods
5 and so I didn't reevaluate that analysis.

6
7 That's the data that we used or that was available for us that
8 was species specific, so that we could focus on queen snapper
9 and silk snapper separately, or outside of the snapper complex
10 for the USVI.

11
12 What we did was we used the Gedamke and Hoenig mean length
13 estimator. This is an extension of the Beverton-Holt mean
14 length mortality estimator and as we discussed in SEDAR-26, this
15 method is computationally attractive for data-limited
16 situations, because it has minimal data inputs.

17
18 One, you need length frequency data to get your mean length
19 information and to determine length at full recruitment, if you
20 don't have other information about selectivity. Also, it relies
21 on life history parameters, mainly the von Bertalannfy growth
22 parameters, the von Bertalannfy growth coefficient, and the
23 asymptotic length.

24
25 This method provides estimates of total mortality, which can
26 then be used to derive fishing mortality if you have some --
27 Either an empirical estimate of natural mortality or if you
28 assume some sort of life history invariant relationship between
29 natural mortality and your growth parameters.

30
31 Another facet of this method that's attractive, as opposed to
32 the Beverton-Holt mean length estimator, is that it doesn't
33 assume that the population is at equilibrium and so it can
34 estimate temporal changes in total mortality, which can be
35 useful when you're trying to consider how is mortality -- You
36 want to see how mortality has changed over time and what is that
37 relative change and does that give you any information about the
38 sustainability of the fishing pressure on the species that
39 you're focusing on.

40
41 We did an extensive review of the life history information for
42 queen snapper and silk snapper during the SEDAR-26 review
43 process and the main uncertainty in the assessment was the life
44 history parameters.

45
46 There was very little published information about the age and
47 growth relationship for these species. I think there were two
48 for queen snapper that we found and so to account for having

1 very limited knowledge about the life history or the age and
2 growth relationship for these species, we conducted a
3 sensitivity analysis over a range of the input parameters and so
4 those growth parameters.

5
6 This is not showing up very well and I can't seem to use my
7 mouse, but this just shows the estimates, the absolute
8 estimates, of total mortality across the range of each of the
9 three input parameters.

10
11 The top panel shows that length at full recruitment. The middle
12 panel shows the von Bertalannfy growth coefficient and that
13 bottom panel shows the asymptotic length and on the Y-axis, you
14 see the absolute estimates of total mortality in the current
15 time period and so that either means that over the entire time
16 series if there was no change detected in total mortality or the
17 most recent time period if a change in total mortality was
18 detected.

19
20 **BILL ARNOLD:** I'm sorry, Meaghan, but what was the middle table?

21
22 **MEAGHAN BRYAN:** That's the von Bertalannfy growth coefficient
23 and so, as you can see, that has a strong influence on the total
24 mortality estimates, mainly the absolute total mortality
25 estimates, the von Bertalannfy growth coefficient.

26
27 You can see that for larger values von Bertalannfy growth
28 coefficient total mortality -- Your total mortality estimates
29 end up being much higher than for lower values of that von
30 Bertalannfy growth coefficient. This is just an example of what
31 the sensitivity results looked like.

32
33 **TODD GEDAMKE:** I just think that it's important here, and you're
34 probably going to stress this again, that the take-home message
35 that I see from this, as we've gone into it, is look at the
36 range of K_s , the range of L infinities, the range of L_c , that we
37 felt the need to explore.

38
39 We didn't basically set it, but the literature did not pin us
40 down on to specific values that we were running sensitivities
41 off of base case values. We were more or less doing a real
42 shotgun-type approach at looking at this. There's a huge range
43 and then the other one too is if you look at K , the value of K
44 really does affect the total mortality estimate in a pretty
45 substantial way.

46
47 **BARBARA KOJIS:** I just have a question of Graciela related to
48 this. Didn't the Puerto Rico lab do work on age and growth for

1 deepwater snapper?

2

3 **MEAGHAN BRYAN:** I did come across a report and I think it
4 provided some information about maturity, but they were not able
5 to age those fish that they had. I think they had -- I don't
6 know if they had the --

7

8 **GRACIELA GARCIA-MOLINER:** They had the otoliths.

9

10 **MEAGHAN BRYAN:** They had the otoliths, but I don't know if they
11 able to actually read the otoliths, for some reason.

12

13 **GRACIELA GARCIA-MOLINER:** The good news is that we did send
14 people to be trained on reading otoliths and processing them.
15 They do have a collection of the otoliths for the queen and the
16 silk. They just sent me the budget for the materials that they
17 need and so hopefully, within the very near future, we should
18 have at least age for the queen and the silk.

19

20 **MEAGHAN BRYAN:** Just to move on to the general conclusions, as
21 many of you are already aware, because you were here for the
22 review, I'm sure, last -- I don't know if it was last year or
23 two years ago for the assessment, but, as we said earlier, that
24 for all the fisheries that we considered, the hook and line
25 fishery in St. Croix or Puerto Rico for queen snapper and the
26 hook and line fishery in St. Croix for silk snapper, the
27 analysis didn't provide any evidence to suggest that queen
28 snapper or silk snapper were experiencing overfishing.

29

30 **MICHAEL SISSEWINE:** That statement is true over the range of
31 sensitivities you're saying?

32

33 **MEAGHAN BRYAN:** Yes and so what we did is we looked at -- We did
34 compare fishing mortality estimates that were derived from the
35 total mortality estimates and natural mortality and compared
36 that to estimates of natural mortality to make some conclusions
37 or try to make conclusions about whether or not these fisheries
38 were experiencing overfishing.

39

40 In general, yes, over the sensitivities, we didn't find that
41 there was evidence to suggest that. I will talk about the issue
42 of queen and Puerto Rico.

43

44 **TODD GEDAMKE:** A couple of pieces in there. Over the whole
45 range of sensitivities, we ended up with total mortality
46 estimates that I think were bounded out of the three plus, in a
47 lot of cases.

48

1 If you follow that through, you would end up with a
2 determination of overfishing on some of those sensitivities and
3 so although I agree that over the range of sensitivities that
4 you did, the final conclusion was that if you looked at
5 individual cases, you definitely wouldn't have come up with it.

6
7 The other thing is I don't know how many hours it took for us to
8 come up with the language for those five words, "no evidence to
9 suggest overfishing", as opposed to "overfishing is not
10 occurring".

11
12 It's a simple way of wording it, but the point being is that
13 there was nothing we found that really strongly suggested that
14 overfishing was occurring and the other key piece to this was if
15 you looked at the size structure of the population in comparison
16 to the size at maturity, you ended up with the size at maturity
17 being at the very low end of the size structure being caught.

18
19 With that, we felt, basic population dynamics principles 101, we
20 were probably in a decent place with the harvest size structure
21 in relationship to the size at maturity and so there was a
22 couple of pieces of information which led us to that statement.

23
24 **MICHAEL SISSENWINE:** I interpret that statement as the
25 equivalent -- The statement of the original overfishing versus
26 no evidence to suggest overfishing implies, to me, that the
27 people who chose this one view the power of the test was fairly
28 low.

29
30 **TODD GEDAMKE:** Yes.

31
32 **MEAGHAN BRYAN:** Yes. There was no quantitative --

33
34 **TODD GEDAMKE:** That's why I felt it was worth restating, so that
35 it was not misinterpreted.

36
37 **MEAGHAN BRYAN:** Right. Thank you. I will just show this plot
38 so you can see the size structure zoomed in and overlaid on top
39 of each other and it was fairly stable over time and so that was
40 one piece of the evidence.

41
42 Silk snapper, again, there was no evidence to suggest that the
43 fishery was experiencing overfishing, but as you will remember
44 from a previous slide, there was a gap in the sampling due to,
45 as Barbara said, funding issues and so any temporal changes that
46 we detected in total mortality -- We didn't, actually. They
47 were not specifically supported and the reason why is probably
48 because of that low sample size. It obscured any relationship

1 between change in size and change in mortality.
2
3 Then, again, that figure, you can see, from 1999 to 2002, there
4 was thirty-one total samples in that five-year period of time
5 and so -- You still had some of those larger individuals that
6 you're seeing earlier in the time series in that time block of
7 1999 to 2002. That kind of recedes in 2003 to 2011, but we did
8 not detect any temporal changes in mortality and so we couldn't
9 investigate or evaluate the relative change in total mortality
10 between time periods.
11
12 Just to complete the review of SEDAR-26, for queen snapper, the
13 hook and line fishery in Puerto Rico, again, there was no
14 evidence to suggest overfishing, but temporal changes in total
15 mortality were detected and there was an increase in total
16 mortality over that time period, but the proportional change
17 across all of the sensitivities that we did were between about
18 55 percent and 85 percent.
19
20 We were kind of in a unique situation with this particular
21 fishery, because apparently the fishery started in the early
22 1980s, when this dataset begins, and so to make the statement
23 that fishing mortality is likely less than the FMSY, we needed
24 to assume that the first year of data collection represents the
25 start of the fishery and in turn, the initial estimate of total
26 mortality is equal to natural mortality.
27
28 If you assume that FMSY is approximately equal to natural
29 mortality, your ratio between your current fishing mortality and
30 FMSY is less than one and so that would indicate that the
31 fishery is not experiencing overfishing. That was the logic
32 behind that conclusion for the queen snapper hook and line
33 fishery in Puerto Rico. Those were the main conclusions from
34 that analysis.
35
36 **TODD GEDAMKE:** Just two clarifications. I think Meaghan just
37 said it and I will just restate them, because I think they're
38 important for further discussion on here. The proportional
39 change in this case -- This was an approach we sort of developed
40 or looked at during the analysis, because we didn't really trust
41 the values for the growth parameter.
42
43 By looking at proportional change, our growth parameter actually
44 cancels out and so we ended up looking at that as an alternative
45 way of trying to look at the relative change in mortality over
46 the time period.
47
48 The other thing I really want to stress here is what Meaghan

1 said regarding fishing mortality is less than FMSY. For the
2 queen snapper, we had a fishery, based on all anecdotal accounts
3 and all data sources, that it did not exist at the beginning of
4 the time series.

5
6 It was relatively easy for us in this case to look at this
7 species and say, well, let's just assume that at the beginning
8 part of this time series that there was little to no fishing
9 mortality occurring.

10
11 From that, and Meaghan just said this, but from that, we can
12 then look at our early estimates of total mortality representing
13 just natural mortality. In this case, we were able to make an
14 assumption, based on all the information in front of us, and
15 come up with an empirical estimate for M.

16
17 As this process continues and this type of method becomes
18 applied, getting to that empirical estimate of M becomes very
19 difficult and in this case, it was just a unique situation that
20 allowed us to be pretty confident in assuming that early
21 estimates were equal to M.

22
23 **RICHARD APPELDOORN:** A question. When you say the early period,
24 are you talking about that block of time or actually the first
25 years in that block of time?

26
27 **TODD GEDAMKE:** I don't remember the exact years right now, but I
28 think you had at least a ten-year period where there was no
29 records of queen snapper in the early part.

30
31 **RICHARD APPELDOORN:** I am talking about the length frequency
32 distribution.

33
34 **TODD GEDAMKE:** I'm talking time and so the earliest years in the
35 time series.

36
37 **RICHARD APPELDOORN:** But that earliest block of time that was
38 shown on the graph?

39
40 **TODD GEDAMKE:** Yes.

41
42 **RICHARD APPELDOORN:** Okay, because the big decline comes between
43 that first year and the second year.

44
45 **BARBARA KOJIS:** The second block of years.

46
47 **RICHARD APPELDOORN:** The second block of time.

48

1 **BARBARA KOJIS:** Rich and Todd, if there were no queen snapper
2 caught, how could you get values for length? Where were you
3 getting those from?
4
5 **MICHAEL SISSENWINE:** There must have been a few caught.
6
7 **TODD GEDAMKE:** Flip to silk.
8
9 **RICHARD APPELDOORN:** I think it was silk. Maybe that was what I
10 was looking at. Yes, that's the one I was looking at. Maybe I
11 just haven't --
12
13 **TODD GEDAMKE:** You were just looking at the scale.
14
15 **RICHARD APPELDOORN:** You don't see it that much.
16
17 **MEAGHAN BRYAN:** Yes, there's fewer.
18
19 **RICHARD APPELDOORN:** The scales are different and so that
20 accounts for the fact that there's definite sampling effort
21 going on. I think it's okay. I just had the silk and queen
22 confused.
23
24 **MICHAEL SISSENWINE:** The conclusion, based on what you said,
25 would be that not only is overfishing not occurring, but it has
26 never occurred in the time series.
27
28 **TODD GEDAMKE:** That was where we were. It's a developing
29 fishery.
30
31 **MEAGHAN BRYAN:** The review of SEDAR-26, before I move on, are
32 there any other questions?
33
34 **MICHAEL SISSENWINE:** This is being reported, status report and
35 managed, on the basis of it being overfished.
36
37 **MEAGHAN BRYAN:** It's Snapper Unit 2 and is that based mainly on
38 cardinal snapper or was it --
39
40 **GRACIELA GARCIA-MOLINER:** The queen and the cardinal. At that
41 time, it was based on the average landings of queen snapper.
42
43 **MEAGHAN BRYAN:** But prior to this assessment, how was it
44 determined that that Snapper Unit 2 was overfished?
45
46 **TODD GEDAMKE:** You want to open that can of worms?
47
48 **MEAGHAN BRYAN:** Maybe not, but --

1
2 **TODD GEDAMKE:** Expert judgment was what was originally done with
3 this.
4
5 **GRACIELA GARCIA-MOLINER:** During the development of the ACLs,
6 based on the average catch and the certain number of parameters
7 that were used and that list.
8
9 **TODD GEDAMKE:** You bring up a good point. There is that list.
10 In the process of looking at all the Caribbean species, we went
11 with the data-poor average landing approach, which has been
12 applied in many different places.
13
14 Then from there, this was one of the first single species that
15 we reevaluated or did a full attempt at assessment following
16 this. What was done with the broad sweep of species was average
17 landings and some reduction to get to your ACL.
18
19 This is the first one we've looked at in an attempt to
20 reevaluate and actually come up with a quantitative estimate.
21 In this case, our final conclusion was that there's no reason to
22 suggest that overfishing is occurring, but there's also not
23 enough information available to say that the ACL should be two
24 times greater than the average landings. There was no reason to
25 add any additional cautionary approach to the current ACL.
26
27 **MICHAEL SISSENWINE:** In practice, in the data-poor situations,
28 it would seem there is very little difference between whether
29 the thing is classified as overfished or not. Overfishing makes
30 a difference, but since there isn't a rebuilding plan with F
31 rebuild calculated based on some sort of projections, in
32 practice it doesn't make much difference whether it's overfished
33 or not. It may show up on a list somewhere, but the actual
34 averages are pretty much going to be the same.
35
36 **JORGE GARCIA-SAIS:** Is that actual catch based on an expansion
37 factors for accounting for recreational fishermen and stuff?
38
39 **MEAGHAN BRYAN:** The ACL?
40
41 **JORGE GARCIA-SAIS:** No, the total catch for which we are saying
42 that the annual catch limit has been overridden or exceeded. Is
43 that based on some expansion factor?
44
45 **RICHARD APPELDOORN:** Yes, obviously.
46
47 **JORGE GARCIA-SAIS:** It is?
48

1 **RICHARD APPELDOORN:** Yes.
2
3 **JORGE GARCIA-SAIS:** For which do we have any real check on that?
4
5 **GRACIELA GARCIA-MOLINER:** That's what the -- The DNER provides
6 the information to the Southeast Fisheries Science Center and
7 between the two, they go over the expansion factors as they are
8 going to apply to the reported commercial landings and they have
9 been reviewing the expansion factors also in real time.
10
11 **MEAGHAN BRYAN:** If I'm remembering the figure correctly, the
12 overage is based on 2010 and 2011 and the expansion factor has
13 minimal effect on the landings in Puerto Rico. I think it's
14 almost one and so you're not expanding the landings by much at
15 all and so essentially it's saying whatever they've observed or
16 self reported is what is going into that ACL, essentially.
17
18 **JORGE GARCIA-SAIS:** Is there any way you can tell me what was
19 the expansion factor applied to the landing data?
20
21 **TODD GEDAMKE:** Meaghan's statement I think I can say is correct.
22 The expansion factors are regionally-based in Puerto Rico and in
23 this case, most of the landings are occurring from the southwest
24 corner of the island and in that region, there is very high
25 reporting rates and so the expansion factor has little impact.
26
27 If I may make a suggestion regarding expansion factors, because
28 this, Reni, I know is something that bothers you every single
29 time we talk about landings.
30
31 **JORGE GARCIA-SAIS:** I know, because it's an abstract thing, you
32 know.
33
34 **TODD GEDAMKE:** I understand and we end up spending hours and
35 hours discussing expansion factors and I think I would be happy
36 to say that, once again, expansion factors need to be looked and
37 evaluated and let's move on on that, because the expansion
38 factors are not really relevant to this discussion.
39
40 **JORGE GARCIA-SAIS:** Well, that's what I wanted to know.
41
42 **GRACIELA GARCIA-MOLINER:** The information that you're looking
43 at, the ACLs that were exceeded, are for Puerto Rico commercial
44 side. There is information on the recreational harvest of these
45 species, but the ACL was not exceeded on that sector, which is
46 one of the reasons why the DNER is looking so closely at this,
47 because they believe that many recreational fishers were
48 reporting as commercial. That's an issue that they have to deal

1 with and clarify before we can do anything else. We are working
2 on that.

3
4 **TODD GEDAMKE:** It needs to be addressed for every species in the
5 region in Puerto Rico. The question needs to -- I don't know
6 the last time the conversion factors were reevaluated, but I
7 believe, at least from the last SSC meetings I was at, we spent
8 a good bit of time making recommendations that this needs to be
9 reevaluated and I think Steve Turner had sent some information
10 down. Once again, when we look at any ACL, those same questions
11 are going to arise.

12
13 **JORGE GARCIA-SAIS:** Yes, but with particular reference to these
14 species, it's that I still remember, because I participated in
15 the SEDAR analyses as well, and these species, we actually
16 concluded that we don't have any evidence that it was undergoing
17 overfishing and that we had applied an extra cautionary -- Like
18 a cushion and I think it was 15 percent over the average annual
19 catch for scientific reasons, just to look at how the fishery
20 was behaving.

21
22 I had very strong reservations all through, because of the
23 considerations that we were going to impose, severe annual catch
24 limits to the coral reef fishery resources, which we wanted to
25 protect as a high priority.

26
27 We have to give the fishermen some kind of alternative fishery,
28 for which queen conch was something that was one of the most
29 promising, because it was an emergent fishery. Number two, the
30 habitat of the queen snapper is a very large habitat, which
31 includes not only the resources of the Puerto Rico habitat, but
32 actually the close Caribbean islands, because, as we saw in
33 several presentations, there is a ridge between Puerto Rico and
34 the Dominican Republic which we believe includes a very wide
35 range of benthic habitat for that species.

36
37 It's not very restricted in terms of habitat and all those
38 considerations, plus the uncertainties of the previous history
39 of the fishery itself, gave us some -- At least gave me some
40 indication that we should consider queen snapper fisheries as an
41 alternative for a -- A fishery to be considered as a developing
42 fishery, for which we didn't have to be so conservative and give
43 that as an option for fishermen to consider it, the reduction in
44 effort on the coral reef fisheries.

45
46 That is why now it's hitting us back and I am trying myself
47 here, in a situation where I say I should have not let go my
48 initial considerations regarding the fisheries for these species

1 in particular, and that's why now all I have left is the
2 consideration of, okay, what about the expansion factors?

3
4 Are we now going to close down or restrict the fisheries based
5 on data that we are just -- It's just an assumption. It's just
6 an abstract. It's an expansion that may or may not be.

7
8 **GRACIELA GARCIA-MOLINER:** At the time of the council considering
9 limited entry or some sort of program like that for the
10 deepwater snappers, there was a report to the council of about
11 40 percent underreporting, for example, and so some efforts have
12 been made to address the issue of non-reporting and
13 misreporting, et cetera.

14
15 There was, in 2010, also a change in the data forms, so that the
16 reporting will be more specific. That one specifically needs to
17 be evaluated, because that started in 2010 and we were just
18 talking now that we don't have the 2012 landings data for Puerto
19 Rico yet, at least not the final versions.

20
21 There are quite a number of issues with the data, but, again,
22 that's the data that we have available. The DNER has been
23 requesting or has been discussing actually going through their
24 own records to look in more detail at the information that they
25 have, to make sure that they have the people who are commercial
26 fishers submitting as commercial fishers and be able to get rid
27 of anyone else who had not been in the fishery before and they
28 just came in when the DNER opened the doors for almost anyone to
29 come in. Those are the issues that are under consideration, but
30 we can't offer anything else except that.

31
32 **BARBARA KOJIS:** Meaghan, can you continue?

33
34 **MEAGHAN BRYAN:** Yes. So none of the analyses suggested
35 overfishing and because of the method that we used, we couldn't
36 determine whether or not these were considered overfished.
37 Everything was based on -- Our analysis was focusing on that
38 determination of overfishing.

39
40 **BARBARA KOJIS:** Let's take a coffee break now.

41
42 (Whereupon, a brief recess was taken.)

43
44 **BARBARA KOJIS:** I would like to call the meeting to order again.
45 We are going to restart the meeting. We had a power outage and
46 the start time is 11:15 and, Meaghan, could you continue?

47
48 **MEAGHAN BRYAN:** We had just reviewed the SEDAR-26 process and

1 assessment and now, moving on to this extended analysis.
2 Essentially, the Science Center was asked to address this issue
3 of reevaluating whether these fisheries were experiencing
4 overfishing and was there a method that was appropriate to
5 determine that or a more quantitative and robust, I guess,
6 estimate of FMSY or some sort of proxy, rather than just using
7 natural mortality as a proxy for FMSY.

8
9 To address this, I have conducted a yield per recruit analysis
10 and spawner per recruit analysis to derive these fishing
11 mortality reference points that are sometimes suggested to act
12 as proxies for FMSY.

13
14 I derived F_{max} , which is just the maximum of the yield per
15 recruit curve; $F_{0.1}$, which just represents the slope of the
16 yield per recruit curve that's 10 percent of the stock at the
17 origin; and then F_{30} percent, which is the F that allows the
18 survival of 30 percent of the spawning biomass per recruit.

19
20 **MIKE SISSENWINE:** Can I ask on that, is your F_{30} percent
21 definition shorthand for 30 percent spawning biomass per
22 recruit?

23
24 **MEAGHAN BRYAN:** Yes. Those are the three reference points that
25 I derived and then the other goal of this analysis was to
26 compare these mortality reference points to the current fishing
27 mortality estimates that we derived or estimated during the
28 SEDAR-26 sensitivity analyses and reevaluate overfishing status
29 for these species.

30
31 Then, beyond this per recruit analysis, and it's something I'll
32 present a little bit later, is getting at this point of okay,
33 can we -- If this information -- If you determine that this
34 information is useful for determining overfishing status, can we
35 use this, these reference points, in combination with the
36 current fishing mortality estimates to then develop a harvest
37 control rule based solely on fishing mortality, since we don't
38 have abundance estimates, which usually you have a harvest
39 control rule that considers fishing mortality and abundance.

40
41 Can we develop a harvest control rule just using fishing
42 mortality and I've started investigating a potential harvest
43 control rule that could potentially be used, but I haven't
44 thoroughly tested this yet. I think probably another step would
45 be to do further simulation testing, but we can get to that
46 later.

47
48 This is just to show you an example. The blue line shows the

1 yield per recruit curve and this is just an example. The blue
2 line shows the yield per recruit curve and the red line shows
3 the depletion in spawning biomass and then $F_{0.1}$ is represented
4 by that dashed line and in this situation, F_{max} and $F_{30\%}$
5 ended up being the same, as represented by that dotted line.
6 This is just an example for you to see what these could
7 potentially look like in relation to one another.

8

9 **MIKE SISSEWINE:** Where is M on that?

10

11 **MEAGHAN BRYAN:** M? This is just an example and it doesn't -- I
12 didn't come up with an M for this example. Getting back to that
13 second goal to derive fishing mortality estimates, I needed to
14 derive estimates of natural mortality and to do that, I used
15 three different approaches and they're all based on some sort of
16 life history and variance, the Pauly method, which is a function
17 of the growth parameters as well as temperature.

18

19 For queen snapper, I found one paper by Lesser et al. that
20 reported that queen snapper, the temperature at the depths at
21 which queen snapper are found, can be anywhere between fifteen
22 and twenty degrees and so I chose seventeen degrees as a happy
23 medium and knowing that queen snapper are commonly found a bit
24 shallower than queen snapper, I used that information and used
25 nineteen degrees Celsius.

26

27 I also looked at the Ralston method, which is just a linear
28 regression equation, and Jensen's life history and variance
29 relationship for M and so there's three different ways and they
30 were all based on these growth parameters, because we didn't
31 have particularly reliable estimates of maximum age and so I
32 constrained the analysis to consider these three mortality
33 equations.

34

35 Just to give you an idea of what the age schedule on the model
36 assumptions looked like, there's a few different lines and so
37 just to orient you to the screen, the blue line represents the
38 survivorship of queen snapper and so it basically is just
39 showing you the proportion of a particular age group surviving
40 to the next age group and that's that blue line, which is just
41 an exponential declining function of age.

42

43 Vulnerability and maturity seem to be knife edge at the age of
44 full recruitment and this varied depending upon the
45 sensitivities, but in this example, this assumes that they
46 become or they recruit to the fishery or mature at age two and
47 then it also assumes that weight follows the von Bertalanffy
48 growth relationship.

1
2 To carry out the yield per recruit and the spawning biomass per
3 recruit analysis, I used the Botsford incidence functions and
4 basically, what this allows -- These account for the effects of
5 natural mortality and fishing mortality over the lifetime of the
6 species of interest through that survivorship L_x parameter.

7
8 Vulnerable biomass is just a function of survivorship, weighted
9 age, and vulnerability at age and then yield per recruit was
10 calculated as the exploitation rate or the product of the
11 exploitation rate and that vulnerable biomass and spawning
12 biomass per recruit was also calculated as the function of the
13 survivorship, the weighted age, and the maturity at age.

14
15 Those are the components of the analysis. Because I was
16 applying this approach to the majority of the sensitivity -- The
17 results from the sensitivity runs, there were hundreds of yield
18 per recruit curves that were derived and so I'm just showing
19 this as an example, because it's a fairly good example of the
20 shape of the yield per recruit curves that resulted.

21
22 You can see -- Normally, I think when people think of yield per
23 recruit curves, they think of this curve that peaks and then
24 declines fairly rapidly. Not rapidly, but it declines as
25 fishing mortality increases.

26
27 Here, it does decline a bit, but it's more asymptotic than what
28 I think people think of a typical yield per recruit curve and so
29 in this case, the F_{30} percent -- I should have shown the
30 spawning biomass per recruit on this figure too, but what was
31 happening in the majority of runs is that F_{30} percent was just
32 so much larger than your F_{max} and $F_{0.1}$ and F_{max} is often -- It
33 has been shown to often be greater than what F_{MSY} would be. If
34 that holds true, the F_{30} percent may be greater than F_{MSY} . I
35 looked at, again, the queen snapper.

36
37 **MICHAEL SISSENWINE:** Can we go back to that one? It looks very
38 much, in that example, like F_{MSY} is about M . It's about the
39 same value as M , 0.43.

40
41 **MEAGHAN BRYAN:** Yes.

42
43 **MICHAEL SISSENWINE:** Is that a common outcome from these many
44 iterations?

45
46 **MEAGHAN BRYAN:** I would have to go back and look at that, but
47 that's a good question.

48

1 **MICHAEL SISSENWINE:** It wouldn't surprise me if it was.
2
3 **RICHARD APPELDOORN:** How can you get an F 30 way out there?
4
5 **MEAGHAN BRYAN:** This sometimes happens when your age at
6 recruitment to the fishery is greater than your age at maturity,
7 but in this case, they're assumed to be the same and often when
8 you have higher natural mortality, you also can sometimes get
9 this kind of pattern. My interpretation of this --
10
11 **RICHARD APPELDOORN:** That should tell you that something is
12 seriously wrong somewhere.
13
14 **MEAGHAN BRYAN:** I think in terms of productivity --
15
16 **RICHARD APPELDOORN:** You did this for a wide variety of
17 parameters because of the uncertainty in those and is that a
18 common feature?
19
20 **MEAGHAN BRYAN:** Yes, that is a common feature and I was
21 associating it to high natural mortality rates and productivity.
22
23 **BILL ARNOLD:** Meaghan, which of those mortality rates would you
24 consider to be the best guideline for sustaining the fishery?
25
26 **MEAGHAN BRYAN:** I think what you need to --
27
28 **TODD GEDAMKE:** We're still questioning how some of them are
29 derived, Bill. Do you want the answer immediately?
30
31 **BILL ARNOLD:** Yes.
32
33 **MEAGHAN BRYAN:** I don't know and maybe there is -- That is the
34 equation that I used to derive the spawning biomass per recruit,
35 where that survivorship is a function of the natural mortality
36 and the fishing mortality. Maybe the Fs are -- No, the F is
37 really high.
38
39 **RICHARD APPELDOORN:** What is V? In the first equation, VT?
40
41 **MEAGHAN BRYAN:** That is vulnerability at age and W is weighted
42 age and that LXT is the survivorship at age.
43
44 **RICHARD APPELDOORN:** Spawning biomass per recruit is basically
45 following the same procedure as the yield per recruit.
46
47 **MIKE SISSENWINE:** Except that it doesn't have V in it.
48

1 **RICHARD APPELDOORN:** Slightly different formulations, but the
2 concepts are basically the same. You're just putting the weight
3 structure on that biomass.
4

5 **TODD GEDAMKE:** What's the yield per recruit curve? I'm not sure
6 what I'm asking, but was the F 30 calculated from that equation
7 or was it picked off of this curve? I'm just wondering if --
8

9 **MEAGHAN BRYAN:** It was picked off of this curve and so it could
10 be --
11

12 **TODD GEDAMKE:** Is it possible you picked off the right-hand side
13 of the curve as opposed to the same solution down closer to F
14 0.1?
15

16 **MEAGHAN BRYAN:** I would have to look at my code. If that's what
17 I did --
18

19 **MICHAEL SISSENWINE:** If it's picked off a yield curve or off of
20 spawning biomass per recruit curve. Do we have the spawning
21 biomass per recruit curve that goes with this run?
22

23 **RICHARD APPELDOORN:** That's what she said she should have done.
24

25 **MEAGHAN BRYAN:** I should have put that on here and I realize
26 that I didn't put that on here, but I have a spreadsheet that I
27 could do that quickly.
28

29 **BARBARA KOJIS:** You could do that at lunch.
30

31 **MICHAEL SISSENWINE:** I don't even need to see it, as long as you
32 can confirm that the spreadsheet says that F is that high.
33

34 **MEAGHAN BRYAN:** Yes, I will have to go back and look at that.
35

36 **MICHAEL SISSENWINE:** Because it really doesn't make sense that
37 it's that high.
38

39 **MEAGHAN BRYAN:** It could have been an error in my code, because
40 it was automated and said, okay, when it gets to -- It's going
41 off the spawner per recruit and so it's going to go down to 30
42 percent and so it shouldn't be --
43

44 **TODD GEDAMKE:** Did you have a single solution?
45

46 **MEAGHAN BRYAN:** Yes, a single solution. I need to look into
47 that.
48

1 **MICHAEL SISSENWINE:** If you go back to the equation for spawning
2 per recruit, I'm still trying to understand why it doesn't have
3 vulnerability in it.
4
5 **MEAGHAN BRYAN:** Survivorship is accounted for in the natural
6 mortality and in the fishing mortality.
7
8 **MICHAEL SISSENWINE:** It's embedded in the survivorship.
9
10 **RICHARD APPELDOORN:** Anything that's mature is going to be fully
11 vulnerable.
12
13 **MICHAEL SISSENWINE:** So L_x is this survivorship.
14
15 **MEAGHAN BRYAN:** Yes. When I first ran these analyses, it
16 definitely was high and I noticed that it was high, but it
17 seemed to be pretty common throughout the majority of the runs
18 and when I was trying to justify why it would be so high, I was
19 thinking that maybe it had something to do with the natural
20 mortality rates, because you do find that higher natural
21 mortality rates end up leading to more asymptotic -- That's
22 yield per recruit.
23
24 **MICHAEL SISSENWINE:** But I mean the spawning per recruit has to
25 be a ratio.
26
27 **MEAGHAN BRYAN:** Yes, it is.
28
29 **RICHARD APPELDOORN:** But what you have there, as I'm looking at
30 it --
31
32 **MICHAEL SISSENWINE:** Isn't a ratio.
33
34 **MEAGHAN BRYAN:** This is the spawning biomass per recruit and
35 then I have the ratio of this divided by the spawning biomass
36 per recruit in an unfished. That's how I calculated that.
37 That's how I got the F 30 percent.
38
39 **RICHARD APPELDOORN:** But how did you get per recruit?
40
41 **MEAGHAN BRYAN:** These equations are basically --
42
43 **RICHARD APPELDOORN:** The first one is vulnerable biomass per
44 recruit.
45
46 **MEAGHAN BRYAN:** Per recruit, yes. Sorry. I should have said
47 per recruit on that one and I just didn't put that in there.
48

1 **RICHARD APPELDOORN:** So yes, somehow they should come up with
2 something similar.
3
4 **MEAGHAN BRYAN:** I do think the vulnerable biomass does follow,
5 but when you -- The yield per recruit, you have the exploitation
6 times that vulnerable biomass and it's going to give you more.
7 It's not going to give you that declining trend in biomass,
8 because you're looking at yield.
9
10 **RICHARD APPELDOORN:** Yes, but the whole point of having spawning
11 biomass per recruit is because yield per recruit doesn't --
12
13 **MEAGHAN BRYAN:** Account for biomass.
14
15 **RICHARD APPELDOORN:** Well, it doesn't account for any kind of
16 reproduction at all and so it should be more conservative.
17
18 **MEAGHAN BRYAN:** Not always, but yes. I mean if you have a
19 really productive species, that spawning biomass per recruit
20 might not drop off. It might --
21
22 **TODD GEDAMKE:** If everyone else is okay with it, Meaghan, I
23 would recommend continuing on and take a look at your F 30
24 during lunch and then we can go from there.
25
26 **BILL ARNOLD:** I just want to ask a question about that plot real
27 quick. Your current mortality is below every one of your
28 measures and what does that tell you about the status and
29 potential for this fishery?
30
31 **MEAGHAN BRYAN:** This is one iteration and it's just saying that
32 if you were going to use a --
33
34 **BILL ARNOLD:** That's what the example part is all about?
35
36 **MEAGHAN BRYAN:** Yes. Moving on to the synthesis of all of the
37 model iterations, I calculated the yield per recruit and the
38 spawning biomass per recruit for every iteration of that
39 sensitivity analysis and so this histogram shows you the
40 frequency of the runs that resulted in your current fishing
41 mortality -- The ratio of your current fishing mortality rate to
42 your F 0.1 in this particular figure.
43
44 A value greater than one is interpreted as overfishing and below
45 one is not experiencing overfishing and so the red line is
46 showing the cumulative probability or the cumulative percent of
47 each of these outcomes and so for this particular reference
48 point ratio, there is a 60 percent chance that queen snapper in

1 Puerto Rico is not experiencing, but on the flip side, there's a
2 40 percent chance that it is.
3
4 Given the growth parameters, the growth parameters that were
5 used, natural mortality was derived using the von Bertalanffy
6 growth parameter and the assumptions that were being made about
7 maturity and vulnerability and so this reference point would
8 indicate that there is some probability of queen snapper in
9 Puerto Rico experiencing overfishing, but this varied depending
10 upon which reference point you used or you were looking at.
11
12 **RICHARD APPELDOORN:** I am more concerned about the parameters
13 that would end from your assumptions about mortality and the
14 growth parameters. Your K values, for example, went from 0.1 to
15 0.7 or something like that.
16
17 **MEAGHAN BRYAN:** Correct.
18
19 **RICHARD APPELDOORN:** I doubt the high end of that and so if it
20 was just like the lower end and K was like 0.2 or 0.3, somewhere
21 in there, how would this change? We would have more or less?
22 There would be less production, right?
23
24 **MEAGHAN BRYAN:** There would be less production and I think --
25
26 **RICHARD APPELDOORN:** So you would be increasing the chance of
27 overfishing?
28
29 **MEAGHAN BRYAN:** You would be increasing the chance of
30 overfishing, yes.
31
32 **MICHAEL SISSEWINE:** What is the median value on that?
33
34 **MEAGHAN BRYAN:** I do not know that off the top of my head.
35
36 **RICHARD APPELDOORN:** You mean the 50 percent point?
37
38 **MEAGHAN BRYAN:** 50 percent, yes. So it would be -- 50 percent
39 would be about 0.75.
40
41 **TODD GEDAMKE:** Richard, you brought up a point which I will
42 probably bring up numerous, numerous times during our
43 discussions here and that is you're more concerned about the
44 derivations of M from K. If you think about what Meaghan has
45 done here in developing the benchmarks, in addition to
46 developing the estimates of total mortality, they all hinge on
47 single values of growth parameters or life history and variance.
48

1 If I had a white board here, I would throw a magic marker up and
2 start with K and L infinity and draw that to your Z and then
3 take that to your estimate of M and then take that M to your
4 estimate of your benchmark and you're going to have a web of
5 estimates that are all tied together based on your life history
6 parameters.

7
8 **RICHARD APPELDOORN:** But the life history parameters don't vary
9 randomly, although if this is going this way, this one is
10 probably going that way and that one is probably going that way
11 and that should drive this thing.

12
13 **TODD GEDAMKE:** Yes and you bring up a good point too, because
14 one of the things is that K and L infinity are generally
15 inversely correlated and the analysis that was done here, those
16 are straight up -- Did you do that?

17
18 **MEAGHAN BRYAN:** Yes, I subset the -- I should have said that and
19 I forget to mention that, but I subset the sensitivity results
20 so that the parameters were negatively correlated.

21
22 **TODD GEDAMKE:** But don't lose sight of the fact that virtually
23 everything we're looking at here is based on some life history
24 invariant relationship or rule of thumb.

25
26 **RICHARD APPELDOORN:** Right and so actually one question I have
27 is that you had taken that first part of the early fishery to
28 calculate total mortality as an estimate of M and how did that
29 compare to the ones derived from the growth parameters or is it
30 still -- I mean it's still somewhat related to it, because you
31 obviously are using the growth to get --

32
33 **TODD GEDAMKE:** I don't have the numbers off the top of my head,
34 but it's a good question.

35
36 **BARBARA KOJIS:** Are these numbers that could be picked up at
37 lunch?

38
39 **MEAGHAN BRYAN:** I just need to make sure that I understand.
40 You're asking how did -- Both estimates of mortality, the first
41 time period and the second time period, are functions of the
42 growth parameters.

43
44 **RICHARD APPELDOORN:** Yes, I understand that, but they're also a
45 function of the shape of the frequency distribution, as opposed
46 to the other formulas, which are just plugged in and based on
47 large-scale associations that are not connected to actual data
48 for this species. If they were similar, that would give us some

1 confidence that we're actually in the ballpark.
2

3 **MEAGHAN BRYAN:** The rest of the slides are going to basically be
4 the same type of figure, but with different reference points.
5 This is for Fmax for queen snapper in Puerto Rico. There was a
6 much lower probability of overfishing when you're looking at
7 Fmax. It's like 15 percent and F 30 percent, again, because it
8 was --
9

10 **RICHARD APPELDOORN:** Wait, why are these changing?
11

12 **MEAGHAN BRYAN:** Because I'm showing you the different reference
13 points or benchmarks.
14

15 **RICHARD APPELDOORN:** Fmax versus F current?
16

17 **MEAGHAN BRYAN:** Yes and so your F current from the sensitivity
18 runs compared to the Fmax and F 30 percent that were derived
19 from the per recruit analyses. Again, none of the ratios go --
20

21 **RICHARD APPELDOORN:** What was the previous one?
22

23 **MEAGHAN BRYAN:** It's about a 15 percent chance if you use Fmax.
24 Then 100 percent of the ratios when you're using F 30 percent
25 are below and that's because F 30 percent was just so high in
26 almost every case, compared to the F current. That's just queen
27 snapper in Puerto Rico and do we want to move on to St. Croix?
28

29 **BARBARA KOJIS:** Yes.
30

31 **MEAGHAN BRYAN:** Okay. In St. Croix, there's, based, again, on
32 the fishing mortality estimates from the sensitivity results and
33 the growth parameters and the assumptions, there's a much a
34 higher chance, when you compare this fishery to Puerto Rico, of
35 it experiencing overfishing when you are considering the F 0.1
36 reference point. It's almost an 85 percent chance, given this
37 probability curve.
38

39 Then, again, your chances are lowered as you look at different
40 benchmarks. Fmax, there's a 30 percent chance and F 30 percent,
41 again, all of the current fishing mortality estimates were less
42 than that F 30 percent estimate.
43

44 Then silk snapper, the patterns are fairly similar. F 0.1 leads
45 to a higher percent chance of overfishing and in this case, for
46 silk snapper in St. Croix, there's a 55 percent chance, but then
47 if you use Fmax, there's a 7 or 8 percent chance and F 30
48 percent, again, all of the current fishing mortality estimates

1 are falling below and are less than that F 30 percent.
2
3 **RICHARD APPELDOORN:** What was the F 0.1 level?
4
5 **MEAGHAN BRYAN:** Fifty-something percent. The interpretation of
6 overfishing status varied among the reference points, obviously,
7 and I already made this point, but I guess it's moot until I
8 look at the F 30 percent results again, but the majority of the
9 yield per recruit curves were asymptotic.
10
11 They were asymptotic in the resulting spawning biomass per
12 recruit. It's kind of a leveled off as well across a wide range
13 of fishing mortality rates, leading to really high F 30 percent
14 estimates.
15
16 **MICHAEL SISSENWINE:** That statement --
17
18 **MEAGHAN BRYAN:** It doesn't make sense.
19
20 **MICHAEL SISSENWINE:** No, because asymptotic means F_{max} is
21 undefined. It's infinite.
22
23 **MEAGHAN BRYAN:** Maybe I shouldn't say they're asymptotic.
24 They're relatively flat. Sorry.
25
26 **MICHAEL SISSENWINE:** By the way, that's why F 0.1 was invented,
27 because for -- stocks in the North Atlantic, they're usually
28 asymptotic and F_{max} wasn't defined and so they came up with some
29 quick way to come up with a reference point.
30
31 **RICHARD APPELDOORN:** Was it that or was it also because of what
32 version of yield per recruit you're using?
33
34 **MICHAEL SISSENWINE:** That could also be true and then he
35 partnered up with his economist friend at FAO and they described
36 it as being an economically beneficial fishing concept.
37
38 **RICHARD APPELDOORN:** I'm sure it is.
39
40 **MEAGHAN BRYAN:** I was asked to derive these benchmarks and there
41 is three possibilities that can be considered. Is it better to
42 use these than natural mortality as a proxy? I think that's
43 something that the SSC has to decide.
44
45 **TODD GEDAMKE:** I want to make sure that we all understand, I
46 guess, the methodology behind what you've done, which I think
47 you'll take a look at the F 30 and we'll revisit this after
48 lunch and take a look, but what strikes me is that during the

1 SEDAR review workshop, we did some working sessions where we
2 came up with pretty similar patterns for I guess the histograms
3 of the sensitivity results, comparing F current to just a --
4 proxy and so I don't see much difference in terms of what we
5 came up with using the slightly different rules of thumb than
6 what you've got here.

7

8 **MEAGHAN BRYAN:** I don't think those were in the report.

9

10 **TODD GEDAMKE:** No, but we spent -- They're not in the final
11 report, because -- This was asked because the reviewers, during
12 that meeting, we spent at least half a day or three-quarters of
13 a day and the reviewers' take on it was that we were making too
14 many assumptions and too many relationships tied to life history
15 parameters and also they didn't trust the work that I did very
16 quickly in the middle of the night between the two meetings.

17

18 It's reassuring to me at least to see it, with a little more
19 care taken to it, that you've come up with similar patterns, but
20 I still have the same reservations with everything being tied to
21 uncertain parameters.

22

23 **MEAGHAN BRYAN:** Right.

24

25 **RICHARD APPELDOORN:** (The comment is not audible on the
26 recording.)

27

28 **MEAGHAN BRYAN:** 0.4264 in this example yield per recruit. It's
29 pretty close to F 0.1. It's not quite 0.5 and I would have to
30 look and see what the range of M to F 0.1 was.

31

32 As a second component of what I did was derive these reference
33 points and then use them to see if we could use the information
34 to provide advice about ACLs or adjust the ACLs using some of
35 this information in developing a harvest control rule.

36

37 Normally you have some relationship between your fishing
38 mortality ratios to your biomass ratios and this is just an
39 example, but you might fish at a level of fishing mortality that
40 might be close to or a little bit less than FMSY when biomass is
41 equal to or above fishing mortality or slightly lower than BMSY,
42 when you consider natural mortality in there.

43

44 Then you start to ramp down your fishing mortality as biomass
45 declines, but we don't have an abundance estimate, based on the
46 data available right now, for assessment. At the Science
47 Center, we were thinking about ways of using these fishing
48 mortality reference points in the current estimates of fishing

1 mortality to come up with a harvest control rule that could be
2 used, potentially, to adjust ACLs when they're being exceeded or
3 when they're not being met for some reason.

4
5 I have a spreadsheet that I can walk through it. I don't know
6 if it's appropriate to go through all of this right now or if
7 this is something you want to do after lunch.

8
9 **BARBARA KOJIS:** It's almost lunch. How long will it take you?

10
11 **MEAGHAN BRYAN:** I don't know. I could walk through the --

12
13 **BARBARA KOJIS:** A long time?

14
15 **MEAGHAN BRYAN:** I don't know if it will take a long time, but
16 people might have questions and want to walk through it more and
17 I don't know. I guess it depends on --

18
19 **GRACIELA GARCIA-MOLINER:** Lunch around here is very close. It's
20 just between the two buildings, there is a Japanese restaurant,
21 a pizza place and a deli or something or other and then the old
22 cafeteria in the old building. You're going to remain within
23 the area if you want to go have lunch and come back.

24
25 **BARBARA KOJIS:** It's nearby and maybe if we want to keep this
26 together and maybe we want to discuss a little bit more about
27 what you're going to look at during lunchtime regarding the
28 questions that everybody had. Why don't we take lunch now and
29 then come back here at one o'clock. That gives us an hour and
30 ten minutes. If that's okay with everybody, why don't we do
31 that and adjourn the meeting temporarily, adjourn for lunch.

32
33 (Whereupon, the meeting recessed for lunch on June 19, 2013.)

34
35 - - -

36
37 June 19, 2013

38
39 WEDNESDAY AFTERNOON SESSION

40
41 - - -

42
43 The Scientific and Statistical Committee of the Caribbean
44 Fishery Management Council reconvened at the CFMC Headquarters,
45 San Juan, Puerto Rico, Wednesday afternoon, June 19, 2013, and
46 was called to order at 1:00 o'clock p.m. by Chairman Barbara
47 Kojis.

1 **BARBARA KOJIS:** Let's reconvene the meeting. Everyone is here
2 except for Reni right now and I'm sure he will be showing up
3 shortly. Meaghan, do you want to start?
4

5 **MEAGHAN BRYAN:** Sure. While we took a break, I investigated the
6 F 30 percent and it was a case of my code doing what I was
7 telling it instead of what I wanted it to do. This is only for
8 -- I only had time to redo this for queen snapper in Puerto
9 Rico, but instead of now having 100 percent of the F ratios
10 being below one, now there's a 10 percent chance of overfishing
11 when comparing the current fishing mortality estimates to F 30
12 percent.
13

14 **RICHARD APPELDOORN:** There was a leap there. What happened with
15 the F 30?
16

17 **MEAGHAN BRYAN:** What was happening was it was always choosing
18 the -- It was choosing like the highest F pretty much every
19 single time and so now -- It was a conditional statement on how
20 it was choosing F 30 percent in my code and so now I have
21 rectified that. It was just always choosing the last one
22 instead of choosing the one associated with SPR 30 percent.
23

24 **RICHARD APPELDOORN:** So it was just a code thing.
25

26 **MEAGHAN BRYAN:** It was, unfortunately, something that -- I don't
27 know and I thought I had double checked a lot of this stuff and
28 unfortunately, in this case, it was choosing the wrong thing,
29 but I figured that out and so just ignore that 60 percent.
30 That's just a remnant from a different figure.
31

32 **MICHAEL SISSENWINE:** What was the number again? It's what
33 percentage?
34

35 **MEAGHAN BRYAN:** So now there's about a 10 percent probability of
36 overfishing.
37

38 **MICHAEL SISSENWINE:** Overfishing at F 30 percent.
39

40 **MEAGHAN BRYAN:** F 30 percent, yes.
41

42 **RICHARD APPELDOORN:** Up from the 1.
43

44 **MEAGHAN BRYAN:** Yes, up from the 1. Sorry. This is misleading.
45 That was just for a different graph I was making.
46

47 **RICHARD APPELDOORN:** This is Puerto Rico or St. Croix?
48

1 **MEAGHAN BRYAN:** This is Puerto Rico. I also looked at the
2 relationship between natural mortality and F 0.1 and this is for
3 queen snapper in Puerto Rico as well and that's the
4 relationship. There's a positive correlation.
5
6 **MICHAEL SISSENWINE:** It's pretty close to the slope of one,
7 which is probably also now true for F 30 percent. It all makes
8 sense. That's the way it's supposed to be.
9
10 **RICHARD APPELDOORN:** Which ones define this variable here?
11
12 **MEAGHAN BRYAN:** This is the natural mortality that was used,
13 that was derived, and then this is the F 0.1.
14
15 **RICHARD APPELDOORN:** That came from that?
16
17 **MEAGHAN BRYAN:** Yes, which natural mortality is coming from K.
18
19 **RICHARD APPELDOORN:** Generally, the lower the natural mortality,
20 the lower the F current.
21
22 **MEAGHAN BRYAN:** I just need to update the report then to make
23 those corrections and so I'll do that.
24
25 **BARBARA KOJIS:** You will make the corrections for both St. Croix
26 and Puerto Rico.
27
28 **MEAGHAN BRYAN:** Yes, I will make the corrections for St. Croix
29 and Puerto Rico. Before we broke for lunch or when we were
30 about to break for lunch, I mentioned that at the Science Center
31 we've been trying to determine whether or not we could now use
32 these F reference points to then create or develop a harvest
33 control rule based on fishing mortality alone and use that maybe
34 as an adjustment factor for the ACLs.
35
36 I will show the spreadsheet, which I think will make more sense,
37 but currently, the ACLs are derived from the observed landings,
38 again, given the lack of the abundance estimate.
39
40 If we can assume that that ACL is equal to the OFL, essentially,
41 and OFL is equal to FMSY times some average abundance and that
42 our current observed -- The catch for a time period is equal to
43 that fishing mortality rate for that time period, again times
44 some average N, you can then solve those equations for FMSY and
45 fishing mortality rate.
46
47 It's essentially just the inverse of the F ratio that we used to
48 determine overfishing and we're proposing that a potential

1 method for adjusting ACLs would be to adjust them by this FMSY
2 over the fishing current mortality ratio.
3
4 **WALTER KEITHLY:** Can you go back for a second? OFL is equal to
5 FMSY times N as an average of landings, yet FMSY is equal to OFL
6 times N --
7
8 **RICHARD APPELDOORN:** That's just --
9
10 **MEAGHAN BRYAN:** I meant to divide that. Sorry.
11
12 **MICHAEL SISSENWINE:** So your adjustment would be when FMSY is
13 greater than F current.
14
15 **MEAGHAN BRYAN:** Yes, you could adjust it be --
16
17 **MICHAEL SISSENWINE:** It would be a -- You would increase?
18
19 **MEAGHAN BRYAN:** Hold on. Let me open up the --
20
21 **MICHAEL SISSENWINE:** This would only apply to this descending
22 slope. You can't, by law, increase it and so it would only be
23 applicable when it's less than one.
24
25 **MEAGHAN BRYAN:** Right. I will walk through this. If your F
26 reference point, whatever it might be, say it's F 0.1, if that
27 results in a ratio greater than one, you're not overfishing and
28 so yes --
29
30 **MICHAEL SISSENWINE:** So you would multiply by one.
31
32 **MEAGHAN BRYAN:** You would multiply by one, because you can't
33 increase the --
34
35 **MICHAEL SISSENWINE:** By law you can't.
36
37 **MEAGHAN BRYAN:** Okay, by law. I didn't realize that. If the
38 ratio is less than one, then you could apply that to decrease
39 the ACL. There's a couple of steps that would need to be taken
40 before anything like this obviously could be implemented.
41
42 First, we would need to specify the ACL start year and end year
43 and I wasn't sure what was used for queen snapper in Puerto Rico
44 or in St. Croix, the years exactly, and I only have the landings
45 from 1999 to 2011 that I got from a presentation that Bonnie
46 gave to the council and so those are the only landings I had.
47
48 **BILL ARNOLD:** 1999 to 2005.

1
2 **MEAGHAN BRYAN:** 1999 to 2005, okay. In this example, there is
3 two harvest control rules that you could potentially use. One,
4 you just have a scaler, an overfishing scaler, that the SSC
5 comes up with or if it's not overfishing, multiply it by one, or
6 you can use this ratio between the F reference point and F
7 current.
8
9 This would need to be updated, so that when it's greater than
10 one, that would also equal one. In terms of one or the other,
11 one would be more static, in terms of how much it's reduced from
12 year to year if it's needed, whereas the other one would be
13 based on the current estimates of fishing mortality.
14
15 **TODD GEDAMKE:** Can you just extend on your statement of not
16 exceeding, by law?
17
18 **MICHAEL SISSENWINE:** The Magnuson Act says thou shall not
19 overfish and overfish is basically defined as --
20
21 **TODD GEDAMKE:** Okay. You're saying the ratio is one.
22
23 **MICHAEL SISSENWINE:** Yes and if the ratio is greater than one,
24 it means --
25
26 **RICHARD APPELDOORN:** You're overfishing.
27
28 **MICHAEL SISSENWINE:** If you multiply it times OFL, then you're
29 overfishing, under the law.
30
31 **TODD GEDAMKE:** That makes sense.
32
33 **MICHAEL SISSENWINE:** The law says that you have to correct
34 overfishing immediately and it's no longer a phase-in.
35
36 **MEAGHAN BRYAN:** In this example, I just picked out a few model
37 iterations from the sensitivity results and the corresponding F
38 0.1, Fmax, and F 30 percent, which now needs to be updated for
39 each, and calculated that ratio to determine whether or not
40 overfishing was happening based on that ratio and then applied
41 the two different control rules.
42
43 Basically, you can either use these model iterations -- One way
44 to do it would be to use the model iterations and determine an
45 average adjusted ACL and use this as a proxy of an OFL and then
46 from there, an ABC can be developed using some sort of
47 acceptable risk of overfishing provided by the council or the
48 SSC.

1
2 One way I looked at this was just to look at the cumulative
3 frequency and this is messy, because it's just so few
4 iterations, but say it an acceptable risk of overfishing was
5 about 30 percent and you would be somewhere between 143,000 and
6 148,000 pounds for your ABC.

7
8 This is just an example of some of the control rules that could
9 be explored and, again, this is something that hasn't been fully
10 tested at this point in terms of long-term effects and would
11 this lead to recovery, if needed.

12
13 I do have a projection example where I just simulated an age
14 structured population and calculated and got the F 30 percent, F
15 0.1, and Fmax. I carried out the yield per recruit analysis and
16 made the adjustments based on the ratio of your F reference
17 point to F current to how catch would change over time in the
18 future and the corresponding abundance.

19
20 For this example, it does seem like you have declining catch or
21 declining biomass and then when you start implementing this
22 adjusted ACL, you do have some recovery, but this is just one
23 example.

24
25 **MICHAEL SISSENWINE:** Is the adjustment in this using the ratio
26 directly or is there a coefficient applied here?

27
28 **MEAGHAN BRYAN:** It's just using the ratio directly.

29
30 **MICHAEL SISSENWINE:** So if you're overfished, you take the
31 current ACL and you multiply it by whatever that ratio is?

32
33 **MEAGHAN BRYAN:** By whatever that ratio is and so it would reduce
34 the --

35
36 **MICHAEL SISSENWINE:** But isn't that the same as a harvest
37 control rule with a constant F at FMSY, because it says that --
38 I mean roughly, given that the non-linear relationship between F
39 and catch is real, but aside from that, it's basically a
40 constant FMSY control rule, because let's say you get 100,000
41 from catch, 100,000 pounds or a million pounds, and your ratio
42 is 0.5. You're going to reduce the catch by 50 percent, which
43 presumably reduces the F to FMSY.

44
45 **MEAGHAN BRYAN:** Yes, you would hope, yes.

46
47 **MICHAEL SISSENWINE:** Except for the non-linearity in the catch
48 equation and all that, but at relatively low Fs, that's not very

1 important anyway and so it's effectively a -- It's striving
2 towards a constant FMSY strategy, which isn't a bad thing. Now,
3 if you applied some sort of multiplier that said you reduced
4 even faster than the ratio --
5
6 **MEAGHAN BRYAN:** Which is something I wanted to look into.
7
8 **MICHAEL SISSENWINE:** Then you get a stronger control rule to
9 bring this stock back to whatever the desired level is.
10
11 **RICHARD APPELDOORN:** So what's the difference between that and
12 instead of closing off whatever percent overrun, you close off
13 the season that overrun plus some percent --
14
15 **MICHAEL SISSENWINE:** It's an extra.
16
17 **MEAGHAN BRYAN:** Yes, it's an extra.
18
19 **RICHARD APPELDOORN:** It's sort of the same thing. The
20 difference would be how it's implemented and how the fishery
21 would respond to it.
22
23 **MEAGHAN BRYAN:** Right and what I would like to do is actually do
24 a management strategy evaluation to see how this actually
25 performs in terms with uncertainty. Like this is -- There's no
26 uncertainty in what I did here and so it would be good to see
27 implementation error.
28
29 They exceed the ACL and what does that mean over time or if
30 they're not exceeding it or maybe they're not meeting their ACL
31 and how does the population respond and that uncertainty in the
32 implementation error.
33
34 **RICHARD APPELDOORN:** If you know you're going to cut the ACL by
35 a certain amount, the fishermen, without any other control, are
36 going to go after that as fast as possible, leading to even more
37 overfishing if you don't catch it in time.
38
39 **MICHAEL SISSENWINE:** That's part of the problem, is that --
40
41 **RICHARD APPELDOORN:** Unless you have monthly quotas or something
42 like that.
43
44 **MICHAEL SISSENWINE:** I was really pointing out more in the
45 context of you started your presentation motivated by a harvest
46 control rule, where F was dependent on biomass. I think the way
47 you've implemented this simulation and if you use the ratio
48 directly, F is relatively insensitive to biomass.

1
2 **MEAGHAN BRYAN:** I was just using that as an example.
3
4 **MICHAEL SISSENWINE:** I know, but it's not that -- It doesn't
5 actually act in the way we typically envision a harvest control
6 rule.
7
8 **MEAGHAN BRYAN:** Exactly.
9
10 **MICHAEL SISSENWINE:** It still may be perfectly reasonable.
11
12 **MEAGHAN BRYAN:** Yes, this was just more of a -- As you said,
13 it's more of a function of catch.
14
15 **MICHAEL SISSENWINE:** It's more if you did a constant F strategy.
16
17 **MEAGHAN BRYAN:** That's all I have for this at this point, these
18 benchmarks and how it could be implemented to change ACLs, if
19 needed, but these aren't -- This isn't the only harvest control
20 rule that can be explored. As an SSC, I'm sure you could come
21 up with other rules that could be explored. These are just two
22 potential rules to use.
23
24 **MICHAEL SISSENWINE:** Part of our problem with these sort of
25 rules is that they're based on estimates of mortality rate that
26 are essentially the whole time series, whereas the rules would
27 be applied if you had more current estimates and not estimates
28 that are a result of analyzing fifteen or twenty or thirty years
29 of data.
30
31 What you end up doing is basing your current stuff on what
32 actually happens in the catch, which isn't actually an estimate
33 of what the mortality rate is. That's sort of a legacy of your
34 estimation from the assessment. It's presuming the assessment
35 correct and not only is the assessment correct, but that you
36 were correct to assume that some recent average catch
37 corresponding to the F over the entire time period.
38
39 **TODD GEDAMKE:** I totally agree with your last point. I think
40 the first part of that, your current fishing mortality rate is
41 derived from the most recent time block.
42
43 **MICHAEL SISSENWINE:** Okay. Which is how many years?
44
45 **TODD GEDAMKE:** Five years? It depends on sample sizes and so
46 your current Z is estimated for the most recent years and your M
47 is estimated from those life history invariant relationships and
48 so you have two sort of leaps of faith on that, that your M is

1 being estimated correctly and that your original average catch
2 somewhat corresponds to an appropriate level. I think that
3 really summarizes those three points and in some way summarizes
4 kind of my overall impression of what you've done.

5
6 **MEAGHAN BRYAN:** Exactly. That's a very good summary and thank
7 you.

8
9 **RICHARD APPELDOORN:** The data that went into this went up to
10 2010?

11
12 **MEAGHAN BRYAN:** For the assessment? It was 2009. I don't think
13 we had 2010.

14
15 **MICHAEL SISSENWINE:** The recent estimate of F relative to FMSY
16 is something like 2004 through 2009 or something like that, a
17 five-year block.

18
19 **MEAGHAN BRYAN:** Yes.

20
21 **MICHAEL SISSENWINE:** We're then applying it to management
22 procedures that have accountability measures on a one-year
23 resolution, right? Even though the ACL applies for three years,
24 you're treating it as if -- Well, the accountability applies
25 every individual year.

26
27 **BILL ARNOLD:** The ACL doesn't apply, but the landings that are
28 compared to the ACL are averaged over three years. The ACL is
29 just a single standing number until it's changed.

30
31 **MICHAEL SISSENWINE:** In 2013, the accountability is applied
32 based on the overage from 2012, 2011, and 2010?

33
34 **BILL ARNOLD:** 2010 and 2011. Those are the only data we had.
35 It's a 2010 and 2011 average, compared against the ACL. That
36 outcome is applied in the 2013 fishing year.

37
38 **MEAGHAN BRYAN:** The other point I should make too is that these
39 F ratios are being developed for the queen snapper data, where
40 the ACL is being developed for queen snapper and cardinal and so
41 it's two species.

42
43 **BILL ARNOLD:** Yes.

44
45 **MEAGHAN BRYAN:** I guess that you can assume that cardinal
46 responds similarly to fishing as queen and that's essentially
47 what we've done.

48

1 **MICHAEL SISSEWINE:** The actual catch that actually -- The
2 estimated catch that's going to come up in 2012 is a function of
3 stock size, fishing effort, and estimation error and random
4 variation. It's almost hard to envision that if you did a full
5 management strategy evaluation that the outcome would be
6 anything but a bunch of random outcomes. There's so little
7 information.
8

9 **BILL ARNOLD:** It looks like cardinal is about 5 percent of the
10 queen.
11

12 **MEAGHAN BRYAN:** 5 percent of the catch.
13

14 **BILL ARNOLD:** That's all there in Snapper Unit 2 is queen and
15 cardinal/wenchman, because --
16

17 **GRACIELA GARCIA-MOLINER:** For a number of years, the misnomer --
18

19 **MEAGHAN BRYAN:** I thought that was all corrected now.
20

21 **BILL ARNOLD:** Yes, but it wasn't corrected going back. Whether
22 it would make any difference or not, I have no idea. They just
23 called them wenchman and this has always been a little confusing
24 to me.
25

26 **GRACIELA GARCIA-MOLINER:** They are two species and the wrong
27 name was applied to the deepwater one and the deepwater one was
28 really not in the FMU and so now they are both in the FMU and
29 they are corresponding units in Snapper Units 1 and 2, but
30 still, there is a little bit of a difference in the depth that
31 they are harvested and so most likely everything that was
32 reported with the queen snapper really was cardinal.
33

34 **BARBARA KOJIS:** But it's easy to identify the two species and
35 now people are using correct names?
36

37 **GRACIELA GARCIA-MOLINER:** It's not easy to identify the two
38 species if you are harvesting them continuously, but since the
39 harvesters of queen snapper are very targeted fishermen, most
40 likely they are harvesting the cardinal snapper, because not
41 usually do you see queen snapper mixed in with the silk snapper.
42 Silk snapper fishermen mostly harvest silk snapper.
43

44 **BARBARA KOJIS:** Okay. I guess we go back to the questions that
45 we looked at originally.
46

47 **GRACIELA GARCIA-MOLINER:** The thing is there a difference of
48 feet in depth between the silk and the queen snapper and so if

1 you are going to target queen, you're not really going to waste
2 your time and the size and the amount of harvest that they do
3 and so the 5 percent is about --

4
5 **JORGE GARCIA-SAIS:** You can get juvenile queen snapper while
6 fishing for adult silk snapper, because the juveniles tend to go
7 up a little bit, to the 600 feet or so.

8
9 **GRACIELA GARCIA-MOLINER:** I think that would be a good thing --
10 That can be pulled out of the TIP data, for example. To find
11 how much of the silk are harvested with the queen. All of that
12 information is either in the length distribution interviews that
13 they do and in the landings data.

14
15 **SSC DISCUSSION OF QUEEN AND CARDINAL SNAPPER**

16
17 **BARBARA KOJIS:** The questions then that the council would like
18 us to answer, one of them is does the SSC think that queen and
19 cardinal snapper are still undergoing overfishing or are
20 overfished? Is that right?

21
22 **GRACIELA GARCIA-MOLINER:** To review that analysis that's been
23 done and to make a recommendation to the council.

24
25 **BARBARA KOJIS:** A recommendation regarding?

26
27 **GRACIELA GARCIA-MOLINER:** The -- of the fishery, per se, and the
28 methodology and the application of the methodology to other
29 species.

30
31 **RICHARD APPELDOORN:** I have some questions, because this seemed
32 to originate from a change in what's being reported. When was
33 this rule passed that opened up the fishery to other people?

34
35 **GRACIELA GARCIA-MOLINER:** I don't know exactly, but --

36
37 **RICHARD APPELDOORN:** How about the year?

38
39 **GRACIELA GARCIA-MOLINER:** It must have been 2011 or 2012. Most
40 likely it was 2012, because that's when the political change
41 took place.

42
43 **RICHARD APPELDOORN:** Right and so that's after the problem that
44 we're looking at now.

45
46 **GRACIELA GARCIA-MOLINER:** Unless I am mistaking the dates, but
47 that's why I say, I could call right now and find out.

48

1 **RICHARD APPELDOORN:** The overage is on 2011?
2

3 **BILL ARNOLD:** 2010 and 2011 and 2010 was the big year. It looks
4 like 330,000, I think.
5

6 **RICHARD APPELDOORN:** You would have to be way off and I don't
7 think you are. You mentioned that in the interviewing for the
8 limited entry exploration that this may have spurred people to
9 probably actually report what they're -- Maybe even over report
10 what they were catching, to try to get a bigger share. When
11 were you doing that? When did that take place?
12

13 **WALTER KEITHLY:** That, I have one reference from July of 2010.
14 I don't know if that was my first meeting or what, but it was
15 roughly beginning in 2010. We started holding a series of
16 workshops or a couple of workshops. I held a couple with Miguel
17 with fishermen, introducing them to the concept of a catch share
18 program or an IFQ.
19

20 Since that initial allocation depends on -- It generally depends
21 on historical landings by the individual fishermen, which really
22 gives them the incentive, potentially, to report more accurately
23 or, as you just said, over report their landings, especially if
24 they didn't know the dates that would be used for that initial
25 allocation.
26

27 If they thought that 2010 and 2011 might be the years that would
28 be included in the initial allocations, there's a very large
29 incentive to potentially change their reporting system.
30

31 **RICHARD APPELDOORN:** It sounds to me like this is -- It's a
32 reporting system problem more than anything else, but you
33 wouldn't know that without going back to the individual records
34 and seeing --
35

36 **WALTER KEITHLY:** I think what needs to be done is look at the
37 traditional fishermen in the group, those that have an
38 established set of landings covering back to 2001 or 2002, and
39 see if some of those had big jumps also in 2010. I think that's
40 what you're going to find. That's my hypothesis and, again,
41 until somebody does some work, we won't be able to tell for
42 certain though.
43

44 **RICHARD APPELDOORN:** What I think I'm seeing here is that we
45 have two things, what's the status of the fishery and then what
46 was the real catch rate at the time that we were setting the
47 ACLs based on what was being recorded as the catch rate.
48

1 From the analyses, we might say, okay, there's not strong
2 evidence that overfishing is going on, but that doesn't mean
3 necessarily that there's room to expand that, because that
4 expansion may just be a reporting issue and not -- We would get
5 a more accurate estimate of what the actual catch really might
6 be if people are now reporting better.

7
8 It's sort of you can't really answer that question without going
9 through the kind of detailed look at the data that you're
10 talking about.

11
12 I, for one, based on what we saw in the presentations, would be
13 somewhat leery about raising the ACL if we're actually thinking
14 about -- If there's actually more being harvested and is that
15 okay.

16
17 We were talking about like a 61 percent chance that things are
18 not, but a 40 percent chance that they are being overfished and
19 so we're getting towards that level about where we -- If we're
20 talking about what's the buffers that we're having in the
21 system, we're sort of about there and the question is what's the
22 real level of fishing that's going into that effect, the real
23 biomass removal.

24
25 **JULIE NEER:** It will be interesting to see what comes out of the
26 now species-specific report, because when we were doing the data
27 scoping last year, several fishermen said that because of these
28 new ACLs, they think it's going to shorten their season and so
29 then they started underreporting their landings, species
30 specifically, to make sure that they get to fish for the whole
31 year, because we were showing them the preliminary data for the
32 current year and it was quite low and then they were like, well,
33 that's why and so we tried to explain to them, when you do that,
34 that's not going to help you either, because looking at the
35 curves when it comes to the assessment, suddenly the landings
36 are dropping off and is that because the fishery is in trouble
37 or because you're not writing it down. We tried to get it
38 across to them that you should write down what you catch.

39
40 There are several fishermen in the USVI that made comments that
41 they started sort of underreporting their species-specific
42 landings because they didn't know what that was going to mean
43 with ACLs and they were afraid they were going to get shut down.

44
45 **BARBARA KOJIS:** That sounds like the USVI, especially St. Croix,
46 because they --

47
48 **BILL ARNOLD:** It's what they're doing.

1
2 **JULIE NEER:** It is what they're doing and this is not
3 necessarily what --

4
5 **MICHAEL SISSENWINE:** So where does this leave us? We have an
6 assessment and we have some additional work that looks at common
7 reference levels for overfishing and generally concludes that
8 overfishing was not occurring in the most recent years for which
9 there is some information about F, which is a five-year period
10 about five years ago.

11
12 Therefore, the catch that occurred during that period was
13 probably reasonably close to an OFL catch and a reasonably
14 acceptable ACL and all that sort of stuff. We're not certain
15 that that is what the catch was. We have a reported catch and
16 if it's the true catch, then all of that sort of holds.

17
18 We have a stock that is relatively short lived. We basically
19 are showing most of these things are gone by age six. I think
20 that's what the survival ratio showed, which means most of the
21 animals that were alive during the period for which there was an
22 assessment are dead now and so we're now hypothesizing about the
23 size of the stock based on virtually no information from the
24 assessment and we're comparing it to a catch that we estimated
25 about five years ago that may or may not have been right catch
26 and we're comparing it to a catch today where there's reason to
27 believe that the nature of the errors in the catch have changed.

28
29 I don't know whether this stuff is better or worse, but it's
30 different and so my conclusion, based on all of that, is the
31 outcome from the most recent years of the fishery are
32 uninformative in terms of what has happened and the best we have
33 is an assessment that's about five years out of data, or
34 whatever it is, in terms of the data that went into it. Not
35 when it was done, but the data that went into it.

36
37 That said at least at that time, we probably weren't
38 overfishing, but as Richard said, we probably weren't all that
39 far from it, such that one wouldn't want to just say do whatever
40 you want.

41
42 I don't think there's any information that's any basis for
43 saying much more than that about what's happened in the last
44 five years, other than reported catches are higher than reported
45 catches were five years ago, but we don't know why and we don't
46 have any real information about what the stock has done in five
47 years.

1 Given that it only lives about five or six years, it's
2 reasonable to assume that it changed substantially during that
3 period of time.
4
5 **RICHARD APPELDOORN:** How are you getting the longevity?
6
7 **MICHAEL SISSENWINE:** I was looking at those survival rates that
8 showed almost everything disappeared by about age six.
9
10 **MEAGHAN BRYAN:** This example. It did change, depending upon --
11
12 **MICHAEL SISSENWINE:** If that isn't representative, then my
13 statement has to be somewhat modified, but clearly it's not a
14 long-lived species.
15
16 **MEAGHAN BRYAN:** It's a function of M and so it depends on what
17 you're using in the assessment.
18
19 **RICHARD APPELDOORN:** What M were you using?
20
21 **MEAGHAN BRYAN:** I was just giving you an -- I don't exactly
22 know.
23
24 **RICHARD APPELDOORN:** This was unofficial?
25
26 **MEAGHAN BRYAN:** This was using the life history parameters of
27 queen, but in terms of the sensitivity runs, this changed with
28 changes in natural mortality.
29
30 **RICHARD APPELDOORN:** I was just wondering what this particular
31 one was.
32
33 **MEAGHAN BRYAN:** I don't remember exactly.
34
35 **MICHAEL SISSENWINE:** The assessment of the five-year-old
36 information may not be meaningless, but there's substantial
37 scope that things could have changed for a relatively short-
38 lived species compared to dusky shark, which I happen to be
39 looking at on my screen for some reason.
40
41 **GRACIELA GARCIA-MOLINER:** I did get an official answer for your
42 question. The fishing regulations did change in 2010, but the
43 number of fishermen into the commercial fishery increased in
44 2012.
45
46 **BILL ARNOLD:** What might Daniel think happened in 2010 and 2011?
47
48 **TODD GEDAMKE:** I think this is going to be a recurring problem.

1 It has the same flavor as some of the other issues we've dealt
2 with in the past, yet the steps to improve the process resulted
3 in much more outreach and education to the fishing communities.
4

5 Our presence alone has provided them with some behavioral
6 changes in the way they're acting or operating and the new forms
7 that are on the ground are also going to change what's coming in
8 the door.
9

10 I agree with Mike and Richard that the most recent years you
11 have reporting changes. You have differences in those years
12 versus the previous years and what that means, I am still
13 unclear right now, but the number one thing that I think has us
14 -- The easiest recommendation from us to come out of this is
15 just simply that those studies that Walter -- We've all
16 discussed before that validation of what is coming in, the
17 validation of landings, that needs to be a solid recommendation.
18

19 I know that there are people at the Center right now that are
20 pushing forward that idea and really, that's the number one
21 thing on the list.
22

23 Those changes in reporting are really problematic and I have a
24 hard time looking at what we have for -- We ended up with
25 average catch by default in the past, because of no other
26 options.
27

28 Now we have average catch over the past couple of years which is
29 very different that may or may not be a result of changes in
30 fishing practices and I'm not sure where to go with it beyond
31 saying there's still significant uncertainty, if not more
32 uncertainty, in what those numbers mean in relation to the
33 actual landings.
34

35 **JORGE GARCIA-SAIS:** An analysis of the most recent data is
36 nowhere possible? Can this committee request that the most
37 recent information be made available to see if there is any
38 other inference that we could --
39

40 **GRACIELA GARCIA-MOLINER:** This is it.
41

42 **RICHARD APPELDOORN:** No, this is --
43

44 **MEAGHAN BRYAN:** I didn't redo the length analysis to include all
45 of the most recent data, no.
46

47 **JORGE GARCIA-SAIS:** Especially the length data.
48

1 **MEAGHAN BRYAN:** You still have the problems with no having well
2 defined age and growth relationships, which are the underpinning
3 of the analysis, really.

4
5 **TODD GEDAMKE:** If we think about this question, as Mike sort of
6 phrased it and I tried to re-summarize it, you have a
7 methodology that's looking at developing some sort of scaler.
8 That scaler, we can discuss the pros and cons and merits and
9 procedures that are involved in that. That's one aspect.

10
11 That scaler then has to be multiplied by something and that
12 something is what we're looking at and discussing as reported
13 landings right now, which we know have problems.

14
15 If we keep those two somewhat separate, I think it might guide
16 the discussion, at least a little bit, and I don't think anyone
17 here would say that they're totally confident that what is in
18 there as landings is directly related to it, to the actual
19 landings. There is significant uncertainty in that.

20
21 Then, as Meaghan was just pointing out, much of the numbers, the
22 results that are included in the analysis she has presented, are
23 very much tied to -- Very much, wholly, tied to the life history
24 parameters, which we still have significant uncertainty about
25 also.

26
27 **MICHAEL SISSENWINE:** Even with our uncertainty about the life
28 history parameters, changes in what F might be relative to some
29 reference level would probably be informed by new length
30 frequency data and so that's useful, but if the life history
31 parameters are changing as well in any substantial way, then the
32 whole thing is out the window, but I guess that's true of all
33 assessments.

34
35 **TODD GEDAMKE:** One of the things that I noticed in what Meaghan
36 presented is the same issue that we ran into during the review,
37 when we started exploring this type of approach, which is if you
38 look at St. Croix queen, you have a 99 or 98 percent chance that
39 overfishing is occurring, whereas Puerto Rico, you have a much,
40 much lower chance.

41
42 In our discussions with the fishermen, apparently there's very
43 few people fishing in St. Croix for queen snapper. We couldn't
44 find anyone that was willing to say that there are actually
45 people going out there and doing deep drops, yet we had what
46 looks to be -- If you look at that histogram, that distribution,
47 you have solid evidence that overfishing is occurring and I
48 would say that very loosely, but you have solid evidence that

1 overfishing is occurring in St. Croix.
2
3 You then take a look at the Puerto Rico and you have a totally
4 different picture, although we know there are people very
5 substantially targeting that species in that location and so
6 what we know, versus what was coming out of some of analyses,
7 were in conflict with each other and we couldn't explain it.
8
9 We couldn't explain it at the review meeting and that's where we
10 more or less stopped our approach. For all I know, it's
11 possible that you have extremely different growth patterns on
12 two different regions. You could have different K or you could
13 have different L infinity. I don't know.
14
15 **RICHARD APPELDOORN:** You could, because St. Croix is a narrow
16 shelf and that population probably has a lot of island input
17 into the mixing supply, whereas going out toward Pichincha,
18 they're basically -- There's upwelling coming through the Mona
19 Channel, but that's not the same thing as having stuff delivered
20 from a high island.
21
22 **TODD GEDAMKE:** Right and so I mean let's hope and push for step
23 one, which is a U.S. Caribbean-derived age/growth relationship,
24 and then those explorations into even smaller scalers, but right
25 now, we're borrowing from Barbados or Jamaica or places that may
26 or may not be applicable here.
27
28 Now, as I say that, Meaghan has really looked at sort of every
29 combination of life history parameters and so I don't want to
30 diminish the fact that that was taken into account in the
31 analysis, but, to me, it just adds an amount of uncertainty to
32 what we can do with those results.
33
34 **RICHARD APPELDOORN:** Graciela, you mentioned that the lab is
35 gearing up to do the otolith work and do you know if queen
36 snapper is a priority species? I know it's one of the species,
37 but is it a priority species?
38
39 **GRACIELA GARCIA-MOLINER:** One thing that the SSC can do is to
40 recommend to the council that if it's not, since we do have the
41 collection of the otoliths already at the lab and their
42 associated length and everything else, to set aside some money
43 to one of the Science Centers that does aging and just send them
44 all the otoliths or to actually contract with a fisheries
45 research lab to do specific otolith work for the deepwater
46 snappers. I think that that's really a missing link.
47
48 **RICHARD APPELDOORN:** From where we are now, I would guess you

1 probably need at least year, or maybe two, to do that work,
2 depending on who is doing it.
3
4 **GRACIELA GARCIA-MOLINER:** Unless you contract out and then it
5 can be done in a much shorter time.
6
7 **BILL ARNOLD:** The samples are in pounds, right?
8
9 **GRACIELA GARCIA-MOLINER:** Yes.
10
11 **JULIE NEER:** How old are the samples?
12
13 **GRACIELA GARCIA-MOLINER:** For the same period of time that the
14 report came out in 2000 or 2002 or 2003 or 2004.
15
16 **JULIE NEER:** Potentially, those fish, again, are all -- If
17 you're worried about getting updated data and having current
18 representation of what's going on, you would want to try to get
19 new samples.
20
21 **RICHARD APPELDOORN:** I am willing to accept that within some
22 reason the rate of growth isn't changing. The data that we're
23 looking at in terms of how fishing mortality or total mortality
24 is changing seems to show that there was some drop early on, but
25 it's been fairly constant since that time, which means the
26 population structure should have been stable and so barring
27 long-term climatic influences, the growth rates should be.
28
29 **TODD GEDAMKE:** We've done this discussion numerous times on the
30 SSC and we've done this as part of SEDAR and can we just all
31 agree that the age and growth and getting those samples done is
32 a top priority? It's part of every meeting that we've been in.
33
34 **RICHARD APPELDOORN:** This is one of the more important
35 commercial species.
36
37 **BARBARA KOJIS:** Any species that is going to have a SEDAR done
38 on it, it sounds like it's a waste of time to do the SEDAR
39 unless you have age and growth, because you've had all these
40 SEDARs and that is one of the things and so instead of spending
41 the money on the SEDARs, spend the money getting the fish
42 samples and having the lab analyze them.
43
44 The other aspect of it is my understanding, because I collected
45 otoliths that somebody analyzed for mutton snapper, is the
46 otoliths still need to be validated. Those rings need to be
47 validated.
48

1 There's a number of ways of doing it, but you've got to have
2 somebody with knowledge and I don't know if the lab -- If the
3 Puerto Rico lab, at the time of learning how to cut and count
4 the rings, also learned how to validate and without going
5 through the process of --

6
7 **RICHARD APPELDOORN:** That's why I said two years, because if
8 they were doing the study, they would probably have to -- If you
9 sent them to like Panama or someplace like that, they could
10 probably process them fairly quickly.

11
12 **JULIE NEER:** Validation is a long-term thing and it's not
13 something that's done quickly unless -- They can't even do a
14 radiometric age validation on these things if they're short-
15 lived and so validation is like a ten or fifteen-year endeavor,
16 essentially, but regardless of that.

17
18 **BARBARA KOJIS:** My understanding, from a paper that I read part
19 of, but --

20
21 **TODD GEDAMKE:** Incremental analysis and you can do it in a year.

22
23 **BILL ARNOLD:** Assuming you have a bunch of the samples in hand.
24 That's what you need.

25
26 **GRACIELA GARCIA-MOLINER:** We know we have problems, because
27 we've already started talking to the people who use aging and
28 with the queen snapper specifically, it's the size of the
29 otolith and they are difficult to age. We are working towards
30 getting a quote and everything else. We would much rather have
31 the development of the capability to do that here.

32
33 **BARBARA KOJIS:** But they need to have that full capability or
34 having somebody overseeing it and maybe somebody else does the
35 validation, if that's too complicated, but you really need to do
36 that whole ball of wax and do that before we start getting into
37 a lot of these complicated analyses and so on that are
38 contingent on age and growth.

39
40 **JORGE GARCIA-SAIS:** Barbara, I think that was one of the main
41 priorities on the research priority document that was prepared a
42 couple of months ago and so it's all in line. It's just waiting
43 to be done.

44
45 **BARBARA KOJIS:** Yes. Age and growth and then listing the
46 species that we really have to have this done for, so at least
47 those are the ones that are focused on, because the lab over
48 there -- I remember Rick Nemeth was talking about setting up an

1 age and growth lab at the University of the Virgin Islands, but
2 it's something where I think looking at that is the council and
3 SSC saying this and then the council coming to him and saying,
4 look, this is really important. They have a bunch of masters
5 students that are going on and they have technical staff that
6 could be trained.

7
8 **BILL ARNOLD:** I would expect when it comes to validating this
9 deepwater stable environment species that it's going to be a
10 little tricky, because you don't have those distinct seasonal
11 signals. Is that reasonable, Reni? Are you getting differences
12 in water mass characteristics over the year at 900 or 1,500
13 feet?

14
15 **JORGE GARCIA-SAIS:** Not that I would expect. That's well below
16 the -- It's probably a very stable water mass. It might have
17 variations, but I don't know. I don't know much about that
18 water mass. We're talking about 1,200 feet for the queen,
19 around there.

20
21 **BARBARA KOJIS:** Do they have seasonal reproduction?

22
23 **BILL ARNOLD:** That's what I'm thinking, because sometimes you've
24 got two spawning events in a year and other times you have one
25 and you have to be very careful of that and this could get
26 tricky with deepwater species.

27
28 **BARBARA KOJIS:** Sometimes it's year-round, but if you've got
29 really a peak spawning event that happens once a year or even if
30 it's twice a year and six months apart or something like that,
31 you might be able to still pull out information. Those rings
32 might mean something.

33
34 **BILL ARNOLD:** I am sure they mean something.

35
36 **BARBARA KOJIS:** If they're there.

37
38 **JORGE GARCIA-SAIS:** Do we have any information of when the queen
39 snapper spawns for the first time and what's the age at
40 maturity?

41
42 **BARBARA KOJIS:** We must, because we've got the assumption that
43 they're all mature when they're fully vulnerable.

44
45 **TODD GEDAMKE:** My recommendation is going to stand that we
46 recommend an investigation on life history of the species.
47 We're not going to solve it.

48

1 **JORGE GARCIA-SAIS:** We're going to be guessing and guessing and
2 guessing.
3

4 **TODD GEDAMKE:** What's the age and growth and how do we validate?
5 Have the age and growth done by someone that that's what they do
6 and the maturity done by someone that that's what they do.
7 Barbara's recommendation I think was the one most related, which
8 is that if the SSC felt the need to recommend that age and
9 growth relationships and/or maturity information were available
10 for any species to go into a SEDAR process, that seems, to me,
11 to be a process recommendation and that would be relevant to
12 what our job is.
13

14 **GRACIELA GARCIA-MOLINER:** I have requested an inventory of the
15 species for which otoliths were collected at the Fisheries
16 Research Lab and so we should have the distribution over the
17 period of time of whatever year it was collected and the reports
18 on the length and maturity should be available for a couple of
19 species. I am trying to get together what they have at the lab.
20

21 **BARBARA KOJIS:** They would have reported on these things.
22

23 **GRACIELA GARCIA-MOLINER:** They do have the reports on them, but
24 they do the length at maturity and what month of the year they
25 spawn and things like that, but they don't go into age and they
26 don't go into -- They do have, probably, either the samples -- I
27 am trying to figure out how many otoliths of what species they
28 have available.
29

30 **BARBARA KOJIS:** Yes, because that's really important, because
31 otherwise, they have to also go back and collect more, if they
32 are going to validate. If they have collected them every month
33 or every two months or something, so they've got seasonality.
34 All of that is very important.
35

36 **GRACIELA GARCIA-MOLINER:** We have requested that.
37

38 **JORGE GARCIA-SAIS:** Barbara, may I ask Meaghan to explain --
39 This is my ignorance in this, but the survivorship information,
40 I find it very interesting and I really don't know where the
41 data comes from. Where do you derive that curve? How do you do
42 that?
43

44 It's the only thing that has told me anything about the life
45 history of that fish and I can start with that, but I don't know
46 where the data comes from.
47

48 **MEAGHAN BRYAN:** It's just the fish that survive from one age to

1 another due to natural causes as well as fishing mortality.
2 That's where it is coming from. That relationship is driven by
3 natural mortality and fishing mortality.
4

5 **JORGE GARCIA-SAIS:** Okay, but what is the main source of the
6 data? The catch?
7

8 **MEAGHAN BRYAN:** For natural mortality, that was derived using
9 basically the von Bertalannfy growth parameter and then fishing
10 mortality -- In terms of this yield per recruit, it was -- I
11 looked at survivorship across a number of hypotheses of what
12 fishing mortality would be and so that's modeled.
13

14 **JORGE GARCIA-SAIS:** So we don't really know. We don't really
15 know for sure any biological inference from the fish. Just it
16 all depends on what you put in the model.
17

18 **MEAGHAN BRYAN:** What your assumption is of that von Bertalannfy
19 growth coefficient.
20

21 **JORGE GARCIA-SAIS:** That's terrible and I don't like it. It's
22 the only thing we have and we have to deal with that, but what I
23 am here always trying to justify -- Trying to justify a decision
24 that affects people based on incomplete information and we are
25 not even sure what is it that it is and then we come here and
26 come out with a decision tool to shorten the fisheries of a
27 stock and from that, a lot of people live from and I have a hard
28 time swallowing that.
29

30 What we're saying here is that it could be overfished or it
31 could not be and we don't know, but the ACL was exceeded and we
32 need to do something about it and what is it that we're going to
33 do.
34

35 **TODD GEDAMKE:** The question is not what we're going to do.
36 That's all in law. The whole structure is already in place.
37 The question now, for us, is whether we revisit the fundamental
38 basis, the OFL and the ABC and the ACL, based on this new
39 information.
40

41 **BARBARA KOJIS:** We would only do the ABC and OFL.
42

43 **JORGE GARCIA-SAIS:** But without the data that we're talking
44 about, I don't see that we're going to get very far.
45

46 **TODD GEDAMKE:** I understand and I know your concern about
47 shortening the season or even having that -- You weren't a big
48 fan of having that initial buffer.

1
2 **JORGE GARCIA-SAIS:** You know I wasn't. I was kind of
3 anticipating this kind of thing, you know?
4
5 **TODD GEDAMKE:** I think that the way the structure has been set
6 up, that's the position that we're in. That's the way the
7 process has been set up and especially the precautionary -- The
8 data-poor situations, that's the way the process has moved
9 forward.
10
11 Going the other direction now, I think that we're in a position
12 now of having to have some scientific evidence, support, or
13 confidence in a new approach or new confidence in our landings
14 estimates for us to really revisit those numbers and I'm not
15 sure I guess where to go from there.
16
17 **RICHARD APPELDOORN:** We've had overages for two years.
18
19 **BILL ARNOLD:** We had overages for two years and we took the
20 average of those two years to determine where we were relative
21 to the ACL, but it is true that both 2010 and 2011 were over.
22
23 **RICHARD APPELDOORN:** In theory, you're talking on average that
24 we doubled the catch. If everything was constant, we were
25 doubling the fishing mortality?
26
27 **BARBARA KOJIS:** Yes.
28
29 **RICHARD APPELDOORN:** Wouldn't that show up in the size
30 frequency, a change of that magnitude?
31
32 **TODD GEDAMKE:** It should.
33
34 **MICHAEL SISSENWINE:** But nobody has looked at the size
35 frequencies.
36
37 **RICHARD APPELDOORN:** One of our recommendations is that ought to
38 be looked at and the other one is that the data should be looked
39 at relative to the concerns that we have about the reporting
40 issues. One of those two should point to where the problem is.
41
42 **JORGE GARCIA-SAIS:** Can we get a look at that length data? Is
43 it available or is it non-existent?
44
45 **GRACIELA GARCIA-MOLINER:** The landings data for 2010 was
46 308,000.
47
48 **RICHARD APPELDOORN:** It's the length frequency data.

1
2 **BARBARA KOJIS:** You are looking at an ACL of 145,000.
3
4 **MEAGHAN BRYAN:** This is from a presentation that I pulled it
5 from.
6
7 **BARBARA KOJIS:** That's based on 1999 to 2005 and every year from
8 2007, the ACL has been exceeded, but the AMs only apply to 2010
9 and 2011.
10
11 **JORGE GARCIA-SAIS:** Only two or three years of all that data has
12 been below that ACL. The entire dataset is -- It's that we went
13 too low.
14
15 **TODD GEDAMKE:** We have to use all of the years of information.
16 There are people very strongly arguing to go back into the early
17 1980s and to use those numbers to come up with an average catch.
18
19 **BARBARA KOJIS:** The other aspect of it is the average catch is
20 the ABC and the 145,000 is the ACL, which is 15 percent less
21 than the ABC.
22
23 **BILL ARNOLD:** It's 1999 to 2005.
24
25 **JORGE GARCIA-SAIS:** For me, it's not surprising that we're
26 exceeding the ACL and it's going to happen every single year.
27 Come on. If it doesn't happen, it's because they are not
28 reporting it. It's going to happen. Look at that data. It's
29 almost -- The majority of that catch, of those landings, are
30 above our ACL.
31
32 **BILL ARNOLD:** Reni, to ask a philosophical question, what
33 alternative would you take?
34
35 **JORGE GARCIA-SAIS:** You know what, I would have probably
36 averaged double and go -- Perhaps limit just at the MSY that we
37 have.
38
39 **BILL ARNOLD:** Something I've brought up these meetings before in
40 these SSC meetings is the SSC might want to provide some
41 guidance as to the --
42
43 **JORGE GARCIA-SAIS:** Bill, the only thing we have was that the
44 length frequency data show that the fishery was doing pretty
45 good, because we are seeing big specimens in the recent catches
46 and everything looked pretty good, but when we set the ACL so
47 low, it was -- I mean it was completely predictable that we
48 would have this problem and that's why I raised hell in those

1 earlier meetings.
2
3 **BILL ARNOLD:** What if our ACL turned out to be high? Would they
4 have fished harder to meet the ACL?
5
6 **JORGE GARCIA-SAIS:** What was that?
7
8 **BILL ARNOLD:** What if instead of our ACL being low, it would
9 have been high? Would they have fished harder to meet it?
10
11 **JORGE GARCIA-SAIS:** I don't think so. I don't think they are
12 measuring that, Bill. I don't think they are going down fishing
13 and looking at our charts. They don't give a shit about our
14 ACLs. They are fishing when they need money and that's what
15 they do.
16
17 They fish the average number of days that the sea is good to
18 fish and that's what they go with. They don't go out and say
19 we're going to exceed our ACL. There are good days of fishing
20 and they go at it and they find new spots and they get new areas
21 to fish and when they go out, just look at the history. The
22 history is what you have to look at. The history tells you
23 that, look, that 145,000, very seldom do they go below that,
24 historically, during the last fifteen years.
25
26 I don't know what you were thinking about, that all of a sudden
27 they were going to reduce their effort to adjust to an ACL.
28 That's the only method of fishing they have. If you close their
29 spawning aggregation sites or the coral reef fisheries, you have
30 to think about -- You have to put yourself in the perspective of
31 the fishermen that are going towards these stocks.
32
33 They are not -- If you are closing down in the shallow areas, be
34 sure that they are going to have alternative fishing sites.
35 They opted for offshore sites, both for mahi-mahi, pelagics, and
36 then there's a group of fishermen on the west coast that have
37 gone forward towards offshore waters and these other seamounts
38 in Mona Passage and they are exploring this resource.
39
40 Don't expect in the middle of the development of the fishery for
41 the landings to decline towards an ACL which was really unfair
42 and unreasonable to think that on a developing fishery that the
43 landings would decline. I don't know. It never made sense to
44 me and then when the data came that we saw there is no evidence
45 towards overfishing and in fact, what we are seeing is a very
46 tendency of a very healthy fishery, developing fishery, because
47 of the length frequency data, that's what it says.
48

1 Then we come up with an ACL that I said was very, very weak. It
2 was very small and very reduced and very tight, very tight,
3 tighter than -- If you look at the landings data, you will see
4 that our ACL goes below the vast majority of those years and why
5 would we think that now the fishery would decline toward meeting
6 our ACL?

7

8 **BILL ARNOLD:** Reni, everybody can see that, but --

9

10 **MICHAEL SISSENWINE:** Can we -- I was probably in on the
11 discussion, but I can't remember. Why was the ACL based on the
12 entire time period and not the time period that corresponds to
13 the most recent estimate of F or relative to F?

14

15 **BARBARA KOJIS:** The ABC is based on 1999 to 2005, correct?

16

17 **BILL ARNOLD:** Yes.

18

19 **MICHAEL SISSENWINE:** That's the period for which we determined
20 that relative fishing mortality is not -- It's not being
21 overfished.

22

23 **BILL ARNOLD:** It was stable. I think that's the description
24 that was used. This is a time period when landings were stable
25 and the fishery seemed to be functioning at a stable level.

26

27 **TODD GEDAMKE:** "Stable" was the key word.

28

29 **MICHAEL SISSENWINE:** Okay, but we now have an assessment that
30 says during some time period ending in 2009, and going back
31 about five years, overfishing was not occurring and is that
32 correct?

33

34 **MEAGHAN BRYAN:** There was an increase in mortality. The model
35 predicted an increase in mortality, but it was still below one.

36

37 **MICHAEL SISSENWINE:** The average catch during that period would
38 be a minimum level of OFL during that period. I don't know
39 whether it still works today, because I don't know what the
40 stock has done, but if we had a period from 2004 to 2009, where
41 overfishing was not occurring, then the average catch during
42 that period should be a minimum estimate of OFL. I don't know
43 what the number is or whether it helps us or not, but that's
44 logically what I interpret from the assessment.

45

46 **BARBARA KOJIS:** You would be saying what information we need is
47 when do you start in your analysis? What years did your
48 analysis take into account?

1
2 **MICHAEL SISSENWINE:** I'm only interested in the last block, on
3 which you concluded that overfishing is not occurring, which is
4 about a five-year period ending in 2009.
5
6 **BARBARA KOJIS:** But we need to know what block she used.
7
8 **MICHAEL SISSENWINE:** Sure.
9
10 **BILL ARNOLD:** I would say this, you guys, just as a reminder.
11 When we set these ACLs, we were under a pretty intense timeline,
12 congressionally mandated. The SSC, as a leader of Caribbean
13 fisheries management, has an opportunity to reassess and reset
14 those ACLs. I think you have to take advantage of that
15 opportunity.
16
17 **MICHAEL SISSENWINE:** That's -- right now, where we have some
18 basis for concluding something different from what we said
19 before. I don't know what the number is.
20
21 **BILL ARNOLD:** Not just for queen, but everything is going to
22 need this sooner rather than later, especially these 2010
23 species, as I call them, because their most recent data, 2005,
24 is getting pretty darned old.
25
26 The other, 2011, species, we used 1998 or 1999 data and at least
27 it's a little newer and a little more reflective of reality, but
28 I'm a big proponent of let's get these ACLs reconsidered, if we
29 can.
30
31 **BARBARA KOJIS:** Right and this methodology, it looks like this
32 methodology could be used to determine if species are overfished
33 or undergoing overfishing and if they're not, then we could
34 extend the period of time for determining OFL, the landings
35 period of time of landings for determining OFL.
36
37 **JULIE NEER:** Was the ABC control rule put forward by this
38 committee or was there not one ever put into place through the
39 council and officially accepted in a plan through the council?
40 Like in the Gulf and the South Atlantic, they both have an ABC
41 control rule that was developed by their SSCs to come up with
42 their ABC values and their recommendations, guiding principles.
43
44 That went into plan amendments and FMPs and had been passed and
45 did that ever happen down here or no? If that has happened,
46 then you can't just one off change things without going through
47 an amendment. If it hasn't happened, then you have a whole lot
48 more flexibility and I'm just wondering, from a procedural

1 standpoint, how this would work.
2
3 **GRACIELA GARCIA-MOLINER:** At the time when the ACLs were being
4 set, we had not been looking at the length frequency
5 information. We were just looking at the catch data.
6
7 **JULIE NEER:** I understand what data was used.
8
9 **GRACIELA GARCIA-MOLINER:** It was the ORCS methodology that was
10 used for 2011 for Puerto Rico.
11
12 **TODD GEDAMKE:** This is the exact approach that we tried for
13 three years to inform the OFL for our own process. The
14 conclusion that we drew then was that we had -- Silk was one of
15 the main examples that we tried working with and then we found
16 out that management had changed and reporting had changed and
17 therefore, we no longer trusted using a scaler based on those
18 values.
19
20 What we're doing now is we're coming full circle back to where
21 we started the process and trying to revisit it and what we did
22 -- I'm not sure a full plan was drawn up and I'm not
23 procedurally sure how that came through, but yes, the SSC
24 deliberated for at least three or four meetings.
25
26 **JULIE NEER:** I know you had extensive discussions about it and
27 that was my question, was that if it never actually --
28 Essentially, your default, we'll call it, ABC control rule was
29 that if it had this overfishing label and not on the official
30 list, but what they came out with, then it got a 15 percent
31 reduction from average landings and if it was okay, in quotes,
32 we'll say that it was a 10 percent reduction between OFL and ABC
33 and your determiner of OFL was this average landings approach.
34
35 **BARBARA KOJIS:** The SSC didn't determine the 10 percent and the
36 15 percent. The SSC only provided the ABC and the ABC was still
37 average landings.
38
39 **JULIE NEER:** The ABC was straight average landings and then the
40 council, to go from ABC to ACL, did the 10 to 15 percent
41 reductions and that was the management decision and not science?
42
43 **BILL ARNOLD:** That's right and so actually, how it worked was
44 the average landings -- The MSY proxy was set as the average
45 landings and then OFL and ABC were set equal to the MSY proxy.
46
47 **JULIE NEER:** Then it sounds like you guys just provided an ABC
48 value, essentially.

1
2 **BARBARA KOJIS:** That's right.
3
4 **JULIE NEER:** Then the reductions came on the council half in
5 terms of the ACL.
6
7 **BARBARA KOJIS:** That's right.
8
9 **JULIE NEER:** Can't the council just change their ACL? If the
10 science doesn't change their ABC and the ACL is supposed to
11 account for the management uncertainty between the ABC and the
12 ACL, can't the council just change the ACL?
13
14 **BILL ARNOLD:** The council could get rid of those reductions and
15 bring the ACL up to the ABC. They could do that on Monday. I
16 don't think they're going to, but they could.
17
18 **BARBARA KOJIS:** The other aspect of this, is if we say that this
19 species that was previously considered overfished or undergoing
20 overfishing is no longer considered that, then the council can
21 reconsider at least a little reduction, but I would say it's
22 going to be the same as all the other species that aren't
23 undergoing overfishing or are overfished, but that's just a
24 minor -- Like Bill pointed out, it's maybe 3,000 pounds or
25 something like that. That's not a major increase.
26
27 The other aspect of it is we've looked at whether or not
28 overfishing is occurring and if we concur that there's no
29 overfishing occurring for a certain number of years and this is
30 more years now than we previously had, can we increase the ABC
31 if we know what those years are?
32
33 If this goes from 1999, your analysis for overfishing -- Well,
34 maybe you can say your previous analysis -- The analysis
35 includes these numbers of years that there was no overfishing
36 occurring and maybe the average catch now increases and then the
37 ABC will go up and then the ACL will --
38
39 **BILL ARNOLD:** Two points I want to make and the first is in
40 regard to what Julie was saying. The council could recommend
41 that the reduction factors be changed. That's still going to
42 have to go through secretarial approval and I think we would
43 have a lot of trouble.
44
45 We might be able to argue that we could go from 15 percent to 10
46 percent, but setting the ACL equal to the ABC is not going to go
47 over real well.
48

1 **RICHARD APPELDOORN:** Except for the fact that we actually have
2 an assessment that seems to indicate a problem, but for most
3 species, we don't have that.
4

5 **JULIE NEER:** That's exactly what was accepted for both the South
6 Atlantic and the Gulf.
7

8 **BILL ARNOLD:** That ABC and ACL are equal or was the ABC reduced?
9

10 **JULIE NEER:** Yes, the OFL and the ABC was reduced and then ABC
11 to ACL was --
12

13 **BILL ARNOLD:** I think really what it comes down to is they don't
14 want their ACL equaling their OFL. The second thing is that
15 "stable" word comes back into play. It wasn't just five or six
16 years of landings, but it was five or six years of stable
17 landings and when you look at those landings and you're kind of
18 bouncing along averaging probably two-hundred-grand and then you
19 hit that three-hundred-and-something-grand, you have to ask if
20 that's stable and it would be legitimately included in that time
21 sequence.
22

23 It's not a question for me to answer, but I think that would be
24 a question that would have to be addressed. I am all for
25 anything. You guys are the experts on this.
26

27 **JORGE GARCIA-SAIS:** When you consider that in part, that 300,000
28 mark could be very well associated with increased reporting.
29

30 **BILL ARNOLD:** It could be associated with intense overfishing as
31 well. The question is do we know what it's associated with?
32

33 **JORGE GARCIA-SAIS:** That is the problem, that we don't know.
34

35 **BILL ARNOLD:** This fishery could handle five-hundred-thousand-
36 grand a year for all we know. We don't really know. We may be
37 way below what this thing could support and we could be way
38 above what it can support.
39

40 **MICHAEL SISSENWINE:** That's basically why people will tell you
41 that output controls, which are ACLs, essentially are not a
42 useful tool to manage fisheries without a current assessment,
43 which applies throughout the Caribbean.
44

45 **BILL ARNOLD:** Mike, is that applied everywhere except in Alaska,
46 where they're getting an assessment for every species every year
47 or maybe more, versus we get one --
48

1 **MICHAEL SISSENWINE:** I didn't say every year, but more
2 frequently than five years out of date.
3
4 **BILL ARNOLD:** I know, but it works in Alaska because they're
5 getting assessments all the time.
6
7 **MICHAEL SISSENWINE:** It probably should work in New England,
8 because there's enough data to do it even if it's not done, but
9 it doesn't work here. It doesn't work here.
10
11 **BILL ARNOLD:** Unfortunately, it's, I repeat, a congressional
12 mandate.
13
14 **MICHAEL SISSENWINE:** No, it's an agency policy. It's in the
15 National Standard 1 Guidelines. The law mentions ACL once in
16 lower case. It doesn't have some section on ACLs the way it
17 does on rebuilding and so forth. It's one sentence that has the
18 words "annual catch limits" in lower case with a lot of
19 modifiers and so forth that have been interpreted as required
20 under all circumstances.
21
22 There's even a section in the Guidelines that talks about
23 circumstances under which you may not do it and those are listed
24 as salmon, for some reason, and a couple of other bizarre
25 things, but it doesn't address the potential of doing something
26 else where you don't have data.
27
28 **BARBARA KOJIS:** Mike, with your suggestion, if we go back to the
29 landings, how do we go forward with that?
30
31 **MICHAEL SISSENWINE:** I still don't know what period of time the
32 final block is under which we base our conclusion that
33 overfishing is not occurring.
34
35 **JORGE GARCIA-SAIS:** You know what, there's a point there in that
36 data that caught my attention, because it was -- It looked like
37 an outlier and it was 79,000 pounds or so. I wonder if we
38 actually put that number into consideration, because that would
39 tend to reduce the average annual catch substantially and it
40 doesn't look stable to me. Can you put up that little table you
41 had?
42
43 **BARBARA KOJIS:** Do you need some time to go check this out?
44
45 **MEAGHAN BRYAN:** I am looking at the report from SEDAR-26 to find
46 the years. We did have to 2011, but actually, I don't know if
47 2011 was complete though. This change is predicted in about
48 1996 and so you see there's a decline in mean length and so an

1 increase in total mortality. That decline starts in 1996 and it
2 kind of levels out in 2000.

3

4 **BARBARA KOJIS:** So from 1999 to 2010 or 2011 is really the
5 period of time?

6

7 **MEAGHAN BRYAN:** I need to find the exact years. The figure
8 showed 2008 to 2011, but I just don't know if 2011 and 2010 were
9 complete, in terms of the length frequencies. 2009, 2010, and
10 2011, we didn't have any length frequency samples and so 2008 is
11 the last year we had length frequency samples.

12

13 **MICHAEL SISSENWINE:** We're concluding that from approximately
14 1999 to 2009 --

15

16 **BARBARA KOJIS:** 2008. Is that what you're saying, 2008?

17

18 **MICHAEL SISSENWINE:** Okay, 2008, but the fishing mortality was
19 probably less than FMSY or there's no basis to conclude it was
20 more. I would argue that whatever the catch was in that period
21 is a minimum estimate of OFL.

22

23 **BARBARA KOJIS:** Can you just pull that out?

24

25 **MICHAEL SISSENWINE:** I don't know if this can be any better than
26 what's the ACL now, but I mean that just so logically fits with
27 the assessment.

28

29 **MEAGHAN BRYAN:** You want to see the average catch?

30

31 **BARBARA KOJIS:** Average to 2008, 1999 to 2008.

32

33 **MICHAEL SISSENWINE:** I said 1999 because Barbara said it and it
34 does look like that's sort of where it --

35

36 **MEAGHAN BRYAN:** That decline kind of leveled out in 1999 and
37 2000. That's just the average.

38

39 **BARBARA KOJIS:** Except 1999 is kind of a weird number and so
40 let's just do 2000. Say 1999 is an outlier and we'll do 2000 to
41 2008.

42

43 **JULIE NEER:** How did you come up with your 1999 to 2005 landings
44 initially, like that time block? Was it for all species or did
45 you go through species-specific?

46

47 **GRACIELA GARCIA-MOLINER:** It was for all species.

48

1 **JULIE NEER:** All species use the same and so basically if you do
2 this, you're advocating making a change for all species, which
3 is okay. I am just --
4

5 **MICHAEL SISSENWINE:** Just the species for which we have an
6 assessment that says over some period of time --
7

8 **JULIE NEER:** I am okay. I am just trying to wrap my head around
9 it.
10

11 **BARBARA KOJIS:** It's got 2000 to 2008 and so it's just a little
12 bit higher. It's 188. It's a little bit more, because it's
13 174. This is the OFL and I think it was 175 or 174 before,
14 wasn't it? You are adding another 10,000 or 12,000 pounds.
15

16 **MICHAEL SISSENWINE:** I guess you could also argue that since
17 it's presumably a minimum estimate of OFL that maybe you don't
18 have to reduce it by very much for a hedge against uncertainty,
19 but it's still a problem. You still have recent catches that
20 are well --
21

22 **JORGE GARCIA-SAIS:** Why would we include that 1999 data?
23

24 **JULIE NEER:** She took it out.
25

26 **BARBARA KOJIS:** That's why I asked her to just click on that, so
27 you could see what it was for the new one.
28

29 **TODD GEDAMKE:** Just because I feel like I have to say it out
30 loud, I think what we're looking at right now is what I was
31 advocating initially, looking at using the most recent years and
32 using the years that compare to what we would be assessing for
33 the ACLs.
34

35 If we compare transcripts from two years ago to what I'm about
36 to say now, you would see something very different, but I feel
37 very strange, in some way, that because we've got an overage
38 we're now actually going back and looking at changing the years
39 to somehow change the fact that we've got an overage to somehow
40 change the fact that we've got accountability measures coming
41 in.
42

43 The fishermen that I've worked with here know that I will be
44 straight up with them and I hate to argue any other way on this,
45 but it feels strange to me that we're here because of an overage
46 revisiting something that we've revisited for many, many months
47 and many, many meetings to take away again -- I guess my only
48 thought on this is that I would be weary of being reactive to

1 the process.

2
3 If there is a reason to revisit these -- I think as Mike very
4 well said, if we're going to be using length frequency
5 information for the most recent years, maybe a broad-based rule
6 to take a look at those average years versus what we're going to
7 be assessing may be most appropriate.

8
9 I have a hard time stomaching hand-picking out a single species
10 and modifying the years for those species to accommodate the
11 fact that we've gone over.

12
13 **MICHAEL SISSENWINE:** Why didn't we do it this way? We
14 essentially, as I vaguely recall, we went to this ORCS method
15 because we didn't have the individual assessments or something
16 like that.

17
18 **TODD GEDAMKE:** I could call up plots on this, but if people
19 remember what happened was I believe 2007, if I'm right, or
20 2008, for almost all species in Puerto Rico, you had an average
21 landings that looked stable and then you had this reduction.

22
23 I think there was some -- There was a change in behavior, a
24 change in reporting, in the two years prior to what we're
25 looking at in 2009 and do you remember that?

26
27 **GRACIELA GARCIA-MOLINER:** 2005 was the time when the SFA came in
28 and there was large changes.

29
30 **MICHAEL SISSENWINE:** We didn't believe the recent catches.

31
32 **TODD GEDAMKE:** The recent catches had the same exact issue that
33 we're looking at right now, which is now we've got people that
34 we're surmising and coming up with ideas as to why people may be
35 reporting more information, while three years ago we were doing
36 the exact opposite.

37
38 There was this sudden drop in all the reported landings and so
39 we didn't believe those few years and this was -- Once again, I
40 think Julie made a good point. We looked at the whole complex.
41 We looked at the whole shelf and said these are the years we're
42 going to use and across the board, there was behavioral change
43 and so we didn't believe, basically, those last two years.

44
45 **MICHAEL SISSENWINE:** So it wasn't the assessment that said
46 overfishing wasn't occurring. It's that we didn't have any
47 catch to associate to that.

48

1 **JULIE NEER:** Initially for these unassessed species, the other
2 two councils in the Southeast did very similar approaches, where
3 they came up with a block of time for their catch-only species
4 and came up with an average landings approach, initially. In
5 that respect, how each individual SSC chose the years that they
6 used, but that word, that "stable" catch that --

7
8 **MICHAEL SISSENWINE:** Of course, you know if you take some period
9 and take average landings, and you think that period was okay,
10 and then you reduce it for all these uncertainties, then if
11 everything is okay, you are still guaranteed to put in -- You
12 would expect accountability measures to occur more than half the
13 time, which violates the National Standard Guidelines which says
14 they ought to only occur one-quarter of the time. Essentially,
15 the system can't work.

16
17 **JULIE NEER:** Yes, this is an assumption that 50 percent of the
18 time you're going to be over, basically.

19
20 **MICHAEL SISSENWINE:** So it's really pretty much nonsense.

21
22 **JULIE NEER:** In some of the other councils, and I can't remember
23 if it's the Gulf or South Atlantic, but one of them said for
24 these catch-only species -- They said OFL is undefined, because
25 they weren't legally required to do it and then they came up
26 with their ABC.

27
28 **MICHAEL SISSENWINE:** I think that's what we did as well, but it
29 doesn't really help the problem.

30
31 **JULIE NEER:** Then the council then set ACL equal to ABC, even
32 though there was no reduction between OFL and ABC, because we
33 don't know what OFL is. OFL was unknown and so there was no
34 reduction, but they were still allowed to set ABC equal to ACL,
35 even with no reduction between OFL and ABC. It has been done.
36 If you can get away with it here, I don't know.

37
38 **WALTER KEITHLY:** This does not make sense to me. The ABC is
39 supposed to take into account the scientific uncertainty. The
40 ACL is supposed to take into account the management uncertainty.
41 There is an awful lot of management uncertainty in the
42 Caribbean. Therefore, I don't see how you can possibly set ACL
43 equal to ABC down here.

44
45 **JULIE NEER:** There's management uncertainty everywhere and it
46 seems to have been kind of saying that yes, we can manage our
47 catches exactly and we don't and we've gone over and we're
48 having the exact same issues with the South Atlantic currently

1 now.
2
3 They keep going over their ACLs and the SSCs are being asked to
4 revisit ABC values because there are suddenly overages due to
5 these ACLs.
6
7 Just in that kind of bigger perspective, you are not the only
8 ones who are being asked to do this and I know how you wish to
9 address it, but it's not exclusive to the Caribbean. You have
10 different issues down here, but this whole system of ABC and OFL
11 and these overages are happening Southeast-wide.
12
13 **MICHAEL SISSENWINE:** Anyway, what I just was commenting on, in
14 terms of using that yellow block, is only valid if we think
15 those catches are valid and if we doubt them for 2006, 2007, and
16 2008, then that's a fair portion of those years.
17
18 **JORGE GARCIA-SAIS:** Those numbers look within the range. I
19 don't see anything like strange. The 2010 data, that looks to
20 me like something is unusual and out of the range. On the other
21 -- As a maximum and not as a minimum. Something happened there,
22 either increased reporting or there was a year of really good
23 weather that people could go out for many days during the year,
24 because these guys are not fishing at the shelf edge.
25
26 They are fishing way offshore. They go to all those seamounts
27 in the Mona Passage that we don't even know much about them.
28 They don't want to give away much information on where is it
29 that they're fishing, but they're finding out new spots, new
30 mountains, new seamounts, every time. Apparently there is more
31 than we thought.
32
33 **MEAGHAN BRYAN:** You could just be depleting them if they're
34 going to new areas.
35
36 **JORGE GARCIA-SAIS:** What?
37
38 **MEAGHAN BRYAN:** That could indicate that they're serially
39 depleting the stock. Catch rates get low and so they move on to
40 a new area and the catch is high again, but they're you're
41 overfishing --
42
43 **MICHAEL SISSENWINE:** Then that means the length-based assessment
44 isn't valid.
45
46 **MEAGHAN BRYAN:** We actually did talk about this spatial
47 expansion, now that I remember.
48

1 **TODD GEDAMKE:** For queen, it wasn't a big issue, just because of
2 the location and the narrowness of the shelf in that area and
3 the range of the vessels that are working. For queen, it's not
4 a problem, but --
5

6 **BARBARA KOJIS:** What do you mean by the narrowness of the shelf?
7

8 **RICHARD APPELDOORN:** For queen it's a problem. It was brought
9 up.
10

11 **BARBARA KOJIS:** It's not a narrow shelf. It goes way out.
12

13 **RICHARD APPELDOORN:** It's not a narrow shelf. For St. Croix,
14 it's a narrow shelf, but not for Puerto Rico. It goes way out.
15

16 **JORGE GARCIA-SAIS:** The submarine habitat goes all the way to
17 the Dominican Republic. There's a ridge that connects and that
18 is probably within the habitat of the fish and then there's a
19 consideration that the fish grows fast.
20

21 If that survivorship curve is right on the money, the inference
22 we have is that it's a fast-growing fish that probably reaches
23 maturity in a couple of years. It's like the mahi-mahi.
24

25 **MEAGHAN BRYAN:** I think that makes the argument for getting
26 better age and growth relationships.
27

28 **JORGE GARCIA-SAIS:** Data, of course. Every time we meet here or
29 anywhere, that's something that comes about, that we need more
30 information on age and growth or whatever.
31

32 **GRACIELA GARCIA-MOLINER:** The other issue with the queen snapper
33 was also that the species had not been part of the reported
34 landings until 1985 or 1987 or something like that. Before
35 that, comparing to silk and other snappers and the series begins
36 in --
37

38 **BARBARA KOJIS:** Why does it begin then? Is that when the
39 fishery started or that's when the reporting started?
40

41 **GRACIELA GARCIA-MOLINER:** The fishermen who are fishing for
42 queen snapper now began fishing at that time. There were a
43 number of fishermen that were fishing for queen snapper.
44

45 **JORGE GARCIA-SAIS:** There's something about the mentality of the
46 fishermen that doesn't work just the way you describe it. They
47 move to other places because this place was depleted, but they
48 are trying to gain a pretty wide range of fishing spots and they

1 go from one place to another because they don't want to deplete
2 their stocks. How about that?

3
4 **RICHARD APPELDOORN:** It doesn't make a difference. It's still
5 an expansion of the range over which the fishery is operating
6 and it would have the same effect on the analysis.

7
8 **JORGE GARCIA-SAIS:** I understand it's a big range. The fishing
9 range is quite big.

10
11 **MICHAEL SISSENWINE:** Under the most optimistic situation, from a
12 scientific point of view, we have an assessment that has a
13 representative set of length frequencies. What we know about
14 the demographics is realistic or what we use in the assessment
15 for demographics is realistic and those catches are valid, in
16 which case we have a reasonable estimate of what would have been
17 OFL during the period that ended in about 2008.

18
19 That's sort of the best you could hope for out of the stuff we
20 have and further then, we wouldn't really know anything about
21 what's happening now, because the life span of the species is
22 such that the population that existed in 2008 would have been
23 largely replaced by now and it could be bigger or smaller.

24
25 We don't know what has happened to fishing effort and we don't
26 know whether there's been a change in catch and so about all we
27 can say is that the ACL that's in place now might be a little
28 bit conservative compared to what it could have been in 2000
29 through 2008. I don't think we can say much more than that.

30
31 That's the best case. If we don't believe the catches in that
32 period and we don't believe the length frequencies, then we
33 don't really know anything. I would suggest we probably report
34 it based on the best case. We acknowledge that it's uncertain,
35 but that under the best of circumstances, what we know is sort
36 of what a reasonable, possibly somewhat conservative, ABC would
37 have been during the period of about five to ten years ago.

38
39 **JULIE NEER:** Then you would recommend?

40
41 **MICHAEL SISSENWINE:** I would recommend not using ACLs to manage
42 the fishery.

43
44 **JULIE NEER:** Are you still indicating that you think they should
45 change the years that were used for your ABC determination from
46 the 1999 to 2005, which is currently on the books?

47
48 **MICHAEL SISSENWINE:** If we believe the catch under the best case

1 scenario I described, meaning we believe those catch numbers,
2 which apparently we didn't when this was done, and we think the
3 assessment is a reasonably valid assessment of the -- The
4 conclusion that overfishing was not occurring is reasonably
5 valid, then yes, it is logical that you would use that theory,
6 but it doesn't change the situation very much, I don't think. I
7 can't see how you can milk anything more out of this stuff.

8
9 **JORGE GARCIA-SAIS:** One thing I am almost sure, and I'm going to
10 say it and I don't care, is what we're going to milk out, if we
11 give the shortage to the fishermen, is that we are going to
12 misinformation on the reporting side. The fishermen are going
13 to keep fishing and they are not going to report.

14
15 **MICHAEL SISSENWINE:** That's another reason that ACL management
16 doesn't make any sense. You have no enforcement of the
17 reporting, to speak of.

18
19 **BILL ARNOLD:** As long as you're using their data to control
20 them, they're going to manipulate their data so you control the
21 way they wish to be controlled.

22
23 **JORGE GARCIA-SAIS:** This is the way they live.

24
25 **BILL ARNOLD:** This is all three islands, which is what they're
26 doing.

27
28 **JORGE GARCIA-SAIS:** It is not for fun. They live out of this
29 stuff and these are the most cooperative of the entire group of
30 fishermen. These guys are the ones that want to make it happen
31 with us.

32
33 **RICHARD APPELDOORN:** Not anymore. We will kill that.

34
35 **JORGE GARCIA-SAIS:** They want to provide the information and
36 those are the only ones that want to do it.

37
38 **BARBARA KOJIS:** Okay. I think that Mike has summarized fairly
39 well what we can do with respect to this. Is there any other
40 comments or consensus? Do we want to at least increase the ACL
41 based on -- Not the ACL, but the ABC, based on the increase by
42 adding these three extra years and eliminating 1999 and
43 presenting this to the council as the new ABC, based on the fact
44 that this is a period of time that's been analyzed, which we
45 concur that overfishing hasn't occurred, concur with the
46 analysis that overfishing hasn't occurred?

47
48 **MICHAEL SISSENWINE:** Wasn't occurring.

1
2 **RICHARD APPELDOORN:** Wasn't 2009 in that dataset or no?
3
4 **MICHAEL SISSENWINE:** Apparently there's no length frequencies.
5
6 **WALTER KEITHLY:** Like Todd, I'm a little concerned about taking
7 one species simply because landings have increased significantly
8 for whatever reason, whether it's reporting, statistics, or
9 actual landings have increased and exceeded the ACL and
10 therefore, we go back and change the ACL.
11
12 **BARBARA KOJIS:** We're supposed to be looking at this in terms of
13 are we going to be able to use this methodology for all the
14 other species as well.
15
16 **WALTER KEITHLY:** I don't think we're at the stage yet where we
17 can say that. Until we hit that stage, I would prefer to leave
18 the ACL where it is.
19
20 **MEAGHAN BRYAN:** Are you talking about the mean length estimator
21 or --
22
23 **TODD GEDAMKE:** Consistency between the years used and mean
24 length estimator and the years used to come up with average
25 catch. I think that's the most solid argument that I've heard
26 to take a look at revisiting any of this, in terms of year
27 sequence, but it's not going to change that much.
28
29 **BARBARA KOJIS:** No and the other aspect of it is it could change
30 more if you go back to 2010 and 2011, for example, and do the
31 analysis for lengths on all those years. Then it would change
32 more, but if -- It indicated that overfishing wasn't occurring
33 based on the estimation, right?
34
35 **MICHAEL SISSENWINE:** Yes, we could include more years in the
36 catch average, but I think at some point you have to start to
37 question whether the resolution of your conclusion that
38 overfishing is not occurring is meaningful.
39
40 If you have an analysis period that starts to be ten or twelve
41 years and then you're making a conclusion, you're still saying
42 it's the same in every one of those years and there's no reason
43 to think that's true and it becomes less likely to be true when
44 you start to see big changes in catch.
45
46 **BARBARA KOJIS:** But you can analyze the more recent years or do
47 some other analysis there.
48

1 **MICHAEL SISSENWINE:** Yes and I would think you would want to be
2 analyzing blocks that are some reasonable length of period and
3 not just adding years on, but dropping years off from the other
4 end in five-year blocks or whatever it is, whatever is the
5 minimum number of years, based on some sort of analysis of a
6 methodology that's robust.
7
8 **TODD GEDAMKE:** Let me throw out something here, too.
9
10 **RICHARD APPELDOORN:** It's supposed to be five years, right?
11
12 **MEAGHAN BRYAN:** Yes, but 2009, 2010, and 2011 didn't have data.
13
14 **RICHARD APPELDOORN:** So it's only based on 2007 and 2008?
15
16 **MEAGHAN BRYAN:** The change?
17
18 **RICHARD APPELDOORN:** The last block of time that you're getting.
19
20 **MEAGHAN BRYAN:** It was from 2000 to 2008. That's where that
21 change leveled off.
22
23 **RICHARD APPELDOORN:** That's the last block of time?
24
25 **MEAGHAN BRYAN:** Yes.
26
27 **RICHARD APPELDOORN:** Or you're just saying where that level
28 occurred?
29
30 **MEAGHAN BRYAN:** Yes, where the leveling occurred.
31
32 **JULIE NEER:** The five-year increments of length frequency was
33 just a way to present changes over time.
34
35 **MICHAEL SISSENWINE:** So there are no blocks of time where
36 there's an average and it's an annual estimate?
37
38 **JULIE NEER:** Yes, an annual estimate.
39
40 **TODD GEDAMKE:** In this case, when I look at this, I look at 2000
41 as your stable point in there and then 2006 is where the change
42 occurred and your stock size is going to respond over that four-
43 year period and be stable, in this analysis, at a new
44 equilibrium in about 2000.
45
46 I've got these plots from queen and silk that we used during all
47 of our early discussions and if you look at landings -- I just
48 have a plot of the queen snapper landings and the years used to

1 average queen and silk and the only point that I was going to
2 show --
3
4 **RICHARD APPELDOORN:** What was the number you came up with? Was
5 it 188 something?
6
7 **MEAGHAN BRYAN:** That's just the average landings from 2000 to
8 2008.
9
10 **RICHARD APPELDOORN:** And it was 188 what?
11
12 **MEAGHAN BRYAN:** It was 188,539.9.
13
14 **RICHARD APPELDOORN:** We could just call it 188,540.
15
16 **GRACIELA GARCIA-MOLINER:** The 2009 is that we don't have TIP
17 data for that year for the queen snapper.
18
19 **JIM BERKSON:** Can I jump in for a second? I am about to have to
20 leave, unfortunately. I am going to be teaching this afternoon.
21 I have got my summer program students in town and then tomorrow
22 we're going to head down to St. Pete to give a presentation to
23 the NMFS Regional Office down there and so it's a busy time.
24
25 It's much tougher for me to follow this and follow the
26 discussion and everything looking at it from my desk via
27 webinar, as I'm sure you all can understand, compared to
28 actually being in the room and discussing this with you all and
29 that's why I haven't said a lot up until now.
30
31 The way I'm viewing this at this point is that I am not seeing a
32 lot of difference in the scientific information for when we
33 looked at this previously. What strikes me about everything
34 we're looking at is the large amount of uncertainty in all of
35 the pieces of information that go into this, whether you're
36 talking about the life history information, the catch
37 information, which is always troublesome.
38
39 Every step of this has uncertainty and I always think about the
40 precautionary principle and the basic concept of the more
41 uncertain you are about the status of your resource, the more
42 conservative your management has to be.
43
44 I think that largely supports the methods we've used in the
45 past. Now, I think what has changed recently is how the
46 management and the impact of the management has changed rather
47 than how the science has changed and you all can correct me if
48 I'm wrong about that, but what our job is, I think, is to be

1 looking at the scientific information and talking about the
2 implications of the science and not reacting to the management
3 in itself.

4
5 If I am reading this correctly, and I may not be, but if I'm
6 reading this correctly, I'm not quite sure that this would cause
7 us to make dramatic changes from what we've said in the past,
8 since the science hasn't changed that much. I would be real
9 curious to get your take on that.

10
11 **TODD GEDAMKE:** I think I tried echoing and not as eloquently,
12 but I agree with you.

13
14 **MICHAEL SISSENWINE:** I guess the added science is the results
15 that look at various types of overfishing reference points and
16 then reinforce, again, the conclusion that overfishing is not
17 likely to be occurring, but that doesn't change the big picture
18 very much.

19
20 I don't think anything we're saying changes it very much. It
21 might be an alternative choice of the period of years used to
22 come up with an OFL estimate and that's no more or less the
23 right way to go than somebody's judgment about whether the catch
24 data is reliable.

25
26 Apparently the last time through this, the judgment was it
27 wasn't and if that's still the judgment and there's no reason to
28 think otherwise, then so be it.

29
30 **JIM BERKSON:** I would be real interested in seeing more
31 sensitivities related to the yield per recruit analyses, given
32 the uncertainty associated with those parameters.

33
34 **MEAGHAN BRYAN:** The yield per recruit analyses were done across
35 that uncertainty in the input parameters.

36
37 **JIM BERKSON:** They were?

38
39 **MEAGHAN BRYAN:** Yes.

40
41 **JULIE NEER:** Bill, I have a question. You said initially this
42 group, queen and cardinal, that they are in Snapper Unit 2,
43 which was listed as undergoing overfishing on your information
44 when you guys classified these.

45
46 **BILL ARNOLD:** We grouped them with the species that were listed
47 as undergoing overfishing.

48

1 **JULIE NEER:** Thank you. That's what I was trying to say. Given
2 that, but then when this assessment came out -- Essentially, the
3 assessment, when SEDAR-26 came out, it said we don't believe
4 this is undergoing overfishing.

5
6 The SSC concurred with that assessment a year ago and so why --
7 Since the SSC a year ago basically said we sort of agree that
8 it's probably not undergoing overfishing, why has this not
9 already been switched from the 15 percent buffer to the 10
10 percent buffer?

11
12 I know you don't work for the council and I'm just asking,
13 because it sounded like that's sort of one of the ways, without
14 changing the years, would be to switching this buffer from the
15 overfishing class to the not overfishing class. That would
16 change it from a 15 percent buffer to a 10 percent buffer,
17 giving the fishermen more fish. Why hasn't the council done
18 that or are they waiting for additional information from this
19 body to say they should go do that? I'm just trying to --

20
21 **BILL ARNOLD:** This topic of adjusting the reductions has not
22 been brought up, but it may not be as simple as just saying we
23 now classify these as not undergoing overfishing and so we
24 reduce the buffer from 15 percent to 10 percent, because there
25 are other arguments that could be brought into play, like we're
26 not doing it because it's not undergoing overfishing, but we're
27 doing it because these are bigger fisheries with more
28 uncertainty involved, et cetera, et cetera.

29
30 There are a lot of arguments you could bring into play to say
31 why not all things are equal. For example, we are placing 25
32 percent reductions on surgeonfish and angelfish because of their
33 ecological importance and so it's not always just this is what
34 we feel is appropriate for undergoing overfishing versus non-
35 undergoing overfishing species.

36
37 Even with parrotfish on St. Croix, we threw in an extra roughly
38 5 percent, because of their ecological importance above and
39 beyond. It's not just a matter of saying these guys are now
40 just like squirrelfish and they should be treated the same.

41
42 **JULIE NEER:** Okay. I just was wondering, because it seemed like
43 the council does have some flexibility to make that, to at least
44 have that discussion.

45
46 **BILL ARNOLD:** They have flexibility, absolutely.

47
48 **JULIE NEER:** They just have not had that discussion?

1
2 **BILL ARNOLD:** They have not had that discussion and in the host
3 of discussions that the council needs to have, you would have to
4 ask yourself, is that near the top of the list? Some of the
5 discussions are even more important.
6

7 **JULIE NEER:** I absolutely agree. I am just trying to understand
8 why it seems like the SSC is being asked to reconsider what they
9 did in the hopes to essentially get -- My take on it,
10 personally, is that the council is asking the SSC to revisit
11 what they did before, even the assessment they already looked at
12 once and approved, essentially, in hopes of getting potentially
13 a larger ABC, which, in theory, they could potentially get on
14 their own by reclassifying it and having the discussions on
15 their own.
16

17 Basically, there's two options available to the council,
18 potentially, that they could take. The SSC could increase the
19 ABC and the council doesn't have to change their buffer at all
20 or potentially the council could discuss changing their buffer
21 based on the SSC's new classification of these species.
22

23 **BILL ARNOLD:** Yes.
24

25 **JULIE NEER:** That's what I was just trying to wrap my head
26 around and I'm sure there's all these other things and it's not
27 as simple as yes, we'll just do it.
28

29 **MICHAEL SISSEWINE:** Given the magnitude of the problem, the 5
30 percent isn't what is needed. It's an order of magnitude bigger
31 issue. Following up on Berkson's concern, I guess I would stand
32 by the sort of summary I tried to describe before, but, again,
33 it was all contingent on that we believed the catch data and if
34 it's the will of the SSC, we could then say we don't have
35 anything -- The reason we didn't use this approach previously,
36 one of the main reasons, was we didn't believe the catch data
37 during that period or there were various reasons to have doubt
38 in it and nothing has changed in that regard and therefore, we
39 don't recommend any change in ABC.
40

41 By the way, even if we did, it wouldn't be very big anyway and
42 so it's -- Just as an aside, it wouldn't be a very big change
43 anyway. That's one way of both capturing sort of the most
44 informative scenario, but also still, given Todd's comment and
45 Jim's, still coming down in the same place and saying we don't
46 we have a basis by which we want to change our recommendation on
47 an ABC.
48

1 I am fine with either one of those outcomes. I don't think
2 either one of them is going to make much difference in terms of
3 what the council and the agency actually have to deal with in
4 terms of this problem.

5
6 **RICHARD APPELDOORN:** Can we just throw the problem to them? In
7 other words, we can say there's an option here, if you wanted to
8 do it, and that says from 2000 on, we don't seem to have a
9 problem with this probability and therefore, if we use the data
10 that that assessment was based on, this is what you would get as
11 your ABC. Whether they want to change it or not --

12
13 **BARBARA KOJIS:** We're responsible.

14
15 **JULIE NEER:** You're responsible for ABC.

16
17 **MICHAEL SISSENWINE:** I think we should be making the judgment of
18 whether we believe the catch data or not.

19
20 **RICHARD APPELDOORN:** What's the difference? It's the only data
21 we have.

22
23 **JULIE NEER:** Changing your initial ABC from the 1999 to 2005
24 years.

25
26 **RICHARD APPELDOORN:** We have a scientific basis for doing that.

27
28 **MICHAEL SISSENWINE:** Only if we believe the data. Only if we
29 think that 2006, 2007, and 2008 are representative.

30
31 **RICHARD APPELDOORN:** No, the reason for doing that is because we
32 have this curve that drops down in 2000 and flattens out, but
33 we're saying based on --

34
35 **TODD GEDAMKE:** Look up there and this is the key point of this.
36 In all the average landings discussions, if you don't have the
37 scientific information, some stability in your landings is
38 reflective that maybe the population size is not changing or the
39 fishing is not changing.

40
41 It's sort of a requirement, in some way, of using this average
42 landings approach and so this is the time period that was chosen
43 for silk and queen. It was zeros in the first four years. It
44 was a developing fishery and it reached this plateau and in the
45 most recent six or seven years, it's all over the place.

46
47 **RICHARD APPELDOORN:** Well, we have that one point that's -- The
48 really high point is under the green line.

1
2 **TODD GEDAMKE:** Yes, that's 2003 in here and then it's 2005.
3 This whole period here starts getting -- You're doing double
4 from this catch, over 2.3 times higher. As you extend into
5 here, you're going to get much more variability and I'm not
6 arguing for it or against it. That was just an initial
7 argument.

8
9 The reason I sent this to Meaghan too was we're looking at queen
10 because we've got an overage and so we're going to say, okay,
11 let's do this change of adding another couple of years in there.

12
13 You have the exact opposite trend in landings in silk and so
14 when you start doing the same tweaking in there, just because it
15 seems to me that we're here because the numbers exceeded what's
16 on the books and if we're going to do the same thing for here,
17 we're going to do the same thing for silk.

18
19 If anyone is looking at the end product rather than the
20 mechanism to get there, the result is going to be the inverse
21 for silk as it is for queen, if we use the same logic in
22 applying the analysis period.

23
24 **MICHAEL SISSENWINE:** That's the reason I described the system as
25 reverse feedback, because, in essence, it says we let silk go
26 extinct, but if things are getting better on queen, we crank
27 down on the fishermen. That's the way the system works.

28
29 **GRACIELA GARCIA-MOLINER:** In 2005, there was a seasonal closure
30 implemented for silk and not for queen and that's when you also
31 start seeing the changes in the queen. There is that case.

32
33 **TODD GEDAMKE:** That's why we didn't use the analysis for silk.
34 I am just trying to broaden it out from a specific number or a
35 specific species and go, okay, here's the procedure and here's
36 what we're looking at. I like the logic between making
37 consistency between the analysis period and your average
38 landings period.

39
40 As a broad brush stroke, you also have to be careful though that
41 you don't have these steep increases or these steep decreases
42 occurring at that time. Theoretically, with enough samples,
43 that mean length estimate will be predicting where that is
44 going, but you have to have large enough sample sizes in those
45 recent years to have any sort of trajectory and changes in mean
46 length and get a reasonable estimate of total mortality, because
47 it hasn't reached a new equilibrium.

48

1 **RICHARD APPELDOORN:** Can you put your other one back up?
2

3 **JULIE NEER:** Todd, just so I'm correct, the reason you would
4 have those two spikes is because you guys said we're doing 1999
5 to 2005 for all species, when you guys came up with your year
6 segment for -- You didn't go through species-by-species and it
7 was --
8

9 **TODD GEDAMKE:** It was those designated as undergoing and
10 overfished, which is the green line, which is our first cut at
11 everything, and this was everything else and this was just a
12 discussion of by using this, I and the Center had strong
13 concerns that you had just extreme residuals that were in
14 different directions for different species.
15

16 **RICHARD APPELDOORN:** Your green line is not the average, but
17 that's just showing the years?
18

19 **TODD GEDAMKE:** Yes, just the years.
20

21 **BILL ARNOLD:** There were reasons for each end of that spectrum.
22 The 1998 was a hurricane year and we chose not to use it. 2006
23 was the beginning of the SFA application and so we chose not to
24 go beyond that. That's why we picked that time period.
25

26 **RICHARD APPELDOORN:** One could argue that we're seeing the same
27 degree of variability now as we were during the time period,
28 because we had two really highs and four lows. It comes back,
29 as we said, to what do you believe.
30

31 **BILL ARNOLD:** There's room for belief in science.
32

33 **BARBARA KOJIS:** That's just through 2010 data. That doesn't
34 include 2011 and 2012, which is way up there as well. One is
35 around 220,000 and the other is above 300,000.
36

37 **BILL ARNOLD:** 2010 and 2011. We don't have 2012 yet.
38

39 **RICHARD APPELDOORN:** Let me throw out the theoretical question
40 here. Since we have more higher catches later on, if that is
41 showing an impact in the response to the length structure, so we
42 can say that F might be changing one way or the other, does that
43 get us any closer to actually setting an ABC?
44

45 **TODD GEDAMKE:** The beauty of queen snapper is that --
46

47 **RICHARD APPELDOORN:** If we double this and we say we double
48 fishing mortality, does that say that what is at least the

1 relative changes in catch are in fact reflective of mortality
2 and therefore, we can use that data to set something?

3
4 **TODD GEDAMKE:** If you believe that reporting behavior hasn't
5 changed, I guess, if I'm understanding that question right. The
6 beauty with queen, or the nice thing about queen, was there was
7 no fishery for it and so you're starting from a zero point and
8 then increasing or ramping your fishing mortality up.

9
10 By an increase in the most recent years, you're dealing with
11 increases in fishing mortality that are probably going to -- I
12 am hypothesizing, but they're going to really require relatively
13 large sample sizes just to get the resolution of increases at
14 those higher Fs. I could be wrong, because it's detecting the
15 early reductions, due to you're going to pull your largest,
16 biggest fish out quicker and you're going to be able to detect
17 that, but as we get into smaller and smaller shifts in a
18 truncated size structure, you're going to probably going to have
19 to have larger sample sizes.

20
21 Picking up those changes in the length structure as the fishing
22 intensity increases require more sampling and may be more
23 difficult to detect, but theoretically, yes.

24
25 **RICHARD APPELDOORN:** Generally speaking, the more difficult it
26 is to show a change in F, the more it indicates that you have a
27 problem?

28
29 **TODD GEDAMKE:** No. I think you're asking whether changes in the
30 length structure are going to reflect the changes that we're
31 observing in the landings.

32
33 **RICHARD APPELDOORN:** If this is a true reflection of fishing
34 effort.

35
36 **TODD GEDAMKE:** Right, but I think once you get up into these
37 higher levels with a reduction in population size, we may have a
38 harder time detecting it without larger sample sizes. I'm not
39 sure it's going to be reflected as much as we would like to see
40 it and that would make it cleaner and as easy. I don't know if
41 that makes sense.

42
43 **JULIE NEER:** You mean as opposed to the clear trend that you saw
44 in 1999.

45
46 **TODD GEDAMKE:** Right. We had a very clear drop and you can see
47 it in the landings and you can see it and boom, you're done.
48 That clearly was a change and the length model worked very well

1 detecting that.
2
3 You had a drop in those early mean lengths down in there and to
4 get out of that cluster at the bottom, I'm not sure you would be
5 talking about continued reductions. At this point, I don't know
6 what this goes up to, but if this continues down to here, you're
7 going to have a second change and a second drop, but mostly what
8 I think we're seeing there is an increase in those highly
9 variable numbers occurring right in here, in 2000.
10
11 **BARBARA KOJIS:** We should have TIP data for 2009, 2010, and
12 2011, shouldn't we?
13
14 **MEAGHAN BRYAN:** There are no samples, at least when we were
15 putting this together.
16
17 **GRACIELA GARCIA-MOLINER:** The samples are at the Southeast
18 Fisheries Science Center. That's why I am asking to check for
19 the -- If there have been samples that have not been sent to the
20 Science Center.
21
22 **MEAGHAN BRYAN:** I need to find this, but I am pretty sure it was
23 zero.
24
25 **JULIE NEER:** It was zero, but whether there was --
26
27 **MEAGHAN BRYAN:** At that point, if there was any question about
28 whether or not there were lengths for -- It would be 2011 and
29 not 2010 and 2009. I have 2008 is the last year that there were
30 any length samples from TIP in Puerto Rico for queen snapper.
31
32 **BARBARA KOJIS:** That's based on the work that you did a couple
33 of years ago, right?
34
35 **TODD GEDAMKE:** I don't remember.
36
37 **JULIE NEER:** The assessment was done in 2009.
38
39 **BARBARA KOJIS:** So you wouldn't expect it then, but --
40
41 **JULIE NEER:** The assessment was done in 2010 and 2011. We
42 finished in 2011.
43
44 **GRACIELA GARCIA-MOLINER:** The issue is that there might be
45 samples sitting somewhere that have not been uploaded. There
46 were dramatic changes in the number of people that left the lab
47 and things like that and so there might be data that have never
48 been scoped and I'm taking notes to find out, because I'm

1 surprised that there are no TIP data for queen snapper and it's
2 an easy target.
3
4 **BARBARA KOJIS:** That looks like it's -- Those are crucial years,
5 because the last year that you've got data for indicates a drop
6 in the size of the fish and so you need to see whether that drop
7 continues or that's just associated with one off year with
8 sampling or what have you.
9
10 **GRACIELA GARCIA-MOLINER:** Especially because those were the
11 years of the catch shares and everything else and we had sampled
12 that fishery over the time and so that's one of the reasons --
13
14 **TODD GEDAMKE:** I know that there was reductions in people and
15 then there was a backlog in entering. When we were doing the
16 assessment, there was nothing there and I don't know if it's
17 happened to have changed in the last year.
18
19 **GRACIELA GARCIA-MOLINER:** No, there are less people there.
20
21 **JULIE NEER:** There was also that issue of the guys who were
22 going close to this house and he wasn't going -- I remember the
23 discussion where the sample was only -- They didn't have any
24 east coast samplers and they only had west coast samplers or
25 vice versa and so they weren't getting any --
26
27 **TODD GEDAMKE:** It was silk. I was able to detect when someone
28 got fired in that organization in Puerto Rico in the data,
29 because so many samples dropped out.
30
31 **BARBARA KOJIS:** But at the same time, they're getting funding to
32 do this.
33
34 **GRACIELA GARCIA-MOLINER:** That has been dramatically reduced.
35
36 **BARBARA KOJIS:** The funding to do this has been dramatically
37 reduced? Why?
38
39 **GRACIELA GARCIA-MOLINER:** The local government picked up a lot
40 of the people's salaries for the Fisheries Lab and that amount
41 that comes in from NMFS has been decreasing over the years.
42
43 **BARBARA KOJIS:** Okay, because I know the amount from NMFS
44 increased in the Virgin Islands.
45
46 **GRACIELA GARCIA-MOLINER:** And you have no people to do the work.
47
48 **BARBARA KOJIS:** Because it had been stable for years, but in

1 essence, it had decreased, because, of course, salaries have
2 gone up and everything else and after ten years of the same
3 funding, you can't employ people -- Where you could employ two
4 or three people on the amount, you only could employ and so it
5 was like crazy, but we ended up with more funding for it and
6 then you got state and federal and you've got IJ that was used
7 for this.

8
9 I don't know if -- Puerto Rico is bigger and so you may not
10 have. The other aspect of it might be -- I guess you need the
11 fishermen reporting, but I was just thinking maybe all you need
12 is the TIP samples.

13
14 **GRACIELA GARCIA-MOLINER:** One of the issues that has been
15 discussed is that we need that kind of information and so there
16 is this break in the information that has been collected and
17 it's hugely important that that be brought up to the council. I
18 am surprised that that break came at that time.

19
20 One of the recommendations that you've made at the beginning of
21 the meeting to look into the reporting issues and the
22 information on the history of the fishermen that have been
23 involved in these fisheries, et cetera, I don't know if you are
24 making that by consensus, but those are in my notes. I think
25 something like this that changes so dramatically, data
26 collection for the length frequency data, is not acceptable.

27
28 **BARBARA KOJIS:** I suppose one of the other things that we
29 addressed is whether this methodology would be useful for other
30 species, for utilizing with other species, to use the same
31 technique for adjusting our recommendation for OFL and ABC.

32
33 **JULIE NEER:** So you are adjusting this one to use the new years?
34 Is that what the group decided? I didn't get this decision yet.

35
36 **BARBARA KOJIS:** No, we haven't, really. Why don't we discuss
37 that then? Is there a consensus on what we should do?

38
39 **GRACIELA GARCIA-MOLINER:** You have a continuation on this topic
40 for tomorrow.

41
42 **MICHAEL SISSEWINE:** I think the decision is one of two things.
43 First, I thought we had a consensus about sort of a description
44 of where we are in the analysis and what we know and what we
45 don't know and if one believes the catch data, then the logic is
46 to use the catch data that fits with the model analysis, but we
47 can either say and that's what we recommend or we can say there
48 were doubts about the catch data when this was done in whatever

1 date that -- Whatever SSC meeting it was and there's no reason -
2 - We have nothing to change our concerns on that and therefore,
3 we don't recommend a change in ABC.

4
5 The footnote is, in either case, it's not going to change things
6 by very much and I can move with either one of those. I don't
7 have a strong feeling like Jim indicated that he would rather
8 not change and I think I heard that from Todd. It's fine with
9 me and either one of those inclusions I think is equally
10 defensible. Since it doesn't matter that much, I won't get too
11 concerned either way.

12
13 **JULIE NEER:** If you don't give the council a clear direction,
14 they're going to come back and ask you to clarify that you need
15 to change it or --

16
17 **MICHAEL SISSENWINE:** No, I think we should say whether we do or
18 we don't. Personally, I can move with either one, because I
19 don't have any strong judgment about it. It's partially because
20 my strong judgment is the quality of the catch data is it sucks,
21 but it really doesn't matter, since we're using it to make
22 judgments using equally sucky catch data. The whole thing is
23 really a bunch of hand waving, in the end of the day.

24
25 **BARBARA KOJIS:** Is the 2006 to 2008 catch data any different in
26 terms of its reliability than the 1999 to 2005? That's really
27 almost what you're saying and if you're saying we did come up
28 with an ABC based on average catch in these particular years,
29 adding these three more years --

30
31 **MICHAEL SISSENWINE:** We concluded a couple of years ago that
32 2006, 2007, and 2008 were less reliable than prior to that, for
33 some reason, and we can either stand by that or not and that's
34 sort of the bottom line.

35
36 **BARBARA KOJIS:** That's true.

37
38 **MICHAEL SISSENWINE:** I guess it appears that maybe it's three
39 members that have said they would prefer to stand by what we
40 concluded a couple of years ago.

41
42 **TODD GEDAMKE:** Mike got me staring at the ceiling, because I
43 really like the idea of having it consistent. I like the idea
44 of doing that. Yet, at the same time, I am wavering on changing
45 things without any really new, solid information. That's a
46 logical piece that if I trusted the information in both time
47 periods, I think I would feel much stronger about it, but I'm
48 not sure I am wholly -- I don't feel extremely strong about it

1 either way.

2
3 If I were to have to go one way or the other, I would say let's
4 just keep it the way it is and make the statement that it
5 doesn't really change anything if we modify them, but it should
6 be carefully looked at, a corresponding mean length analysis
7 with the landings, and strong recommendations to revisit the
8 landings and get some sort of validation.

9
10 **RICHARD APPELDOORN:** I would add, based on the analysis that
11 Meaghan presented today that showed the range of wherever you
12 might be based on the sole range of variability in the
13 parameters, that the analysis that was originally done shows,
14 while there isn't strong evidence for overfishing, there is
15 still a reasonable probability that overfishing might be
16 occurring.

17
18 Therefore, where we set the ABC is probably about where we want
19 to be, being somewhat cautious, and that if these new catches
20 are really real, that would be an argument to be very concerned
21 about them.

22
23 **MICHAEL SISSENWINE:** Or an argument that the stock has increased
24 substantially, either one of which, to me, is equally plausible.

25
26 **RICHARD APPELDOORN:** Right and so that falls out and there's
27 three recommendations that kind of leads to. Look at the length
28 frequency for the most recent years and we need to check on what
29 the catch records are really reflecting as to the way that we
30 had talked about before, and we need a recommendation that the
31 otolith data, which already exists, or otoliths that already
32 exist, could be given some priority to be processed.

33
34 **BARBARA KOJIS:** Any other comments? Is this our consensus then?
35 Would you just look through those three things, Richard?

36
37 **RICHARD APPELDOORN:** The recommendations?

38
39 **BARBARA KOJIS:** Yes.

40
41 **RICHARD APPELDOORN:** About what needs to be done?

42
43 **BARBARA KOJIS:** Yes.

44
45 **RICHARD APPELDOORN:** We need to relook at the assessment with
46 the most recent length frequency information, we need to assess
47 the recorded data to see if we're really looking at a reporting
48 problem or a catch problem, and we need to recommend that

1 priority be given to analyzing the existing otoliths so that we
2 can get clearer confidence on the life history parameters.
3
4 **JULIE NEER:** So, given that one of your recommendations was to
5 basically redo this assessment again, is this a higher priority
6 for you guys versus getting additional -- Moving forward with
7 new species? That's always the tradeoff.
8
9 **MICHAEL SISSENWINE:** Addressing you in the context of your SEDAR
10 hat?
11
12 **JULIE NEER:** Yes, that's the SEDAR hat.
13
14 **MICHAEL SISSENWINE:** One of the issues has always been does it
15 take a SEDAR for every update and, of course, the intent is that
16 the SEDAR does benchmarks and then there be updates and I have
17 gone through this discussion with Clay and he said, yes, that's
18 the intent, but every time we try to do that, somebody says
19 there's something wrong with the methodology and we end up with
20 a benchmark. What if we say there isn't anything wrong with the
21 benchmark and do an update?
22
23 **JULIE NEER:** This is a perfect example of a case to do an update
24 and that's fine, but it's still a slot on the schedule. It's
25 still a person who will not be available to do a benchmark for
26 another species.
27
28 **TODD GEDAMKE:** I was just going to say that adding two years of
29 information in a clean, data-rich fishery is no problem. Adding
30 two years of information in these fisheries and quality control
31 and so on is just very time consuming.
32
33 Don't underestimate saying you know what, we just want you to
34 add those two years of information. I think that first go-
35 around to add those will probably end up taking a week of
36 someone's time just doing a revisit on that.
37
38 **MICHAEL SISSENWINE:** But it's still not a SEDAR.
39
40 **RICHARD APPELDOORN:** That's still not a SEDAR.
41
42 **JULIE NEER:** But it's still a person and a slot.
43
44 **TODD GEDAMKE:** I am just saying getting that loaded up and
45 cleaned up and even running is going to be a week and all in
46 all, it's going to end up being a month of somebody's time, just
47 to do some plots.
48

1 **JULIE NEER:** Currently, when it comes to assigning slots and the
2 way that it's currently working in terms of it's one analyst is
3 essentially one -- It's mostly one project. If they're assigned
4 to do this, then what's they're going to do and so that's why I
5 am just asking in terms of priorities.

6
7 When you guys make your priorities to the council, is this a
8 higher priority versus -- We're doing red hind this year, but
9 perhaps whatever is on the schedule for next year, is this a
10 higher priority than that? I don't know if you've had those
11 discussions or when you're going to have those discussions, but
12 it's just something to think in your brain.

13
14 I don't think you should change this recommendation, but just in
15 the bigger picture, keep that in kind of your mind, because a
16 lot of times the council gets the SSC wants this, this, this,
17 this, and this and they never prioritize it and it makes it
18 difficult.

19
20 **MICHAEL SISSEWINE:** To be fair, there's no way this SSC can
21 answer that question unless there are dedicated resources on a
22 council-by-council, SSC-by-SSC basis, which there are not. It
23 can't be a question answered by any single council in the
24 Southeast or any single SSC, because the resources are not
25 dedicated.

26
27 **JULIE NEER:** Within your species, which species in the Caribbean
28 do you want to see assessed next? That's what I'm talking about
29 in terms of your recommendations.

30
31 **BILL ARNOLD:** The discussion for the next SEDAR was it's now
32 scheduled for red hind and white grunt, right?

33
34 **JULIE NEER:** We are doing red hind.

35
36 **BILL ARNOLD:** Just red hind and so the idea was, the discussion
37 was, instead of doing white grunt, you do a data review or
38 whatever review of this potentially new method that the Science
39 Center had come up with.

40
41 Now, this is a Bonnie and Roy discussion and that's what they
42 have said, is we take white grunt out of the circuit and we put
43 this reevaluation in there and so is that --

44
45 **JULIE NEER:** This just happened for queen already.

46
47 **BILL ARNOLD:** I am talking about for everything. The idea was
48 we come to this SSC meeting and we review the new method with

1 respect to queen, but then we go to that SEDAR meeting and
2 review it with respect to this being a new approach for doing
3 assessments of Caribbean species.

4
5 **JULIE NEER:** Currently, anything regarding this reevaluation
6 data-poor whatever thing, none of the details have been
7 communicated to us at all at any level. We don't know if it's
8 happening or if that's happening, how it's being done or who is
9 even running it. The only thing with SEDAR is red hind is on
10 and white grunt is off.

11
12 There are discussions of that and we have heard discussion of
13 this data-poor thing and we also heard we're swapping white
14 grunt to do this and we've also heard we're still talking
15 lobster next year and red hind doesn't even start until October
16 of this year and so there's no way this data-poor workshop thing
17 is happening this year, even though Bonnie said it was going to
18 happen in 2013.

19
20 To the council, it's not going to happen in 2013. It's probably
21 going to be 2014 and so we're still working out all of those
22 details.

23
24 **MICHAEL SISSENWINE:** This is proving my point that we can't
25 legitimately be asked to give you priorities.

26
27 **JULIE NEER:** The thought is that it will come to the SSC asking
28 you guys which species you would like to see handled during that
29 approach, but it has not happened yet.

30
31 **GRACIELA GARCIA-MOLINER:** But do we have to send to the SSC an
32 inventory of the otoliths available and the information that
33 they're collecting on the different species and the priorities
34 for the people who are actually doing that work, because they
35 have the money to do it? It's not fair to ask the SSC to talk
36 about any species in particular and so the inventory is being
37 made.

38
39 The local government will provide, hopefully, a list of the
40 species that they have in their priority list for whatever. We
41 will try to convince them to make sure that they collect
42 otoliths at the same time that they're doing everything else and
43 so as soon as we have that, then we can send it to you guys.

44
45 **JULIE NEER:** Yes, as we move forward.

46
47 **GRACIELA GARCIA-MOLINER:** Along with the inventory from the
48 Science Center regarding the TIP data. How many individuals per

1 species do we have available? That will be like an update on
2 the data workshop that we had before, but not until we have all
3 those pieces together.

4
5 **JULIE NEER:** Right and then it will come to you guys and that's
6 what I'm saying, is that's when your priorities of what you
7 would like to see done when.

8
9 **RICHARD APPELDOORN:** So there's a package here. If we just want
10 to look at the length frequencies and see what is happening, we
11 plug them into the same analysis that was done before and we're
12 not changing methodologies or anything like that. That's a much
13 simpler process, albeit it's going to be somebody's time for a
14 month or more, whatever it is, but it's not a full-blown --
15 We're not asking for that.

16
17 There is the other side of this, however, that says if the
18 otoliths get processed, maybe at that point we need to relook at
19 it or is it just the same process and we just refine that with
20 the life history parameters that are based on the analysis and
21 go forward? I don't know where you cross the line and say this
22 now requires a whole new thing.

23
24 **TODD GEDAMKE:** Plugging in the new life history parameters
25 introduce change to your input parameters, but what I'm hearing
26 here, and I think we're skirting somewhat the question, which is
27 the methodology.

28
29 **RICHARD APPELDOORN:** I am happy with the methodology.

30
31 **TODD GEDAMKE:** Given a K and an L infinity, Richard, you're
32 happy with using the various life history invariants to come up
33 with --

34
35 **RICHARD APPELDOORN:** I think that's what we have to work with in
36 that case and I'm happy with it.

37
38 **TODD GEDAMKE:** That's what I threw out early on too and I just
39 want to make sure everyone is clear with that, because when you
40 look at an image that shows a distribution, that's the summary
41 slide that's going to be put in front of the council and we're
42 the ones that are responsible for making sure that methodology
43 for getting that slide up there is valid and any caveats that
44 are necessary are included. I just think that we should have at
45 least some discussion.

46
47 **MEAGHAN BRYAN:** Are you referring to the F to F reference
48 points?

1
2 **TODD GEDAMKE:** Yes, the reference points.
3
4 **MEAGHAN BRYAN:** A decision would need to be made which reference
5 point seems to be more appropriate. I presented three.
6
7 **TODD GEDAMKE:** I don't think we're picking it. I think right
8 now it's just the -- Picking which reference point, which of
9 those three, is fine, but to get there, to even get -- How do
10 you get M?
11
12 All of the steps to get to that final plot on that and so
13 choosing which one is most appropriate is going to probably be
14 done on a species-specific basis, looking at the results, but
15 the overall approach, and I think Bill said it, we should be
16 able to cookie-cutter this out and bang it out one after the
17 other and if that process starts, it's not going to stop.
18
19 I think it's important for us to just weigh in on whether anyone
20 has any serious concerns throughout it or any suggestions for
21 improvement or caveats that need to be thought of. I didn't put
22 it forward initially, because I wasn't going to be the one to
23 stand behind some of those ratios that are all interconnected to
24 K.
25
26 I don't know what bias an M estimate from K is versus, again, to
27 the FMSY estimate. I haven't read anything that would give me
28 some indication as to how using three different life history
29 invariant relationships ends up producing the final product.
30
31 **MEAGHAN BRYAN:** They're all pretty similar in terms of natural
32 mortality.
33
34 **RICHARD APPELDOORN:** In terms of priority, I am not sure if the
35 way we are discussing it here is the way you're thinking about
36 it. I think what's a priority is going to come back to the
37 council, because they're going to look at this from a problem of
38 what do we do about it and is it real or not.
39
40 We're going to say, okay, we're not really changing our
41 assessment about what's going on and if they want to have -- If
42 this is a real problem for them and they think this new
43 assessment will help, they're going to make it a priority.
44
45 It's a management concern about which one do they want to deal
46 with and not a scientific concern, to me. At least that's how
47 I'm viewing it. Our recommendations about this is what you need
48 to do is this is what you need to do if you want to update this.

1 If it's really not that much of a problem for you, let's work on
2 something else.

3
4 **JULIE NEER:** I think that's an excellent way to put it, is these
5 are the things we would like to see for us to address this. I
6 think that's the best way to put that to the council and just
7 get these new pieces of information.

8
9 **BARBARA KOJIS:** The other thing that we need to look at maybe is
10 why we didn't include the 2006 to 2008 data in the original and
11 what was our rationale for doing that.

12
13 I think that it could have had to do with the way that the
14 expansion factors were changing, the way they calculated those,
15 but I would like to see that with respect to -- So that we just
16 go over that again, because it was true for all the data, I
17 believe, that we just used 1999 to 2005 and so the purpose of
18 this, in part, at least from the Southeast Fisheries Science
19 Center rationale, was to see if we couldn't use this methodology
20 and if we approve it, to some way modify the way we were
21 calculating ABC or the number of years or whatever.

22
23 **GRACIELA GARCIA-MOLINER:** In 2005, when we have such an already
24 changing management, that really stopped anyone from looking for
25 it. You do have that information and the idea is to see if from
26 the length information, away from the landings data or impacted
27 by the seasonal closures, et cetera, you still get information
28 that can give you an indication of the stock status.

29
30 We do have 2006, 2007, and 2008. I am going to check on the
31 2009, 2010, and 2011, at least for the queen, but you do have
32 that TIP data.

33
34 **BILL ARNOLD:** Also, it's not exactly apples to apples, but we
35 used 2006, 2007, and 2008 in Puerto Rico and 2009 for the 2011
36 species. I guess we got over it.

37
38 **GRACIELA GARCIA-MOLINER:** That's not exactly -- They were not
39 impacted by any of the big regulations that came into place in
40 2005 directly.

41
42 **BARBARA KOJIS:** But the queen snapper wasn't affected, was it?

43
44 **GRACIELA GARCIA-MOLINER:** It was with the 2010 species that were
45 undergoing overfishing.

46
47 **BARBARA KOJIS:** It was put in with those, but the seasonal
48 closures and stuff like that didn't affect queen snapper and

1 that was one of the reasons for that snapper group. Maybe the
2 data still going through 2008 would be not applicable. The
3 problems that we saw in the data wouldn't be applicable to the
4 queen and cardinal snapper.

5
6 I would just like to go and see if we can pull out what we said
7 on that with respect to that, because if the way those expansion
8 factors were calculated was the reason, then that really hasn't
9 changed.

10

11 **TODD GEDAMKE:** What's the objective of revisiting that?

12

13 **BARBARA KOJIS:** We haven't come to a conclusion of whether we're
14 going to change our ABC recommendation.

15

16 **JULIE NEER:** I thought the group said that they were changing
17 it.

18

19 **BARBARA KOJIS:** A number of people have said that, but I don't
20 think we've set a consensus yet on that, because the other thing
21 is if you're not changing it, because you're not convinced
22 what's the rationale for not changing it, you're not convinced
23 that the data is valid data, and I think the comment was 2006 to
24 2008 data, we had omitted it in the past and so why are we
25 including it now?

26

27 The other aspect of it is that would then apply to all these
28 other species, if that's what we did with all these other
29 species.

30

31 **RICHARD APPELDOORN:** The rationale is that currently it says we
32 think mortality, the size structure, has been stable during that
33 time period for this species and not for every other thing.
34 There's no basis for changing anything else.

35

36 **BARBARA KOJIS:** No, I realize that. I realize that, but in the
37 future, how will we use this? If we say that this particular
38 technique could be used for other species and so on, then how do
39 we use it to, in some way, shape, or form, to inform the whole
40 system, which is like informing OFL or ABC.

41

42 **RICHARD APPELDOORN:** That's what assessments are supposed to do.

43

44 **BARBARA KOJIS:** That's right and we had a recommendation here
45 that Mike made. He said he could go either way, that we use
46 this because overfishing was not occurring or there's no
47 evidence of overfishing between the period of time that we
48 looked at from 2000 to 2008. One of the recommendations was

1 possibly to look at and include the 2000 to 2008 landings data
2 in developing the new ABC.
3
4 **RICHARD APPELDOORN:** But we're not making that recommendation.
5
6 **BARBARA KOJIS:** Okay and is that going -- In essence, when we do
7 the analysis for other species, that would be the same
8 recommendation? What's the reason for not making that
9 recommendation?
10
11 **RICHARD APPELDOORN:** Uncertainty in what the catch levels
12 actually are and it doesn't really change things that much.
13 Until we deal with the uncertainty in the catch levels, it
14 doesn't really make sense to mess with everything else.
15
16 If we have some assessment that says some of our assumptions
17 before were wrong and there's room to expand, then that's what
18 the assessment says. If it says the opposite, it says the
19 opposite, but we still have that problem that Mike was talking
20 about as far as feedback, where that shelf was -- Exactly what
21 he was talking about relative to the queen.
22
23 **MICHAEL SISSEWINE:** That's just built into the way we're trying
24 to use this sort of data to manage in the way that we're trying
25 to manage.
26
27 **BARBARA KOJIS:** This is really not -- While this can indicate
28 whether a species is undergoing overfishing or not, it's really
29 not useful information -- We can't use the information to modify
30 ABC.
31
32 **RICHARD APPELDOORN:** Not without some confidence in the catch
33 report.
34
35 **BARBARA KOJIS:** That confidence will only come with validation
36 of the landings, probably only from the validation of the
37 landings data or some sort of validation.
38
39 **RICHARD APPELDOORN:** The only thing we can really kind of try to
40 assess is whether the behavior for reporting has changed. Is
41 that correct? If we don't see anything that suggests the
42 reporting behavior has changed, then we have to start arguing
43 whether this is real.
44
45 **JULIE NEER:** If you get life history information, then your
46 confidence might be higher in the conclusions that come out of
47 the assessment such as this, because you won't have that range.
48 Then you may feel more comfortable about changing your ABCs as

1 well if you have more confidence in the --
2
3 **RICHARD APPELDOORN:** Or more comfortable about not changing
4 them.
5
6 **JULIE NEER:** Or not changing them. You will have more comfort
7 in whatever your decision is and so I don't think you can
8 necessarily say that this is not necessarily useful for making
9 your changes, because I think you guys have been -- You were
10 happy with trying to move forward with this for other species,
11 but in this case, you're not going to make a change to your ABC
12 recommendations at this point or are you saying we shouldn't
13 bother to do this for anything?
14
15 **TODD GEDAMKE:** Which question are we addressing right now?
16
17 **JULIE NEER:** Barbara just said, so this method is not useful for
18 having us change our ABC and so I want clarification of what
19 exactly you guys are recommending.
20
21 **TODD GEDAMKE:** For queen?
22
23 **JULIE NEER:** No, for the methodology. It sounds like you're not
24 recommending a change for queen, but then Barbara said so this
25 methodology is not useful for making a change to our
26 recommendations and so do you just mean for queen or do you mean
27 the methodology in general?
28
29 **TODD GEDAMKE:** I think the methodology, in this case, is the
30 best thing you are going to do with the information that's
31 available, period. I don't think there's anything else out
32 there. I think that we have milked this as much as we possibly
33 can.
34
35 If I am in the manager seat and I am looking at every life
36 history invariant relationship being used and rules of thumb
37 being used, I am going to see that as potentially very risk
38 prone and I'm going to make conservative calls on where I go
39 with the fishery and I'm going to make very strong
40 recommendations about better data being collected and better
41 information to be collected.
42
43 I just don't want that step to get missed in our recommendations
44 up to the council, because I think that there is just -- Doing
45 this in a quantitative or semi-quantitative way, that's what we
46 need to do, but it turns into a risk, in my mind, as you pass
47 this stuff forward and I have a hard time figuring out how to
48 present the information in a way that really captures the first

1 paragraph of the methodology, which says we assume -- Then it
2 goes blank. I think it's the best thing in town, the best game
3 in town.

4
5 **BARBARA KOJIS:** My concern is, because I've been to the council
6 meetings and I know Bonnie anticipates that there could be a
7 possibility that we might be able to change, using this
8 methodology, to increase the ABC so that the queen snapper
9 fishery does not have to close on September 21.

10
11 That's where I am coming from with respect to this and I'm not
12 saying that we need to do that, make the changes and stuff, but
13 I'm just saying that if we're not doing it -- If we don't do it
14 for this species in this particular case and we have these
15 concerns about the landings data, we need to present all of
16 these concerns in all of this, but it also indicates to me that
17 this would not be -- You would not be able to use this, at this
18 stage anyway, with the information that's available, probably
19 for most of the other species, to modify ABC for those as well,
20 because the landings data for the other species is probably not
21 in any better shape than the landings data for the queen
22 snapper. We would be not any more confident of that, that
23 landings data, and so that's what --

24
25 **JORGE GARCIA-SAIS:** Barbara, it doesn't matter what we do.
26 There is no way of stopping the fishery from closing, because
27 the overage is way above whatever other consideration that we
28 can fix considering other sets of years.

29
30 **WALTER KEITHLY:** That is not true.

31
32 **JORGE GARCIA-SAIS:** No? What about the 300,000 pounds? What do
33 you do with that?

34
35 **WALTER KEITHLY:** It states right here that the AM is triggered
36 unless NMFS Southeast Fisheries Science Center, in consultation
37 with the council and its Scientific and Statistical Committee,
38 determines that the overage occurred because data collection and
39 monitoring improved, rather than because catches actually
40 increased.

41
42 We've been talking about that and I don't know if we want to
43 call it a data improvement, but we've been talking all day about
44 potential problems with the catch data the last couple of years
45 and if anything, I think we ought to simply make a
46 recommendation to the council that the use of caution before
47 putting any addition restrictions on the catch, for the reasons
48 that we've been talking about, that they thought they might put

1 in an IFQ program in 2010 and because the fishermen may have
2 increased their reported landings that changed from the
3 recreational and put them in the commercial sector and so forth.

4
5 **JORGE GARCIA-SAIS:** We use that before we use anything else
6 then. We always use that statement to cancel any action.

7
8 **WALTER KEITHLY:** Not always. In this case, I think there's a
9 valid reason for doing so. I am totally opposed to doing this,
10 but I -- I know that any time you start talking about
11 implementing an IFQ that there becomes a strong incentive for
12 fishermen in the program to change their reporting system, given
13 that their initial share usually is based on their individual
14 historical landings.

15
16 I think that's, at least to some extent, what happened. I am
17 confident that landings did not increase by 90 percent, or
18 relatively confident, in a one-year period. The only reason I
19 think that could have happened is if the recession, that I know
20 Puerto Rico had earlier, ending dramatically in 2010 and tourism
21 came back in, thereby increasing the demand for some of these
22 snapper species.

23
24 If there's a significant increase in demand very rapidly, then I
25 could see increased catches and I'm not sure about a 90 percent
26 increase in the catch, but overall, I think most of the evidence
27 leads to the fact that there's some change in the reporting
28 system.

29
30 **JORGE GARCIA-SAIS:** There would be a -- The fact is that it went
31 up and then it went down again and what happened? Did they
32 change again the philosophy of reporting from one year to the
33 other? It's hard to swallow that.

34
35 **BILL ARNOLD:** Yes, Reni, that's what they've done. It's not
36 just the IFQ program and it's not just Puerto Rico. Ever since
37 -- My understanding is ever since the SFA came along, these
38 fishermen have been gauging their landings, one way or the
39 other, trying to predict and manipulate outcomes and they're
40 still doing it.

41
42 **JORGE GARCIA-SAIS:** And it changed between 2010 and 2011? They
43 changed between 2009 and 2010 and then they changed their minds
44 again and said, okay, we're going back to the non-reporting.

45
46 **BILL ARNOLD:** IFQ mean more and ACLs mean less.

47
48 **TODD GEDAMKE:** Where are we going with this?

1
2 **BARBARA KOJIS:** That's another recommendation, I would assume,
3 to the council, and so we need to --
4
5 **MICHAEL SISSENWINE:** There are two different things that are
6 being discussed here then. One is does this assessment tell us
7 anything different from what we knew before and so on and I
8 think we've already thrashed that around and you could interpret
9 it -- You could either say, okay, let's revisit our ACL or ABC
10 or not and it doesn't make much difference.
11
12 The other issue though is should we say something that would
13 essentially let the fishery off the hook by invoking this clause
14 that the catch data has changed and that is what you just read,
15 Walter.
16
17 **WALTER KEITHLY:** I did not say let the fishery off the hook. I
18 think an additional analysis should be conducted before the
19 council takes action.
20
21 **MICHAEL SISSENWINE:** I'm going to come to the same conclusion,
22 because what you just read said that the impetus to lead that
23 decision comes from the Southeast Fisheries Science Center in
24 consultation with us, with us commenting or verifying or
25 whatever. I am waiting to hear whether the Center believes that
26 this provision should take effect and therefore --
27
28 **BILL ARNOLD:** They already did that.
29
30 **MICHAEL SISSENWINE:** What did they say?
31
32 **BILL ARNOLD:** They applied to two of the overage fisheries, but
33 not to these.
34
35 **MICHAEL SISSENWINE:** So they didn't believe it applied to --
36
37 **BILL ARNOLD:** They made the determination that this was not due
38 to changes in reporting.
39
40 **MICHAEL SISSENWINE:** So why would we believe any differently?
41
42 **BILL ARNOLD:** I believe it's going to be an uphill battle to
43 convince them that you've changed your minds.
44
45 **RICHARD APPELDOORN:** We haven't changed our minds.
46
47 **JORGE GARCIA-SAIS:** It's not a pattern. It's just up and down
48 and up and down and are they getting together to say this year

1 there's no reporting and next year, there's reporting and next
2 year, we will not be reporting again. Either you see a pattern
3 of behavior or you don't and it's pretty obvious.

4
5 **BILL ARNOLD:** The thing in that regard, Reni, is that the
6 pattern you see in queen snapper off the west coast of Puerto
7 Rico is not much different from the patterns you see for all of
8 these fisheries on all of these islands, for whatever reason.

9
10 You could invoke this for everything and say it's not just due
11 to the Science Center's determination as to whether the
12 reporting has changed or not, but it's now due to any oddities
13 in the landings patterns that could be invoked and if you go
14 that route, which isn't what this meant at all, then you apply
15 it to all of them and we don't apply AMs to anything.

16
17 **JORGE GARCIA-SAIS:** Well then why believe any data at all?

18
19 **BILL ARNOLD:** In the 2011, you didn't.

20
21 **JORGE GARCIA-SAIS:** I am referring to the period we selected to
22 determine the ACL and the ABC.

23
24 **BILL ARNOLD:** In your 2011 decision, you decided not to leave
25 data out, except for 1984 to 1987 in Puerto Rico. Otherwise,
26 you pretty much included everything, everything that we could
27 legitimately include in setting ACLs was included for the 2011
28 species, partially because, as Graciela said, the 2005 SFA
29 impacts did not directly apply to those 2011 species.

30
31 Nevertheless, the argument was, the one that drove Jorge off of
32 this SSC, was use all the data and in 2011, basically we used
33 all the data. You can come back and say, look, we're going to
34 use all the data and we're going to apply the ORCS and we're
35 going to do exactly what we did in 2011 and you can reassess
36 everything based upon the most recent status of ORCS and come in
37 with 1.5 or whatever you want and change this whole thing in a
38 matter of tomorrow, if you wanted to.

39
40 **BARBARA KOJIS:** If you had a rationale for doing that.

41
42 **BILL ARNOLD:** You could use your 2011 rationale and just say
43 here's our 2011 rationale and boom, right on top of 2010
44 species, because it's all laid out.

45
46 **JORGE GARCIA-SAIS:** Bill, could you predict what would happen in
47 2012 based on that, on your knowledge of the fishermen reporting
48 or not reporting? Could you anticipate what would be in 2012?

1
2 **BILL ARNOLD:** You mean the landings in 2012?
3
4 **JORGE GARCIA-SAIS:** Yes and would it be up or would it be down?
5
6 **BILL ARNOLD:** That's got nothing to do with --
7
8 **JORGE GARCIA-SAIS:** We don't even know what's going on.
9
10 **BARBARA KOJIS:** Why don't we take a little break? We're getting
11 close to the end anyway, but let's take a little break.
12
13 (Whereupon, a brief recess was taken.)
14
15 **BARBARA KOJIS:** The meeting is reconvening again at about 4:20.
16 Iris gave this to me to remind everybody that tomorrow the
17 meeting here starts at 8:30 and so don't forget. Walter, do you
18 want to continue with your discussion with respect to the
19 reporting?
20
21 **WALTER KEITHLY:** I am really done with my discussion.
22
23 **BARBARA KOJIS:** Does anyone want to make a comment? Walter was
24 discussing the caveat in the Federal Register regarding
25 implementing accountability measures or not implementing
26 accountability measures if fishermen are increasing their
27 reporting.
28
29 **RICHARD APPELDOORN:** I have a question. I understood what
30 Walter's point was and I don't know whether you were making that
31 as a recommendation for our report or as just a statement that
32 that's --
33
34 **WALTER KEITHLY:** I did not make it as a recommendation, but I
35 just think that's a direction that the SSC may move in now.
36
37 **RICHARD APPELDOORN:** You're putting it out for us to consider.
38
39 **WALTER KEITHLY:** Yes.
40
41 **BARBARA KOJIS:** Meaghan, could you put the years again for
42 landings data, that little table, up on the screen?
43
44 **MEAGHAN BRYAN:** Yes, but I just need to get the control.
45
46 **BARBARA KOJIS:** Those are the landings data and the
47 accountability measures will take effect based on the 2010 and
48 2011 average landings, correct? Those average landings were

1 2010 was considerably higher, by over a hundred-thousand pounds,
2 than the 2009 and 2011 landings. Walter, would you just like to
3 repeat why you thought that might have happened?
4

5 **WALTER KEITHLY:** I think everybody knows now, but I will repeat
6 it one last time. In 2010, the council considered an IFQ
7 program for deepwater snapper and I suspect -- It's my opinion
8 that because of that, fishermen did a better job of reporting in
9 2010, or possibly even overreported, in an attempt to increase
10 their individual initial shares for the allocation.
11

12 **TODD GEDAMKE:** The statement about increased landings due to
13 reporting, I fought long and hard to have that included in the
14 development of this amendment, because the idea of having ACLs
15 and accountability measures in this environment, when at the
16 same time concurrently we had an improved data reporting
17 schedule, I just saw two entirely different incentives going on
18 at the same time.
19

20 Walter, I am really glad you brought that back up, because that,
21 in some way, would be the essence of our discussion if the
22 Center had collected information or the local territorial agents
23 had collected information at the start of this amendment process
24 to spur this, but I think at the very, very least, the -- Bill,
25 you mentioned that the Center had reviewed the reporting
26 behavior on queen and silk.
27

28 **BILL ARNOLD:** For all of those that exceeded and not silk, but
29 those units that exceeded their ACLs.
30

31 **TODD GEDAMKE:** I wasn't involved in that and I don't know what
32 was done, but I think that that's just a strong recommendation
33 or I have a strong feeling that that needs to be reiterated,
34 that that process of not only landings validation, but that it
35 be a continuing process, because, right now, if you get more
36 feet on the ground taking a look at behavioral changes, it's
37 going to be very hard to say that in 2014 that behavioral
38 reporting was very different than in 2007, when a different data
39 collection program was in place.
40

41 **GRACIELA GARCIA-MOLINER:** In terms of the revision of the
42 commercial landings form, one of the things that was not done
43 was to follow the history of the people that were involved. For
44 example, in many of the fisheries, there had been a request by
45 the DNER specifically to look at certain questions that they had
46 regarding the number of people that were new to the fishery, the
47 changes in the commercial fishing licenses and things like that.
48 That aspect of the commercial landings was not addressed.

1
2 **MEAGHAN BRYAN:** I think there were confidentiality issues that
3 couldn't be presented.
4
5 **GRACIELA GARCIA-MOLINER:** But these identifiers are identifiers
6 and they have a number to see and you don't have to see the name
7 of the person or anything, but, again, going back to the local
8 government, we have something that could be done at the local
9 level as well as the Science Center, because once -- If you
10 don't disclose the name of the people and if it's more than five
11 pounds, more than one trip, there are certain rules for
12 displaying the information.
13
14 You can see that in 2008, there were a hundred fishermen
15 surrendering statistics for queen snapper and in 2010, there
16 were 3,000 and there's something wrong. That kind of
17 information was not addressed at the time.
18
19 **RICHARD APPELDOORN:** Two points. One is the increase in
20 fishermen in Puerto Rico, because of the change of the
21 regulation there, is going to have some impacts for 2013. This
22 is something that's going to come up again and having a good
23 baseline now to be able to assess what happened then is
24 important.
25
26 However, this is a problem for 2010, because 2010 was the first
27 year that this thing was in effect, but if you look at the
28 numbers, everything from 2000 on would have been over the ACL.
29
30 **BARBARA KOJIS:** Well, not quite.
31
32 **RICHARD APPELDOORN:** Almost. The ACL was one-forty-something,
33 wasn't it?
34
35 **BARBARA KOJIS:** Yes, but there was 135,000 and there was
36 138,000.
37
38 **RICHARD APPELDOORN:** I said from 2007 on.
39
40 **BARBARA KOJIS:** Okay, 2007. Sorry.
41
42 **RICHARD APPELDOORN:** My point is it's not just a 2010 problem,
43 but the magnitude of 2010 certainly could be explained by that.
44
45 **BARBARA KOJIS:** I would also concur with you. It's not just a
46 2010 problem, but 2010 is the main problem, because it's higher,
47 at least 70,000 --
48

1 **RICHARD APPELDOORN:** Yes, it's forcing a severe closure of the
2 fishery.
3
4 **BARBARA KOJIS:** Yes and it's 70,000 pounds higher than any other
5 year, 60,000 pounds higher than any other year, and it's almost
6 like 2010 should be eliminated from the calculation of the
7 overage, because it just seems erroneous.
8
9 **TODD GEDAMKE:** But eliminating something because it seems
10 erroneous I think is --
11
12 **BARBARA KOJIS:** It's not just seems it, but there's a rationale
13 for it, in terms of what Walter said about IFQ.
14
15 **GRACIELA GARCIA-MOLINER:** The other issue that was not addressed
16 at the time was to look at the outliers. For example,
17 apparently there were quite a number of trips that had over
18 10,000 pounds reported or something like that, which is not the
19 normal behavior for the years. There are a number of questions
20 that were raised.
21
22 **BARBARA KOJIS:** I thought that was taken into account and those
23 were eliminated by the Southeast Fisheries Science Center.
24
25 **BILL ARNOLD:** I think those were taken out to determine what
26 that average would be. There was a 9,000 pounder in there that
27 I think was identified. I don't think there was anything beyond
28 that. I think it was that one extreme one. There was maybe a
29 3,500 pound and a couple of 2,000's or something like that,
30 which were all -- As Genio would say, 500 pounds is a big trip,
31 a big trip, for queen snapper.
32
33 These guys were reporting several over that, but I think only
34 the 9,000-pound trip was extracted, if it was, and I don't
35 remember exactly how that was handled.
36
37 **GRACIELA GARCIA-MOLINER:** There is 2,000 pounds per week over a
38 very long period of time and that adds up to a modest amount and
39 so there are still issues that need to be -- This one, for
40 example, of extra poundage per trip and things like that is not
41 in my recent memory that it was addressed, but I can look it up.
42
43 **JORGE GARCIA-SAIS:** Graciela, when they get to the fish market,
44 don't they weigh the entire -- There is a record of the entire
45 weight for which they are being paid for?
46
47 **GRACIELA GARCIA-MOLINER:** Yes and that's what they report or not
48 report or --

1
2 **JORGE GARCIA-SAIS:** So why would the owner of the fish market
3 overestimate the landings? That's going to cause for him to
4 artificially --
5
6 **GRACIELA GARCIA-MOLINER:** It's not from the fish market. It's
7 in our annual reported landings. If you sell me the fish, I
8 will give you a receipt for the amount that I paid, but you are
9 responsible for submitting the landings data to the DNER. If
10 you want to put 100,000 pounds, that's your business.
11
12 **JORGE GARCIA-SAIS:** Okay and so then what happened in 2011? Did
13 they get tired of it? Why the difference of over 100,000 pounds
14 between 2010 and 2011? If that was a behavior or a pattern that
15 they wanted to establish, why change it from one year to the
16 next?
17
18 **RICHARD APPELDOORN:** In this case, it's because they just
19 realized they went over the ACL and their fishery is going to be
20 cut. They realized the impact of over reporting.
21
22 **JORGE GARCIA-SAIS:** They are still over the edge, substantially,
23 and if that would be true, I would go back to the 140.
24
25 **BARBARA KOJIS:** They don't know. They don't know what other
26 people are reporting and then they're also probably looking at
27 this IFQ and if they report too low or they may have accurately
28 reported in 2011, because then they said, well, we've got the
29 IFQs and we've got the ACLs and we can't over report like we did
30 in 2010 and we're just making suppositions about this.
31
32 Some of it could be looked at if you looked at the data and you
33 looked at long-term fishermen and looked at individual fishers.
34 Did they all of a sudden report a lot of fish in 2010 and was
35 there any reason to report in 2010 a lot of fish, because
36 suddenly there were a lot of fish out there and they could catch
37 a lot?
38
39 **JORGE GARCIA-SAIS:** Or the weather was good and they could go
40 out.
41
42 **BARBARA KOJIS:** Was there any evidence from the -- I believe
43 that DNER gets at least some of the information from the people
44 who are buying fish, right, from the -- Because they're using
45 that to validate for the expansion factors.
46
47 **GRACIELA GARCIA-MOLINER:** Yes, but most of everything that gets
48 reported is on an individual report. There are very few places

1 where they report through the fishing associations.
2
3 **BARBARA KOJIS:** I'm not talking about reporting through the
4 fishing association, but even just going to the fishing
5 association to get information about receipts. Do the fishing
6 associations have to report how much fish they bought or
7 anything?
8
9 **GRACIELA GARCIA-MOLINER:** Except for the tuna dealers and that
10 kind of thing, but in this case, no.
11
12 **JORGE GARCIA-SAIS:** When was that data available for fishermen,
13 to fishermen, the fact that they had fished 330,000 pounds?
14
15 **GRACIELA GARCIA-MOLINER:** This year.
16
17 **JORGE GARCIA-SAIS:** This year? So it wasn't possible for them
18 to use 2011, because they already had known that they had gone
19 over the ACL.
20
21 **GRACIELA GARCIA-MOLINER:** The council started hearing about the
22 increase in the landings in 2012, but at that time, we were
23 still talking about --
24
25 **JORGE GARCIA-SAIS:** I am referring to the 2011 number that went
26 down 130,000 pounds, almost the equivalent of our ACL. Why
27 would they do it to go down if they didn't know that they had
28 gone over the ACL the year before?
29
30 **TODD GEDAMKE:** Once again, we can make stories up to explain all
31 of these things and so I'm trying to come up with a one-sentence
32 recommendation from us that may be helpful. Just basically, I
33 think that reporting behavior and validation of landings needs
34 to be studied and tracked over time to be able to adequately
35 evaluate the difference between actual overages and changes in
36 reporting.
37
38 Something along those lines to come out of the SSC that just
39 says let's -- We could guess at this forever and ever and ever,
40 but we need to make it strong that we've recognized the fact
41 that changes in reporting could be causing some of this and that
42 we really recommend that the Southeast Center and -- This is
43 where the Center looks towards the Puerto Rican and territorial
44 fisheries.
45
46 This is the expansion factors and this is in their hands. The
47 Center always takes that information from them and so this is
48 going to be something that they're going to have to work

1 together to get this information jointly.

2
3 Just as a recommendation, and we'll pass some of this back and
4 forth later and then we can review this altogether tomorrow, but
5 I think that's the best way. Joining this altogether and
6 closing it out, let's come up with a recommendation. I think we
7 all agree.

8
9 **JORGE GARCIA-SAIS:** I don't think anybody in this room has any
10 doubt that we have a problem with the reporting. I am just
11 trying to figure out what is it that we know.

12
13 **BARBARA KOJIS:** The other aspect of it may be to use the queen
14 snapper as an example with the 2000 to 2011 data. That peak in
15 2010 is --

16
17 **TODD GEDAMKE:** Queen is on the table right now. The next
18 meeting, it's going to be another species and the next meeting,
19 it's going to be another species and so let's look at -- We've
20 got big-picture issues that need to be addressed across the
21 board and so a protocol and a procedure for being able to look
22 at this and evaluate whether behavior has changed or not.

23
24 It needs to be put in place sooner rather than later, because
25 comparisons to the information collected now very well are going
26 to be very difficult to compare back to ten years ago, when all
27 we have is a single expansion factor and not a regional
28 expansion factor.

29
30 **MICHAEL SISSEWINE:** I have no problem with what you just said,
31 but do we have any basis to know whether changes in catch --
32 Changes in catch from one year to the next, like a 90 percent
33 increase, are more likely to be a result of a reporting
34 difference, a true change in fishing mortality, or a stock size
35 difference?

36
37 I would actually argue that in most cases it would be hard to
38 generate 90 percent more fishing mortality from one year to the
39 next, I guess particularly if there's some technology involved
40 in fishing and it's not just a matter of more people flocking
41 out there to go fishing.

42
43 It's quite easy to envision stock size changes by that amount
44 and it's probably quite easy to envision reporting problems by
45 that amount. Of course, the reason the system is in place is
46 out of concern about the fishing mortality actually changing by
47 that amount and so we're trying to control something, a signal,
48 fishing mortality, that our information has noise in it,

1 measurement of catch and actual changes in stock size that
2 probably are larger than the signal, which, again, goes to the
3 problem of using this methodology to manage the fishery.

4
5 If one is going to talk about needing some protocol to deal with
6 this reporting problem, I think -- Maybe it's not included in
7 the Federal Register, but equally, we ought to be pointing out
8 that there needs to be a methodology that would address the
9 possibility that these overages or underages, which are equally
10 as big a concern, reflect actual changes in stock dynamics,
11 which, of course, means that -- At one extreme, it means a full
12 stock assessment and a SEDAR. At another extreme, it at least
13 means looking at some indicators, length frequencies or
14 something.

15
16 **TODD GEDAMKE:** Let me just add one other thing. I am looking at
17 the transcript list and expansion factors are the other one that
18 are in there, because we have the reported amount listing, the
19 plan that the expansion factors are being provided and they are
20 also being generated regionally.

21
22 They can have a significant impact on the expanded landings and
23 so a recalculation of those expansion factors annually could
24 result in significant changes to what are expanded landings and
25 not reported landings. What we're looking at is expanded
26 landings.

27
28 **RICHARD APPELDOORN:** We don't have any indicator of the
29 variability associated with those expansion factors.

30
31 **BILL ARNOLD:** By the way, just to cheer you guys up, and I
32 forget this and it's kind of important, but the 2010 expansion
33 factors were not calculated. They simply used the 2009
34 expansion factors and applied them in 2010.

35
36 **JORGE GARCIA-SAIS:** That was my first concern this morning to
37 start with, but I would like to know if we have the data on
38 effort, in terms of number of trips. By now, we should have
39 that. If we don't have number of trips per year, we are off.
40 We don't know where we are and at least some indication of
41 effort, because the weather might be an important variable in
42 this, good weather. It's not every day you can go out to look
43 for deepwater snappers and so the number of good days in the
44 year might be an important variable in understanding all of
45 this.

46
47 **WALTER KEITHLY:** Again, it's not effort that's the worry. If
48 you had a constant catch and more effort, you could have

1 increased catch and possibly overfishing. The critical value is
2 whether catch per unit of effort is actually increasing. If
3 catch per unit of effort is actually increasing, that's going to
4 be more difficult.

5
6 **JORGE GARCIA-SAIS:** But we don't have anything. At least if we
7 had effort, at least we would have something to go with and try
8 to understand this sudden peak in these peaks that are overages.

9
10 **GRACIELA GARCIA-MOLINER:** This is trips for days when fishing
11 was reported.

12
13 **JORGE GARCIA-SAIS:** Correct, that kind of thing or whatever.
14 Give me something, whatever.

15
16 **MEAGHAN BRYAN:** Here is the number of trips by coast in Puerto
17 Rico.

18
19 **BARBARA KOJIS:** Carlos just brought this up and he said Daniel
20 Matos stated that the government of Puerto Rico gave fishers a
21 grace period to submit CCRs, their catch reports, in order to
22 maintain their active license and this could have showed
23 increase in landings. What that may have meant was that --

24
25 **RICHARD APPELDOORN:** That's extension in 2009?

26
27 **BARBARA KOJIS:** After so many days, I think forty-five days
28 after the month they were supposed to report, the time and date
29 they were supposed to report, previously Daniel Matos would not
30 accept the reports and the government said no, you need to
31 accept those reports.

32
33 There were a lot of reports coming in and so, in other words,
34 fishermen before were fishing and didn't turn in reports,
35 because they were too late in turning them in.

36
37 **TODD GEDAMKE:** That argues against that when you have flat
38 reported landings in there. There is no reported trip change
39 due to any of the things that we've been discussing if this is
40 what the data are based on and if those number of trips are
41 there, if we fall back to what Mike was just summarizing, how
42 could you end up with a 100,000 pound increase?

43
44 You either have stock size dramatically increasing, doubling or
45 -- There's a whole slew of reasons that it could potentially --
46 It could be just one of those good years, but you would have to
47 almost double landings for every trip per fisherman in that year
48 or you have potentially an expansion problem that's in there.

1
2 That, to me, is somewhat reassuring at least, because many of
3 the things we've talked about are that, well, maybe you just
4 have a whole lot more people reporting and a whole lot more
5 trips.

6
7 **JORGE GARCIA-SAIS:** This doesn't make any sense at all.

8
9 **RICHARD APPELDOORN:** Is this expanded trips or is this --

10
11 **TODD GEDAMKE:** Number of reported trips and I'm just reading the
12 axis and so that would be the number of pieces of paper that
13 came in with numbers on them.

14
15 **BILL ARNOLD:** I don't think this will be a big revelation, but
16 if you have 50 percent of your fishers reporting in 2009 and
17 they report 50,000 pounds of landings and then you have 100
18 percent of your fishers reporting in 2010 and they have 50,000
19 pounds of landings, but you use the 2009 expansion, that will
20 look like 100,000 pounds of landings, when, in reality, it was
21 really 50,000 pounds.

22
23 As Todd agreed, what we really need to be looking at are the
24 reported landings, to see what those changes are, and I thought
25 the Science Center did that as part of their analysis of is this
26 due to changes in reporting or is it due to these screwy
27 expansion factors, but the rule does not say if we have screwy
28 expansion factors, then we don't have to apply accountability
29 measures.

30
31 It says if there has been an increase in reporting, we don't
32 have to apply the accountability measures and in Bonnie's
33 analysis that she presented at that December council meeting, we
34 looked at the expansion factors and she said this is a mess and
35 this 2009 to 2010 carryover may have had a significant impact on
36 that 2010 burst, but we don't -- We can't address that within
37 the regulations.

38
39 **BARBARA KOJIS:** The other thing is they could have been just
40 misreporting in 2010, like Walter said.

41
42 **BILL ARNOLD:** It could be a combination of factors.

43
44 **BARBARA KOJIS:** They just reported a lot more fish for every
45 trip than they did in the past, because they've got fewer trips
46 in 2010 than 2009.

47
48 **BILL ARNOLD:** Again, as Todd pointed out, it could be all kinds

1 of things and it could be a combination of things and we can
2 make up any story we want.

3
4 **TODD GEDAMKE:** Just in case we don't forget this, because I've
5 stared at this forever, is look at this drop from here. We're
6 not expanding them at all from here and so that's 100,000 pounds
7 of fish.

8
9 If you go to the next year, you're at 180,000 pounds of fish,
10 with the same exact number of fish being landed. That's how
11 that expansion factor from one year to the next is going to
12 affect the expanded landings.

13
14 If this is true and there are magnitudes of change that are 30
15 or 40 percent in there and you carry over one year here, that we
16 missed a signal that is 30 percent higher or 30 percent lower,
17 if what Bill is saying, the carryover was not applicable, you
18 may have that spike up in here and that's going to take that
19 expanded landings exactly down to the same realm that we were in
20 before.

21
22 **BILL ARNOLD:** Yes.

23
24 **MICHAEL SISSEWINE:** I don't know if they're overfished here,
25 but look at the north, where you're talking about factors of one
26 year to the next it's a factor of ten.

27
28 **RICHARD APPELDOORN:** Or even the south.

29
30 **TODD GEDAMKE:** If you get one guy that comes in with a few
31 hundred pounds of fish in the north and then you take the whole
32 entire stock and add another 10,000 pounds, but the time you --

33
34 **BARBARA KOJIS:** He didn't report his couple hundred pounds of
35 fish and so now it gets --

36
37 **TODD GEDAMKE:** It's supposed to take that into account.

38
39 **BARBARA KOJIS:** Yes, that's right.

40
41 **TODD GEDAMKE:** Just any of those jumps and your expansion
42 factors are all over the board like that and it's cause for
43 concern and we've revisited this.

44
45 **BARBARA KOJIS:** It depends upon the sample size. If you rely on
46 this expansion factor is based on a couple of samples and you
47 happen to run across this guy that landed a couple hundred
48 pounds and didn't report it, then your expansion factor may

1 increase the amount of landings for that region tremendously.

2
3 **BILL ARNOLD:** One of the good points about expansion factors has
4 been that it's based upon a referenced number of fishers.
5 That's the number of licensed fishers and so if you have a
6 thousand licensed fishermen and you get reports from 800 of
7 them, then you have 0.8 expansion factor for failure to report.

8
9 I don't know how they do the underreporting and stuff, because
10 they assume that those 200 fishermen did fish, but they just
11 didn't report. The problem is that those fishermen may not have
12 reported, and this was something we had to -- I forget what year
13 it was, but when the gas prices went up.

14
15 I think the gas prices reduced the number of fishermen who were
16 actually fishing, because they couldn't afford it. That was
17 interpreted as them not reporting and so they really weren't out
18 there fishing and they really weren't out there catching fish,
19 but the landings were adjusted accordingly and they went up
20 artificially and, like I said, I don't remember if it was 2008
21 or 2009 or somewhere in there, whatever it was.

22
23 **JORGE GARCIA-SAIS:** Bill, all of us know that that is not a
24 problem, because it's not the fishermen, the commercial
25 fishermen, the licensed commercial fishermen, that are not
26 reporting. It's the recreational people, fishermen, that are
27 participating massively now in this fishery which are not
28 reporting.

29
30 **BILL ARNOLD:** So if you add fishermen and you use a false
31 expansion factor, then you simply magnify the effect of those --
32 They are commercial fishermen now, but this additional group of
33 fishermen that have suddenly burst into the fishery. They may
34 catch 50,000 pounds more, but then you multiply that by a
35 doubling or whatever it may be.

36
37 **RICHARD APPELDOORN:** Looking at the individual catch rates will
38 show that. If the catch rates per trip of what these people are
39 reporting aren't going up and then the total catch goes way up,
40 it's got to be the expansion factor that does that.

41
42 **BILL ARNOLD:** But as we discussed earlier, the data are probably
43 available to make these analyses, but nobody has done them, to
44 really get into this dataset and try to figure out what's going
45 on in-depth.

46
47 **BARBARA KOJIS:** Is there anything else you need, Todd, before --

48

1 **JORGE GARCIA-SAIS:** I think Todd's line is very good, Barbara.
2
3 **BARBARA KOJIS:** I think what you said was good. You had a good
4 line and just do a little explanation about what the discussion
5 was and --
6
7 **JORGE GARCIA-SAIS:** It also underlies the real reality here that
8 these numbers -- No one really believes pretty much anything
9 seriously about these numbers.
10
11 **BILL ARNOLD:** Best available data.
12
13 **JORGE GARCIA-SAIS:** But with the caveat that we don't believe
14 it.
15
16 **BILL ARNOLD:** There is no believing in science, just like
17 there's no religion.
18
19 **BARBARA KOJIS:** Any other final comment or anything like that?
20 It's almost five o'clock. Does everybody concur that we've
21 pretty much covered all aspects of this analysis, the assessment
22 and what we can do with it, and we can go on tomorrow to look at
23 what Todd has written up and see if we concur with what Todd
24 says about our discussion today about the overfishing status of
25 queen snapper, as well as all the other aspects of this.
26
27 Then we can go on to the SEDAR-30 analysis. Does that sound
28 like -- Nobody else has anything else that they need to bring up
29 at this stage? Okay. Tomorrow then, we will -- Todd, if you
30 could have this ready and if Mike could just help him. If you
31 could please help Todd in any way he needs help. I don't think
32 he probably needs much help with respect to this and then
33 tomorrow we will take a look at this.
34
35 **TODD GEDAMKE:** I am just going to make about three or four
36 summary statements with a couple of sentences clarifying.
37
38 **BARBARA KOJIS:** We can elaborate tomorrow or what have you.
39
40 **TODD GEDAMKE:** I would rather do that than me wordsmith and so I
41 will get the gist.
42
43 **BARBARA KOJIS:** Get the gist of what we've concluded up there
44 and then we'll go over that and then if everybody can be
45 prepared with our kind of review of the SEDAR-30 and that's
46 queen trigger and blue tang and, Meaghan, you're going to be
47 making a presentation on that as well. Then we will see
48 everybody tomorrow and thank you very much for all your input

1 and it's at 8:30 tomorrow.

2
3 (Whereupon, the meeting recessed on June 19, 2013.)

4
5 - - -

6
7 June 20, 2013

8
9 THURSDAY MORNING SESSION

10
11 - - -

12
13 The Scientific and Statistical Committee of the Caribbean
14 Fishery Management Council reconvened at the CFMC Headquarters,
15 San Juan, Puerto Rico, Thursday morning, June 20, 2013, and was
16 called to order at 8:45 o'clock a.m. by Chairman Barbara Kojis.

17
18 **BARBARA KOJIS:** Good morning, everybody. Thank you very much
19 for coming here and we're close to on time. The meeting is
20 starting about quarter to nine and this is the 20th of June and
21 we're starting the SSC meeting. I would like to go around the
22 room and have everybody do a kind of roll call and we'll start
23 with Meaghan, please.

24
25 **MEAGHAN BRYAN:** Meaghan Bryan, Southeast Fisheries Science
26 Center.

27
28 **RICHARD APPELDOORN:** Rich Appeldoorn, SSC.

29
30 **GRACIELA GARCIA-MOLINER:** Graciela Garcia-Moliner, council
31 staff.

32
33 **BILL ARNOLD:** Bill Arnold, National Marine Fisheries Service.

34
35 **WALTER KEITHLY:** Walter Keithly, SSC.

36
37 **TODD GEDAMKE:** Todd Gedamke, SSC.

38
39 **MICHAEL SISSENWINE:** Mike Sissenwine, SSC.

40
41 **CARLOS FARCHETTE:** Carlos Farchette, Caribbean Council.

42
43 **JORGE GARCIA-SAIS:** Reni Garcia, SSC.

44
45 **JULIE NEER:** Julie Neer, SEDAR.

46
47 **BARBARA KOJIS:** Barbara Kojis, SSC Chair. What we're going to
48 be doing today is to, first of all, go over the report that Todd

1 has put together about the discussion that we had yesterday and
2 then we'll be reviewing the SEDAR-30, which is the queen trigger
3 and blue tang SEDAR. Todd, this is your report that's up on the
4 screen right now?

5
6 **TODD GEDAMKE:** It is a report. What I tried to do is kind of
7 run through, as briefly as I could, what Meaghan presented, a
8 couple of things that we pointed out during the discussion, and
9 then some summary statements towards the end and so do you want
10 me to just read through it?

11
12 **BARBARA KOJIS:** Yes, please.

13
14 **TODD GEDAMKE:** Meagan Bryan presented a summary of the queen and
15 silk snapper SEDAR-26 results and described a newly-developed
16 approach to use PYR-based reference points to evaluate stock
17 status and so the approach can generally be described as total
18 mortality was estimated using the Gedamke-Hoenig approach with
19 sensitivities to input parameters.

20
21 Natural mortality was not available from empirical studies and
22 so it was derived from life history invariant relationships and
23 $F_{current}$ was estimated by subtracting M from the most recent Z ,
24 $F_{current}$, when compared to M , YPR , and MSY reference points as
25 ratios. If the ratio exceeded one, overfishing was indicated
26 and so all the sensitivity runs were presented as a histogram in
27 a cumulative probability of overfishing, an example of how the
28 ratios can be used to develop a harvest control rule as
29 presented.

30
31 We noted that estimates of the current F were derived from a
32 specific time period that, at least in the case of queen
33 snapper, is not consistent with the years used to calculate
34 average catch and the available evidence indicates that
35 overfishing probably has not occurred through 2008 and queen
36 snapper were probably not overfished.

37
38 Current status of the stock was unknown, since the most recent
39 length frequency data included in the assessment was 2008. A
40 true harvest control rule is not possible, as no reliable
41 estimates of biomass exist and the approach presented is
42 approximately a constant F scenario.

43
44 I think we discussed this a lot. Adjusting the current ACL by
45 any ratio assumes the existing average catch derived ACL is
46 appropriate. Then I tried to just do some points along the
47 major discussions we had.

48

1 The SSC recognized the uncertainty in methodology due to
2 uncertainty in life history parameters and, once again, our
3 recommendation is that regional age growth studies be conducted
4 for queen snapper. Otoliths are already in storage and should
5 be analyzed as soon as possible.

6
7 We can modify the wording on any of this. The age growth
8 studies, I think we've repeated that over and over. I just
9 wanted to really highlight the fact that we discussed that there
10 are actually otoliths in place and at least maybe we could make
11 a push for that one.

12
13 The SSC recommends the most recent length data be included in
14 the mean length analysis aspect of the approach and ideally, if
15 ratios were used to modify OFLs, then the time period for
16 average landings should correspond to the time period for the
17 mean length analysis. However, this does presume that the
18 landings data is reliable.

19
20 The SSC looked at years used to calculate average catch and
21 found that slightly different time series had little effect on
22 the value for average catch, which corresponds to the OFL and
23 maybe we should put "for queen" in there.

24
25 The SSC spent most of the first day discussing expanding
26 landings data and extremely high variability that has been
27 observed in recent years. A number of members believed that
28 high fluctuations are not a reflection of reality. The SSC
29 strongly recommends that the expansion factors be evaluated
30 again and that reported landings alone be evaluated.

31
32 The SSC's concern is that reporting for queen snapper has
33 changed and reporting behavior is driving the recent overages.
34 The implications of this are that fishers could have harvested
35 more in the past and the current OFL is too low or,
36 alternatively, that the current harvest rates are higher than
37 expected and the status is unknown.

38
39 It was also noted that according to the Federal Register, that
40 the SSC needs to determine if overages are due to increased
41 landings or improved reporting. Apparently the SEFSC concluded
42 the former, but the SSC understands that the individual
43 representative fishers or even tracking number of reporting
44 fishers over the most recent time period hasn't been presented.

45
46 Our recommendation is that reporting behavior and validation of
47 landings needs to be studied and tracked over time to be able to
48 adequately evaluate the differences between overages and changes

1 in reporting.
2
3 Our overall summary statement is both the SEDAR-26 results and
4 the information presented from the new methodology suggests that
5 overfishing is not occurring, although the assessment is too
6 uncertain to be confident and there isn't much room for further
7 development of the fishery.
8
9 Rich Appeldoorn reminded us that the new analysis does show some
10 probability of overfishing is occurring. The SSC is concerned
11 about the reliability in expanded catch and uncertainty in the
12 life history estimates. The SSC concluded at this time there
13 was no scientific basis for modifying the ABC.
14
15 **BILL ARNOLD:** Todd, could you send that to me, please, or is it
16 not final enough?
17
18 **TODD GEDAMKE:** It's not final enough. I just read what I wrote
19 and the rest of these members deserve to chop it up and revise
20 it.
21
22 **RICHARD APPELDOORN:** Why am I the only one who is identified
23 there?
24
25 **TODD GEDAMKE:** I did have a couple of other ones. Mike pulled a
26 few out and as I was reading that, I thought that we should
27 probably pull your --
28
29 **MICHAEL SISSENWINE:** I don't think we ought to identify
30 individuals, unless they personally --
31
32 **JULIE NEER:** Todd pointed out earlier that you should add
33 "queen" when you're talking about changing the years had little
34 effect.
35
36 **BARBARA KOJIS:** And should we just put, instead of "some
37 probability", "the range of probabilities" that overfishing is
38 occurring?
39
40 **RICHARD APPELDOORN:** No, I think it's correct the way it is.
41
42 **BARBARA KOJIS:** I think it ranged from 5 to 55 percent.
43
44 **TODD GEDAMKE:** I would prefer not to include specific numbers in
45 there, because once it ends up in writing and gets put forward,
46 that one piece that they grab --
47
48 **JULIE NEER:** Meaghan, you needed to review the 30 percent ones,

1 too.

2

3 **BARBARA KOJIS:** Could we just go back to the beginning and --

4

5 **TODD GEDAMKE:** The whole first summary section, I'm not sure

6 that we want to include the approach can generally be described

7 as -- I just thought for us that it would be good to have --

8

9 **BARBARA KOJIS:** I think it's good to have that in there.

10

11 **TODD GEDAMKE:** It's included for completeness, the summary of

12 the method.

13

14 **BARBARA KOJIS:** Any other comments on this?

15

16 **TODD GEDAMKE:** Along those lines, there's a plot of silk also

17 and I think we did have limited amounts of discussion as to the

18 approach overall. I think we wanted to include a statement in

19 there that the approach is -- Vetting the approach a little bit

20 more or adding just a statement saying that we believe the

21 approach can be valuable and with life history information and a

22 natural mortality estimate, we may be able to actually -- I

23 think it's kind of hinted at in here, but not explicitly stated.

24

25 **BARBARA KOJIS:** That's under the recommendations, right?

26

27 **JORGE GARCIA-SAIS:** Barbara, is the conclusion or opinion of the

28 SSC that overfishing is not occurring compatible with that

29 recommendation that accountability measures are not taken?

30

31 **BARBARA KOJIS:** Can you say that again, please?

32

33 **JORGE GARCIA-SAIS:** For things like closure of the fisheries and

34 things like that. Does one thing have to do with the other?

35

36 **RICHARD APPELDOORN:** Only if the data coincide temporally, which

37 they don't here. Just because the data here is up to 2008, the

38 overage is from 2010 or 2011.

39

40 **BARBARA KOJIS:** Any other changes for this page or comments?

41 Could you go to the next page then?

42

43 **GRACIELA GARCIA-MOLINER:** We have Maria and Miguel on the Go to

44 Meeting and so if you can speak up so that they can hear you

45 better.

46

47 **JORGE GARCIA-SAIS:** What would be the source of the most recent

48 mean length data? TIP data?

1
2 **BARBARA KOJIS:** Yes.
3
4 **BILL ARNOLD:** As a recommendation that regional age growth
5 studies be conducted, is there any timeframe associated with
6 that or is this just a -- Do you guys want to state a timeframe?
7
8 **JULIE NEER:** As soon as possible.
9
10 **BILL ARNOLD:** I agree, but that's not what it says.
11
12 **BARBARA KOJIS:** Yes, it is.
13
14 **TODD GEDAMKE:** It's the last four words.
15
16 **BILL ARNOLD:** Sorry. It's all comprehension.
17
18 **BARBARA KOJIS:** Could you explain just the first sentence up
19 there, adjusting the current ACL ratio assumes --
20
21 **TODD GEDAMKE:** As I read that, I thought that could be cleaned
22 up a little bit. I think that just was trying to capture
23 discussions when we were looking at the ratios. We were
24 basically saying that you could end up with a ratio that's 0.7
25 and you take that 0.7 and reducing your average landings down to
26 70 percent of what was the average was of those two years, yet
27 that whole process assumes that the average landings are
28 reliable for you to get an OFL from.
29
30 The ratio is a benchmark-based ratio and that will assume that
31 you're basically taking your average landings down from a value
32 that makes sense and we don't have much confidence in the level
33 of landings to be able to make that statement. We can reword or
34 revise that, but I think that was kind of where our discussion
35 went to when we started looking at how to apply the ratio.
36
37 **BARBARA KOJIS:** Maybe it's just changing "as appropriate" to
38 something more specific.
39
40 **TODD GEDAMKE:** Where Meaghan just corrected too, I am basically
41 saying the same. Those two things are trying to get at the same
42 point.
43
44 **BARBARA KOJIS:** It's more like it's accurate instead of
45 appropriate or based on data which we're confident of.
46
47 **TODD GEDAMKE:** The point there is -- We have an OFL MSY proxy
48 and an OFL to get to the ACL and so we're basing this on an MSY

1 principle and for us to reduce that down by a ratio, we're
2 assuming that what's in place already is appropriate, given the
3 theory behind it. I am not married to the word "appropriate".
4
5 **MICHAEL SISSEWINE:** Are you talking about reducing it down by a
6 ratio with this harvest control rule? I can't see the paragraph
7 above that, which I presume refers to the harvest control rule.
8
9 **BARBARA KOJIS:** Any more comments? The SSC is concerned where
10 that green line is --
11
12 **BILL ARNOLD:** We have that recommendation that expansion factors
13 be evaluated again. We know that those 2010 expansion factors
14 were never developed and they were just carried over from 2009.
15 Graciela, do you know if anything could be done about that to
16 develop 2010-specific expansion factors?
17
18 **GRACIELA GARCIA-MOLINER:** They should be able to do something
19 about it, because that's the year where they changed the forms
20 and they were working on factors. I think that they should be
21 able to.
22
23 **BILL ARNOLD:** They've got all the information.
24
25 **GRACIELA GARCIA-MOLINER:** Even if it's just number of fishermen
26 for that year, something that will give them an idea of how big
27 the change was from 2009 to 2010. The information is in the
28 database and so I would think yes. Why wasn't it done? That, I
29 don't know.
30
31 **BARBARA KOJIS:** I can't remember.
32
33 **GRACIELA GARCIA-MOLINER:** 2010 was the year when they were
34 rewriting the regulations and everything else and so there was
35 probably a lot of --
36
37 **BARBARA KOJIS:** They may not have collected the information that
38 they normally used for the expansion factors, because my
39 understanding was they collect information on fishermen and
40 whether fishermen are reporting their catches and observations
41 in the field and how accurate the reports are. They see how
42 much a fisherman has landed and then they go back to the report
43 and check the report, to see how accurate it is. That's what I
44 thought they were doing.
45
46 **JORGE GARCIA-SAIS:** For me, those last two bullets of the page
47 are kind of contradictory. In the first one, it's mostly saying
48 that reporting has changed and so those numbers are kind of

1 dubious and then on the next one, it says that apparently the
2 Southeast Fisheries Science Center concluded it was the former
3 and in other words, the overage is actually a reflection of a
4 real increase in landings. I have trouble matching the two of
5 them.

6

7 **RICHARD APPELDOORN:** These two?

8

9 **JORGE GARCIA-SAIS:** It's the last one that ends on the next
10 page. The first one says that we have concluded that reporting
11 has changed and so implying that, those overages are actually
12 resulting from a change in reporting, but then, on the next
13 bullet, it says that the Southeast Fisheries Science Center
14 concluded that it was the former and in other words, due to
15 increased landings, because the other thing would be the latter,
16 right?

17

18 **MICHAEL SISSENWINE:** Isn't that what we were told yesterday,
19 that that was the opinion of the Southeast Center?

20

21 **BARBARA KOJIS:** Yes, it was.

22

23 **MICHAEL SISSENWINE:** That's why it says that. It doesn't mean
24 that that's our opinion.

25

26 **BARBARA KOJIS:** The individual representative fishers doesn't
27 seem to go anywhere. Individual representative fishers hasn't
28 been presented? I think you're referring to --

29

30 **TODD GEDAMKE:** Understands that tracking number of reporting
31 fishers or individual representative fishers over the recent
32 time period -- Just take "individual representative fishers" out
33 and put it after "number of reporting fishers". We can take out
34 the "or even".

35

36 **BARBARA KOJIS:** Just tracking the reporting of individual
37 representative fishers. One of the things we were recommending
38 is tracking the individual fishers and the reporting of the
39 individual fishers to see if there was changes.

40

41 **TODD GEDAMKE:** If you put "fishers" to the end of that sentence
42 and put that "fishers" back in.

43

44 **MEAGHAN BRYAN:** The number of reporting fishers? That's what
45 you want?

46

47 **TODD GEDAMKE:** Yes. The SSC understands that tracking the
48 number of reporting fishers or individual representative fishers

1 over the recent time period. Those are the two pieces that we
2 discussed.

3

4 **BARBARA KOJIS:** Yes.

5

6 **JULIE NEER:** It sounded to me like you guys thought that the new
7 analysis, the looking at the possible benchmark ratios, was
8 useful for your discussions and something that you would like to
9 continue to see done. I think it's encompassed in there, but I
10 was just making sure that that was the new analysis that Meaghan
11 presented yesterday as something that you guys would like to see
12 done for the assessment done this year as well.

13

14 **BARBARA KOJIS:** Comment? Do people concur?

15

16 **BILL ARNOLD:** Could you repeat that?

17

18 **JULIE NEER:** I was just saying that it sounded like for what was
19 written up above that the new analysis that Meaghan presented,
20 the ratios for possible use for benchmarks to indicate
21 overfishing probabilities -- You guys thought that was useful in
22 part of your discussions of determining whether overfishing was
23 occurring and that you would like to have that additional step
24 added to the length-based method that was used in SEDAR-26 and
25 if you would like to see it for red hind this year to help you
26 in your discussions on what to do.

27

28 **BARBARA KOJIS:** Comment? Anybody?

29

30 **JULIE NEER:** I think it said that in there, but I just wanted to
31 clarify.

32

33 **BILL ARNOLD:** Where it says, in the first sentence in that top
34 bullet, that the overage is due to the increased landings or
35 improved reporting, it doesn't really say improved reporting.
36 It says data collection and monitoring improved and that is a
37 big difference, because there is no behavioral component in
38 that.

39

40 Data collection and monitoring improves when you take angelfish
41 and add them to a fishing report that you didn't used to have
42 them on and so now they're reporting angelfish landings, but
43 that's not improved reporting. That's better monitoring and
44 tracking. That is a specific instance of data collection and
45 monitoring having improved.

46

47 **BARBARA KOJIS:** That's what it says in the Federal Register.

48

1 **BILL ARNOLD:** That's what it says in the Federal Register, yes.
2
3 **MEAGHAN BRYAN:** So you want that to say "or improved data
4 collection"?
5
6 **BILL ARNOLD:** It should say "data collection and monitoring
7 improved" and you can put that in quotes.
8
9 **WALTER KEITHLY:** You see to neglect the very next part of the
10 sentence and it's "rather than because the catch has actually
11 increased". You're basically saying that you have no basis for
12 thinking that catch has increased, or very little basis, because
13 changes in reporting behavior -- Potential changes in reporting
14 behavior by fishermen.
15
16 **BARBARA KOJIS:** So include that other part?
17
18 **BILL ARNOLD:** You can, but that's what -- Overages are due to
19 increased landings and I thought that covered it.
20
21 **BARBARA KOJIS:** I would include the whole thing.
22
23 **MEAGHAN BRYAN:** "Or improved reporting", do you want that back
24 in?
25
26 **BARBARA KOJIS:** Yes, leave that in and then add --
27
28 **BILL ARNOLD:** Rather than because catches actually increased.
29
30 **BARBARA KOJIS:** At the end of "data collection and monitoring
31 improved" and it's within that quote.
32
33 **BILL ARNOLD:** Rather than because catches actually increased.
34
35 **MICHAEL SISSENWINE:** You probably need to get rid of the
36 "Southeast Center needs to determine if" and then you go to the
37 quote. You don't need the "overages are due to increased
38 landings". That's redundant.
39
40 **RICHARD APPELDOORN:** Right.
41
42 **MEAGHAN BRYAN:** Get rid of this part?
43
44 **MICHAEL SISSENWINE:** No. "Notes the Southeast Center needs to
45 determine if" and then delete the "overages are due to increased
46 landings or". It needs to determine if data collection and
47 monitoring improved rather than --
48

1 **RICHARD APPELDOORN:** You need the "overage", because that refers
2 to the "rather than". If overages are due to --
3
4 **MEAGHAN BRYAN:** There is a delay and I'm sorry. I am typing.
5
6 **BILL ARNOLD:** You might want to say overages result from rather
7 than, just to make it read better.
8
9 **MICHAEL SISSENWINE:** Then I would change the next sentence to
10 say "Apparently the Southeast Center concluded catches actually
11 increased". You could say "the Southeast Center concluded the
12 latter", but we might as well be more specific that catches
13 actually increased.
14
15 **BILL ARNOLD:** I wouldn't say that. I would get rid of the
16 "apparently" and I would say the Southeast Fisheries Science
17 Center concluded that the overage was not due to improved data
18 collection and monitoring, because they didn't actually say what
19 it was due to. They said what it wasn't due to.
20
21 **MICHAEL SISSENWINE:** That's why the word "apparently" was used,
22 because apparently that's --
23
24 **BILL ARNOLD:** I wouldn't be saying apparently. They gave a very
25 clear presentation at the council meeting saying this is what we
26 concluded and we conclude that this is not due to increased
27 better monitoring and reporting.
28
29 **MEAGHAN BRYAN:** So that should be changed?
30
31 **JORGE GARCIA-SAIS:** Bill, why did they conclude that? Why did
32 they conclude that?
33
34 **TODD GEDAMKE:** I think why they concluded it, at this point, is
35 they summarized that it was done and let's just come up with a
36 statement on it now, because we did a good bit of this
37 yesterday, as to why they concluded it. We don't know.
38
39 **JORGE GARCIA-SAIS:** Really I'm asking because if they considered
40 that their data is good, what can we do? Can we say that we
41 don't agree with them?
42
43 **BILL ARNOLD:** I tried to explain that and that's the angelfish
44 example. In the angelfish example, a tangible action was taken
45 to improve data reporting. We added angelfish to the form and
46 so that improved reporting. There was no tangible action taken
47 in the case of Snapper Unit 2 to improve reporting.
48

1 The reports were the same and ostensibly the folks out in the
2 field were doing the same thing. Maybe they weren't, but this
3 is what the Science Center, as I understand it, as it was
4 explained, looked at and there was nothing saying we have made
5 conscientious, tangible efforts to improve reporting in the
6 Snapper Unit 2 fishery. Like I said, there is no behavioral
7 component included in that.

8
9 **MICHAEL SISSENWINE:** It responded exactly to the text rather
10 than the spirit of what was being asked.

11
12 **BILL ARNOLD:** Yes, no spirit.

13
14 **MICHAEL SISSENWINE:** Then somehow we're supposed to fix the
15 mess. The spirit of what was being asked was clearly should you
16 implement accountability measures because these catches that are
17 reported represent the problem in terms of overfishing and I
18 think everyone would agree that we have no reason to believe
19 that's the case. Maybe it is, but we just don't know.

20
21 It would have been easy to respond and say in the spirit of what
22 was being asked, these overages probably are not an indication
23 that we need accountability measures, but that isn't the way it
24 was applied. It was applied strictly with were there
25 improvements.

26
27 **BILL ARNOLD:** We had an influx of -- One explanation for this is
28 we had an influx of new fishers into the commercial fishery, but
29 they're all licensed fishers. They are real, live commercial
30 fishers and if you had an influx into the shrimp fishery in the
31 Gulf of Mexico of a thousand commercial fishers, that doesn't
32 mean you raise the ACL to allow these guys to fish.

33
34 You have still got a level of fishing that is allowable and if
35 you double the number of fishermen, each fisherman gets half as
36 much catch or you blow through the ACL, even no matter how much
37 we think these guys are -- This doesn't deal with the bogus
38 concept of reporting, but it deals with the influx of --

39
40 **MICHAEL SISSENWINE:** So if we believe that that influx of
41 fishermen actually were out there fishing and what they were
42 reporting was real catch --

43
44 **BILL ARNOLD:** Puerto Rico licensed them as commercial fishers,
45 but they reported 9,000 pounds and clearly nobody was bringing
46 back 9,000 pounds of queen snapper.

47
48 **MICHAEL SISSENWINE:** So in the spirit of what was intended here

1 --

2

3 **BILL ARNOLD:** The Science Center addressed that, too.

4

5 **BARBARA KOJIS:** They eliminated 9,000 out.

6

7 **BILL ARNOLD:** They said we can take 9,000 out and maybe we can
8 take 2,000 out, but what about 700 and what about 800? What
9 about all these reports that also -- Really, if you take the
10 9,000 out and a couple of 2,500s, it's not going to bring it
11 down that much. It might bring it down 20,000 pounds.

12

13 **JORGE GARCIA-SAIS:** What Genio told me last night was that the
14 maximum catch per trip was in the order of 150 pounds and very
15 seldom did anybody have, in the last twenty years, have more
16 than 200 pounds in one trip a day.

17

18 **BILL ARNOLD:** I asked him. I said, Genio, what would be a
19 spectacularly good landing for a day?

20

21 **JORGE GARCIA-SAIS:** 200 pounds.

22

23 **BILL ARNOLD:** He said the upper limit was 500 pounds and I can't
24 even imagine doing that, but we'll be conservative and say 500
25 pounds.

26

27 **GRACIELA GARCIA-MOLINER:** But you've addressed the tracking of
28 the reporting, because that's what would really have told you
29 whether there is a problem with the reporting or not. When you
30 track fishermen over time, even if you have -- When they come
31 into the fishery, the DNER gives them a beginners license and
32 nobody expects a beginning to be in the 200-pound or 500-pound
33 limit. That kind of thing, that kind of review of the data
34 that's coming in, hasn't been done.

35

36 **BILL ARNOLD:** Is that what that recommendation is about, because
37 that's what I thought it was about, is a recommendation that
38 reporting behavior and validation of landings needs to be
39 studied and tracked over time.

40

41 **MICHAEL SISSENWINE:** In any case, to complete where we were, the
42 sentence that starts "Apparently" should be replaced, I guess,
43 by something that says the Southeast Center concluded that data
44 collection and monitoring had not improved.

45

46 **TODD GEDAMKE:** Let's use the words and --

47

48 **MICHAEL SISSENWINE:** That's what I just read. Those are

1 presumably the words.

2

3 **MEAGHAN BRYAN:** I am taking out all of this and adding what?

4

5 **MICHAEL SISSENWINE:** The data collection and monitoring had not
6 improved. That doesn't mean that we actually believe the
7 results.

8

9 **BILL ARNOLD:** This Science Center report is available on the
10 council website under its December 2012 meeting presentations.

11

12 **MICHAEL SISSENWINE:** Is that an accurate statement?

13

14 **TODD GEDAMKE:** Is it going to change what we want to do here? I
15 think "apparently" takes out -- Bill summarized what was done
16 and so we have a report based on what was done and we know where
17 that stands. I think the "apparently" at the start of the
18 sentence -- We didn't fully review the process, but it's our
19 understanding that this is what occurred.

20

21 Concluded that data collection and monitoring had not improved,
22 because the statement in the Federal Register is determine the
23 overage occurred because data collection and monitoring improved
24 rather than because catches actually increased. It is somewhat
25 semantics, but Mike was trying to get the catches in there, in
26 the wording.

27

28 I think it might be stronger if we used the same language and so
29 the SSC concluded that data collection and monitoring had not
30 improved and the inverse of this is and that catches actually
31 increased. You can't have one without the other.

32

33 **MICHAEL SISSENWINE:** Apparently you can, because they didn't say
34 they believe catches had increased.

35

36 **BILL ARNOLD:** If you put "there was no evidence that data" --
37 It's clear and we would know if there was an improvement in data
38 collection and monitoring, because those are, like I said,
39 actions that are taken.

40

41 **TODD GEDAMKE:** I disagree with you, Bill, in the spirit of what
42 that is. I understand you're looking at a piece of a form and a
43 new this and a new that. I've modified the expansion factors
44 and I've changed the way we look at it and I've changed the
45 landings and so you're not just counting the fish, but you're
46 looking at the process of how you get to expanded landings.

47

48 **MICHAEL SISSENWINE:** I would even go beyond that in that the

1 spirit of it wasn't necessarily about improvements or not. It
2 was is there a reason to think that these overages occurred
3 because something changed in the way we're reporting catches and
4 it's not a reflection of something bad happening in the fishery.

5
6 If you take the argument that maybe something bad did happen in
7 the fishery, because you've got all these new licensed
8 commercial fishermen, then it's a fair enough outcome.

9
10 **BARBARA KOJIS:** We are discussing this quite a bit and do we
11 want to include a sentence relating to the spirit of the comment
12 in the Federal Register, the comment about data collection and
13 monitoring and improved, rather than -- Improved rather than
14 because catches actually increased? Do we want to talk about
15 that?

16
17 **MICHAEL SISSENWINE:** I think that's a broader issue, the whole
18 idea of having an ACL and accountability measures when you have
19 unreliable catch data. It's the problem, really.

20
21 **BILL ARNOLD:** They were aware, when they made this conclusion,
22 that the 2010 expansion factors were a carryover from 2009.

23
24 **MICHAEL SISSENWINE:** So that's another reason it's not an
25 improvement. If anything, it's a deprovement or a
26 deterioration, but the Federal Register notice doesn't allow
27 that you would somehow not invoke the accountability measures
28 because the data got worse, but only if it gets better.

29
30 This was apparently crafted to be as narrow and as restrictive
31 as possible, which, again, is going with don't give anyone a way
32 out of accountability measures and, in effect, that's the way it
33 plays out.

34
35 **BILL ARNOLD:** It was written by me and it was not written in a
36 vacuum and it had to go through GC and everybody else.

37
38 **MICHAEL SISSENWINE:** Yes, but it's very narrow and constraining
39 and it doesn't allow for a lot of wiggle room and presumably
40 that's intentional, because lots of people feel that if they
41 leave wiggle room, there's a lot of abuse.

42
43 **BILL ARNOLD:** That's right.

44
45 **BARBARA KOJIS:** We could go on and on discussing all of this.
46 Obviously there's issues and the problem goes back to unreliable
47 catch data and this has been brought up at the council meeting
48 and it was brought up by the issues, especially with respect to

1 queen snapper and the closure for the fishermen and everything
2 else.

3
4 We can make recommendations, and I think we have here, regarding
5 this, but the Southeast Fisheries Science Center, I guess, and
6 the Southeast Regional Office have to see how much they feel
7 like they've got leeway in what they do.

8
9 Do we want to be anything more specific, even though it's a
10 small potential change in the ACL, about no evidence of
11 overfishing and therefore, the 15 percent reduction could be
12 changed to a 10 percent reduction, because this is not a species
13 that there's any evidence of overfishing or that it's overfished
14 or we can't say that because we don't have data to 2011, size
15 data for 2011, and the analysis hasn't been done to current
16 levels?

17
18 **MICHAEL SISSENWINE:** We could have a bullet in there somewhere
19 that says the SSC recalls that the ACL -- I am thinking out loud
20 here or speaking while I'm thinking, but the ACL was based on an
21 adjustment to average catch by a coefficient of 0.85, based on
22 the understanding that the stock was overfished.

23
24 A coefficient of 0.9 was routinely applied to stocks that were
25 not overfished and in retrospect, the latter coefficient might
26 have been more appropriate or something to that nature. I'm
27 just pointing that out. Something along those lines it seems to
28 me would be informative to have in the report. It would
29 probably be before the summary, a bullet point before the
30 summary.

31
32 **BARBARA KOJIS:** The summary was at the end.

33
34 **MICHAEL SISSENWINE:** I would start it with "The SSC recalls that
35 -- Was it the ACL or the ABC?"

36
37 **BARBARA KOJIS:** The ACL.

38
39 **MICHAEL SISSENWINE:** That the ACL was based on average catch
40 during a reference period multiplied by a coefficient of --
41 Multiplied by 0.85.

42
43 **BARBARA KOJIS:** During a reference period.

44
45 **MICHAEL SISSENWINE:** Because the stock was considered
46 overfished.

47
48 **JULIE NEER:** Overfished or undergoing overfishing?

1
2 **BILL ARNOLD:** Undergoing overfishing.
3
4 **MICHAEL SISSENWINE:** Was considered to be undergoing
5 overfishing.
6
7 **RICHARD APPELDOORN:** Is this true? Because the analysis that
8 was done at that time did not indicate that --
9
10 **BARBARA KOJIS:** All the snappers were put into either overfished
11 or undergoing overfishing status, because of -- That was based
12 on Puerto Rico's concern about deepwater snapper.
13
14 **MICHAEL SISSENWINE:** Then maybe we shouldn't say it that way and
15 so it should be a full stop after "0.85" and then we would say
16 that --
17
18 **BARBARA KOJIS:** But they didn't say that. This is correct as
19 far as all the documentation goes. The basis for it was
20 limited. There were species that were undergoing overfishing
21 and this was just expert opinion. It wasn't --
22
23 **RICHARD APPELDOORN:** The ACL was set before the analysis was
24 completed.
25
26 **BARBARA KOJIS:** That's right.
27
28 **RICHARD APPELDOORN:** Then that's fine.
29
30 **MICHAEL SISSENWINE:** Then we would want to say a coefficient of
31 0.9 was used for stocks for which overfishing was not occurring.
32 In light of our current assessment, the latter coefficient might
33 have been more appropriate or something like that.
34
35 **JULIE NEER:** How about latter coefficient and then, in
36 parentheses, 0.9, so no one gets confused and then it's clear.
37
38 **BARBARA KOJIS:** Any comment or changes on that one? Okay. Any
39 other comments or changes? Is everybody --
40
41 **MICHAEL SISSENWINE:** I don't know whether this should be
42 reflected in the report, but I mean the way this whole thing is
43 set up -- Let's say all the information, catch data, was spot on
44 and it was perfect.
45
46 The way this whole framework is formulated, one would expect
47 accountability measures to be invoked more than 50 percent of
48 the time and so the fact that we have accountability measures

1 and everybody is in a furor, in saying it must be because the
2 data is wrong, they don't understand that even if the data were
3 perfect, they would have accountability measures more than half
4 the time.

5
6 **BILL ARNOLD:** Actually, the surprising thing is that we didn't
7 have to apply more accountability measures and that there
8 weren't more overages. We had like fourteen or sixteen stocks
9 or something like that and only five of them were -- I realize
10 that that's a lot, but why didn't we have eight or why didn't we
11 have nine or ten?

12
13 **MICHAEL SISSENWINE:** We may have twelve next year.

14
15 **RICHARD APPELDOORN:** It's a 50/50 chance.

16
17 **MICHAEL SISSENWINE:** That's right and so we've set up a system
18 where they are expected to, more often than not, have to apply
19 accountability measures and so why is everybody trying to get us
20 to solve the problem for something that is designed for this to
21 occur most of the time?

22
23 **WALTER KEITHLY:** Assuming if things were stationary you would,
24 yes.

25
26 **MICHAEL SISSENWINE:** If it's not, then it's even probably worse.
27 If everything -- If all the information was perfect and nothing
28 usual was happening other than just normal random variations --
29

30 **BARBARA KOJIS:** That's right, but with this one, because of the
31 severity, I think that's what really triggered the --
32

33 **BILL ARNOLD:** Where it really came from, in Roy's mind, was
34 you've got -- Since we established this, a SEDAR assessment was
35 conducted and that SEDAR assessment indicated that this species
36 was not undergoing overfishing. This was a conclusion in the
37 SEDAR.

38
39 Roy asked, okay, could you take that data any farther and
40 establish a new ABC for this species? That's really what it
41 boiled down to and that's why this group is discussing this or
42 that's my understanding.

43
44 **MICHAEL SISSENWINE:** That's fair enough and our conclusion is
45 it's not undergoing overfishing and you might have gotten a
46 little different answer if you associated the catch data with
47 the period, the reference period.

48

1 You might get a little different answer if you used 0.9 instead
2 of 0.85 and we've given the opening, so that if the council
3 wants to pursue those things, they might, but it's not -- The
4 differences are relatively small compared to the problem.

5
6 **JORGE GARCIA-SAIS:** I think that the queen snapper catch is
7 going to be very close to 200,000 pounds, very close. If we cut
8 it any measure below that, I think overages are going to keep
9 occurring and that's just my opinion.

10
11 One important measure that would take that would take us very
12 close to that 200,000-pound mark is to delete one of the data
13 points which I think is like an outlier, which is the 1999
14 value, which is the 79,000 pounds. It's completely out of like
15 the range and what I believe is like the normal range that that
16 fishery is being --

17
18 **BARBARA KOJIS:** We did that. We looked at it and we added up to
19 2008.

20
21 **JORGE GARCIA-SAIS:** It came to 185,000, which is close to what I
22 believe should be a good number to work with and in my opinion,
23 that would be a good starting point and I'm not going to say
24 anything else.

25
26 **BILL ARNOLD:** I have two suggestions. The one I made to Genio
27 and this is a local issue. This has to be dealt with -- If they
28 really want to readdress that 2010 huge landings, they have to
29 do that on a local level and that's what I talked about
30 yesterday.

31
32 Puerto Rico would have to go into their data and determine what
33 the allocation of these landings are amongst the various groups
34 of fishermen and then Puerto Rico would have to make a
35 determination as to what they feel their legitimate commercial
36 and recreational landings are and if they want to deal with it
37 and then they would have to submit those reallocated landings to
38 the Southeast Fisheries Science Center for their inclusion in
39 analysis.

40
41 Really, the feds can't do this. We can't just take Puerto
42 Rico's data and say we're going to -- Maybe we can, but I don't
43 think we can take the Puerto Rico data and say we are just going
44 to unilaterally reevaluate these data and reclassify them and
45 that's what we talked about yesterday when we said go through
46 the reports.

47
48 **BARBARA KOJIS:** One of the things that we could do with this

1 technique, it seems to me, is that you can go back and if you
2 can get TIP data for 2010 and 2011 and then you go back and do a
3 reanalysis and find out -- If it still doesn't look like
4 overfishing is occurring, then the SSC could go back and say,
5 okay, let's look at the ABC and make a recommendation and then
6 that ABC may be around 220,000 pounds, because the problem is,
7 Reni, even if you say 200,000 pounds for the ACL would be
8 appropriate, there's only 188,000 pounds for the ABC there and
9 then you're reducing it now by 10 percent.

10
11 You would still have an ACL, based on what we calculated before,
12 of about 165,000 pounds. You really need to be up higher than
13 that if you really think 200,000 pounds is what they're, on
14 average, catching that's a good -- You really need to have a
15 basis for it.

16
17 **JORGE GARCIA-SAIS:** I just gave you a starting point.

18
19 **BARBARA KOJIS:** I realize, but I think you need to look at that
20 whole period of time and you could go back from what we were
21 making comments about before. If there's no overfishing
22 occurring for that whole period and we've got TIP data, then you
23 can go and recalculate the ACL and use more recent years even.

24
25 **JORGE GARCIA-SAIS:** I agree that that would be a good second
26 step.

27
28 **JULIE NEER:** As long as the SSC believes that those landings are
29 accurate. It still comes back to the landings issue.

30
31 **BILL ARNOLD:** I agree with that, Barbara. That's the federal
32 component of this. That's the SSC's component, is resetting the
33 ABC.

34
35 **BARBARA KOJIS:** We made recommendations, I believe, in there.
36 Didn't we make recommendations that we redo this analysis based
37 on the more recent years and extend? That would allow then
38 possible reevaluation of the ABC by the SSC and increase it.

39
40 **JORGE GARCIA-SAIS:** Those two are pretty good steps. If you
41 take the more recent data, that perhaps would be part of the
42 consideration of deleting that 1999 data and then you move
43 forward a year or whatever, but then you step right into the
44 wall of the 2010 data, which I agree with you that Puerto Rico
45 needs to deal with that, but they probably will not.

46
47 Knowing how these things are -- This political party is not
48 going to try to clean up what the other one did, but still,

1 those two considerations are worthwhile considering and taking
2 into account.

3
4 **BILL ARNOLD:** The other thing I would suggest is that a
5 recommendation be included that Puerto Rico establish 2010
6 specific expansion factors. Maybe they can or cannot do that,
7 but the SSC should recommend that they do that, to the best of
8 their abilities, because I think this carrying over of the 2009
9 expansion factors and the 2010 --

10
11 **TODD GEDAMKE:** We've already got that in there.

12
13 **BILL ARNOLD:** You have expansion factors in there specifically?

14
15 **JULIE NEER:** Yes, it's in there.

16
17 **BARBARA KOJIS:** I think that we've pretty much covered
18 everything here, maybe three times over. Is there any final --

19
20 **RICHARD APPELDOORN:** There's a typo in the summary or not a
21 typo, but it's missing a word. The third line of the summary,
22 it should be "too uncertain to be confident".

23
24 **BILL ARNOLD:** Meaghan, where it says "the Federal Register
25 notes", it should say "Federal Register notice".

26
27 **BARBARA KOJIS:** Todd, do you want to make those corrections or
28 do you want me to just go through and do that? Why don't you
29 just do the final on that? Okay. Why don't we take a ten-
30 minute break and then we'll start the SEDAR-30 review and
31 Meaghan will be giving a presentation for that.

32
33 (Whereupon, a brief recess was taken.)

34
35 **BARBARA KOJIS:** Let's resume the meeting. Meaghan is going to
36 give us a presentation on the SEDAR-30 and this was an
37 assessment of the blue tang and the queen triggerfish in the
38 U.S. Caribbean and so, Meaghan, please.

39
40 **REVIEW OF SEDAR-30**

41
42 **MEAGHAN BRYAN:** Like Barbara said, SEDAR-30 focused on blue tang
43 and queen triggerfish in Puerto Rico and the USVI and similar to
44 most SEDARs, the goals were to try to determine stock status for
45 blue tang and queen triggerfish, but as you will find out, the
46 data limitations precluded us from getting abundance estimates
47 and so we conducted mean length analyses to evaluate stock
48 status in terms of mortality, very similar to what we did -- We

1 did the same exact thing we did during SEDAR-26 and a lot of the
2 issues or all of the issues that we had with data and that we
3 have been discussing over the last day or so apply here, to
4 SEDAR-30.

5
6 What I'm going to do is just briefly go over the data sources
7 that we reviewed, so you can see what they look like, and then I
8 will go into the results and the conclusions and then talk about
9 some of the comments from the review, the desktop review.

10
11 The data sources that we reviewed during the data
12 workshop/assessment workshop for SEDAR-30, we looked at the
13 Marine Recreational Fisheries Statistics Survey, which is
14 carried out in Puerto Rico. This is not a sampling program
15 that's conducted in the USVI at this point and so the data
16 that's available only pertains to Puerto Rico.

17
18 We looked at commercial landings by island platform and gear
19 types and we reviewed the Trip Interview Program, which was the
20 main source of information for the analysis, and we reviewed the
21 life history information from published literature, because no
22 one brought anything to the table in terms of recent analysis
23 for life history for these species.

24
25 We did not use the MRFSS data for this assessment for a few
26 reasons. For blue tang, there were only five intercepted trips
27 that retained or indicated discarding of blue tang and there
28 were two length measurements and so we couldn't use this data.

29
30 Queen triggerfish, there were less than twenty intercepted trips
31 per year that indicated that they retained or discarded queen
32 triggerfish and over the time period of 2000 to 2011, there were
33 sixty length measurements and so the data that's contained in
34 the MRFSS database for blue tang and queen triggerfish at this
35 point are not useful for assessment and so they were not used.

36
37 The commercial landings, they also were not used for the
38 assessment. In the USVI, the commercial landings start in 1974
39 and from 1974 to 1995, catch was recorded as snapper grouper or
40 finfish and so I guess these species were contained in the
41 finfish category.

42
43 Starting in 1997, or maybe 1996, the fishers were required to
44 report species to species groups and so blue tang belongs to the
45 surgeonfishes group and queen triggerfish obviously belongs to
46 the triggerfish group.

47
48 Unlike the USVI, the commercial data is species-specific in

1 Puerto Rico, but there obviously are known problems with
2 underreporting and so expansion factors were applied and, again,
3 these were not used for assessment, mainly because we do not
4 know which species they are catching in the USVI, but I guess
5 starting in July of 2011, fishers were required to report to
6 species and so at some point in the future, that data will
7 likely be useful for assessment, but at this moment, we can't
8 use it.

9
10 Just to give you an idea of what the landings look like, the top
11 panel shows the surgeonfish landings for St. Thomas and the
12 bottom panel shows the landings for St. Croix. In St. Thomas,
13 the predominant fishery is the pot and trap fishery, which is
14 the red line. That's the main gear type that catches
15 surgeonfishes. There were some other gear types that did catch
16 surgeonfishes, but they make up a very small proportion and that
17 black line is the total catch.

18
19 You can see that over time there was a slight increase, from
20 about 2000 to 2004, and then it starts to decline until 2011 and
21 there seems to be a steep decline in landings of surgeonfishes
22 between 2010 and 2011.

23
24 **BARBARA KOJIS:** 2011 was complete data, wasn't it, and not just
25 six months?

26
27 **MEAGHAN BRYAN:** I am almost positive that this is showing
28 complete data. I'm not 100 percent sure, but I am pretty sure
29 that these were complete data.

30
31 **BILL ARNOLD:** The fact that St. Croix didn't drop similarly
32 would suggest to me that this is complete data.

33
34 **MEAGHAN BRYAN:** I am pretty sure it was, yes. St. Croix
35 surgeonfishes are caught by other gear types besides pots and
36 traps, but the red line represents the trap fishery. The purple
37 line represents the net fishery and the green line represents
38 the diver-based fishery.

39
40 One thing I want to point out about these landings is you'll see
41 a really rapid decline in landings associated with the net
42 fishery. There was a net ban that was put in place in 2006 and
43 so you're seeing a shift from landings associated with the net
44 fishery going into the diving-based fishery and so that explains
45 that decline and that increase that you're seeing in those two
46 fisheries.

47
48 **BARBARA KOJIS:** Just to explain, in 2006, I think the regulation

1 was approved, but the implementation took until like 2008,
2 because there was controversy about it.

3
4 **MEAGHAN BRYAN:** I am sure, yes. Those are the landings for the
5 surgeonfishes in the USVI. Triggerfish landings, a similar
6 pattern for triggerfish in St. Thomas and St. John. They have
7 an increase from 2000 to 2003 and then a declining trend
8 starting in 2003 to 2011.

9
10 The landings are predominantly associated with the trap fishery
11 and then landings for triggerfish in St. Croix are predominantly
12 caught by the diving-based fishery, starting in about 2005,
13 where you see an increase. You can see that the time series for
14 the triggerfish landings abruptly stops for the net fishery in
15 2007.

16
17 It does seem that that was a shifting of effort from the net
18 fishery to the diving fishery, which explains that increase in
19 landings. It explains the increase in landings for the diving-
20 based fishery, but overall, the total landings of triggerfish is
21 variable, but fairly consistent between about 25,000 pounds and
22 40,000 pounds over the time series.

23
24 **TODD GEDAMKE:** Meaghan, can you just flip back to the last two,
25 just flip back to the tang?

26
27 **MEAGHAN BRYAN:** Sure. Those are the landings for surgeonfishes
28 and triggerfish in the USVI. Moving on to Puerto Rico,
29 surgeonfishes are just not really targeted in Puerto Rico and so
30 that explains this funky looking graph and I won't explain that
31 anymore.

32
33 Here are the landings for the queen trigger, the commercial
34 landings for queen triggerfish in Puerto Rico. It's much more
35 variable than what you're seeing in the USVI, but that is, I
36 think, explained by the expansion factors, for the most part.
37 That red line represents the trap fishery.

38
39 The orange line represents the hook and line fishery and green
40 is the diving fishery and purple is the net fishery and so the
41 predominant fishery capturing queen triggerfish is the trap
42 fishery.

43
44 You see from 1983 until about 1986 that there's a steep decline
45 in triggerfish landings and then it kind of levels out until
46 about 2002. There's another increase in 2004 or 2005 and then
47 another decline until about 2006 and then it levels off between
48 2006 and 2011. It's highly variable landings.

1
2 **BARBARA KOJIS:** Is there any reason for that 1983 to 1986
3 decline?
4
5 **MEAGHAN BRYAN:** I am trying to remember. I would have to look,
6 but I think --
7
8 **TODD GEDAMKE:** If I may, I think that's when boats were fishing
9 elsewhere and landing --
10
11 **RICHARD APPELDOORN:** Well, but they wouldn't be going after
12 triggerfish though.
13
14 **TODD GEDAMKE:** It's just the same pattern we had for a couple
15 other species.
16
17 **RICHARD APPELDOORN:** It's the same pattern for the entire
18 fishery. Actually, most of the decline is even sooner than
19 that.
20
21 **BARBARA KOJIS:** Do you think that's a real decline?
22
23 **RICHARD APPELDOORN:** Yes. Whether there is foreign input into
24 that decline or lots of foreign input into that decline, I don't
25 know, but --
26
27 **TODD GEDAMKE:** What year did the average catch go back to? What
28 year did we start, Bill?
29
30 **BILL ARNOLD:** We started in 1988.
31
32 **TODD GEDAMKE:** Because of that decline.
33
34 **BILL ARNOLD:** Yes.
35
36 **TODD GEDAMKE:** That was the testimony from locals on that, was
37 that that was the period when people were bringing landings back
38 from other regions.
39
40 **BILL ARNOLD:** In general.
41
42 **TODD GEDAMKE:** In general and so prior to 1987 or 1988. That
43 was the discussion there and that's where we ended up chopping
44 those years out, because there was some question as to fishing
45 outside.
46
47 **BILL ARNOLD:** But it was also that they had no confidence in the
48 expansion -- This was pre-Daniel Matos. We couldn't get Daniel

1 in there and he couldn't explain what was going on in those 1988
2 years and so we said, okay, we just won't use them.
3
4 **JORGE GARCIA-SAIS:** What about that spike in 2005? Is that the
5 same for other species as well? I don't remember that.
6
7 **TODD GEDAMKE:** That's when the regional expansion factors were
8 put in place, around that time, and that big dip in 2006 and
9 2007 is basically across most stocks in Puerto Rico and that's
10 why we ended up -- For the average landings series, that's where
11 we chopped it off, at the 2005, because there was a lot of
12 people that really questioned that spike and that decline.
13
14 **BILL ARNOLD:** Here's how I understood the 2005 thing. I think
15 that may have been when the gas prices went up or something and
16 so you had --
17
18 **RICHARD APPELDOORN:** No, that was later.
19
20 **BILL ARNOLD:** There was something that -- I thought there was
21 something about that expansion factor that they adjusted it
22 because fishermen reporting was way down.
23
24 **RICHARD APPELDOORN:** That was because of the new tax
25 requirement.
26
27 **BILL ARNOLD:** That may have been it, because they assumed that
28 the fishermen weren't reporting and it's likely that the
29 fishermen were reporting and or actually that the fishermen
30 weren't fishing and so they applied an expansion factor that
31 assumed those fishermen were fishing and weren't reporting, when
32 in reality, they really weren't fishing as much. You've got a
33 low expansion factor and you divide by that and it jacked that
34 peak up.
35
36 **MEAGHAN BRYAN:** Even though we do have species-specific landings
37 in Puerto Rico, this issue of the expansion factors, as we've
38 been discussing, precludes us from using it for analysis at this
39 point.
40
41 I think validation of the expansion factors will be important
42 for us to be able to use these types of landings for assessment
43 purposes in the future. Those are the landings and are there
44 any other questions before moving on to the main dataset that we
45 used for analysis?
46
47 Okay. The Trip Interview Program provided the most consistent
48 species-specific information over time for these two species

1 across the U.S. Caribbean. This table just summarizes the
2 number of samples, the number of years sampled, and the average
3 number of samples per year for blue tang by island platform and
4 gear type.

5
6 The lines that are in bold, those were the fisheries that had
7 enough samples to be used for analysis and so you can see that
8 in St. Thomas and St. John the pot and trap fishery caught a
9 total of almost 3,000 samples over the twenty-one years that we
10 have data and, on average, there was about 142 length samples
11 per year.

12
13 Then St. Croix, the number of samples for blue tang is much
14 larger than what you're seeing in St. Thomas. It's over 30,000
15 samples over twenty-nine years and so those were the two
16 fisheries that we focused on for this analysis. That's the main
17 fishery for that area for these shallow-water species.

18
19 For queen triggerfish, again, the species is mainly caught by
20 the pot and trap fisheries across the islands and we looked at
21 these fisheries and applied the data from these fisheries for
22 analysis and so in Puerto Rico, there were a total of 4,917
23 samples over twenty-eight years and in St. Thomas/St. John, we
24 had over 7,000 samples and in St. Croix, we had a little over
25 8,000 samples.

26
27 We used the length frequency data from the TIP database for the
28 pot and trap fisheries for both species across the islands,
29 except in Puerto Rico we did not do an analysis for blue tang,
30 because that species is not caught in Puerto Rico.

31
32 To analyze the length frequency data, we used, again, the
33 Gedamke-Hoenig mean length estimator to obtain estimates of
34 total mortality to evaluate how mortality has changed over time.

35
36 We also used these total mortality estimates to derive fishing
37 mortality estimates as well and we did that by deriving natural
38 mortality from various natural mortality estimators that I will
39 explain a bit later.

40
41 For this mean length analysis, the model inputs total mortality
42 as a function of the von Bertalanffy growth parameters as well
43 as mean length and so model inputs include the mean lengths from
44 the TIP database, the von Bertalanffy growth parameters from the
45 published literature, and we also used the length frequency data
46 to determine the length at full vulnerability, which also
47 influences total mortality.

48

1 We looked at the length frequency data to determine a range or
2 the length at full vulnerability for each of the species. Mean
3 length was then calculated for fish larger than that length at
4 full vulnerability and applied to the mean length estimator.

5
6 Just to give you an idea of what the length frequency data looks
7 like, I binned this in five-year bins, just for ease of
8 presentation. I can flip to the report if you want to see the
9 annual length frequency histograms, but you can see here that
10 the length frequency for blue tang has been fairly consistent
11 over time or that peak has been fairly consistent and so the
12 length at full vulnerability for blue tang, at least in St.
13 Thomas, and this is showing the length frequency for blue tang
14 in St. Thomas, was around eighteen to twenty centimeters.

15
16 This is the length frequency data for blue tang in St. Croix.
17 It's much more consistent length frequency over time in St.
18 Croix than in St. Thomas. Again, that peak with the length at
19 full vulnerability from this length frequency data was similar
20 and it was around eighteen to twenty centimeters.

21
22 Now this is the TIP length frequency data for queen triggerfish
23 from the pot and trap fishery in Puerto Rico and what you will
24 notice is that between 1998 and 2007, we start to get a few more
25 larger individuals out in the tails and if you look at this --
26 Please note that the Y-axis of these histograms are on different
27 scales, but when they are on the same scale, you still notice a
28 more predominant blip in that right side of the distribution
29 between 1998 and 2007.

30
31 During the data workshop, there was one fisherman from Puerto
32 Rico, but I think he was a diver. We did have a discussion
33 about whether or not -- What this meant and if there was some
34 sort of spatial expansion of the fishery that might explain why
35 we're seeing larger individuals. Apparently there hasn't been
36 an expansion of the pot and trap fishery or that was the -- That
37 is what the fisherman indicated.

38
39 Then here's length frequency data for queen triggerfish in St.
40 Thomas. We did have a fairly lengthy discussion with the
41 fishermen from St. Thomas about this distribution.

42
43 You will notice that the right side of the length frequency
44 distribution is fairly consistent over time and it stops around
45 like -- It really falls off at like forty centimeters or between
46 forty and forty-five centimeters.

47
48 Apparently fishermen in St. Thomas discard queen triggerfish

1 that are larger than I think forty-two centimeters or forty-five
2 centimeters because they can't sell them. No one wants those
3 larger triggerfish and one of the assumptions of the Gedamke-
4 Hoenig method is that selectivity is knife edge at the length at
5 full recruitment and if they're discarding -- If they're
6 catching, but discarding, it seems that the selectivity is
7 actually more -- Well, maybe double knife edged or dome-shaped
8 and so this discarding practice violates the assumption of knife
9 edge selectivity.

10
11 Here's the length frequency data for queen triggerfish in St.
12 Croix. The distributions are fairly consistent over time, but
13 please note in 2003 to 2007 that there are very few -- Actually,
14 2003 to 2011, the sampling apparently has been dramatically
15 reduced over that time period and that may explain why we're
16 seeing so few samples of queen triggerfish as compared to
17 previous years from 2003 to 2011. Are there any questions about
18 the length frequency data?

19
20 The next component that we needed to evaluate in terms of inputs
21 was the life history information for these species and for blue
22 tang, there were two studies. These studies did collect samples
23 from various different areas in the Caribbean and so these are
24 Caribbean-wide estimates, but the sample size is fairly low per
25 island.

26
27 What was concerning about this life history information is that
28 the range of the von Bertalanffy growth parameter was fairly
29 wide. It was anywhere from 0.4 to a little over one and so that
30 leads to -- We plotted the life history or the growth curves for
31 blue tang from these studies and you can see that the growth
32 rates are different among the different islands and we had a
33 discussion about which ones were more appropriate to use for the
34 USVI.

35
36 In the end, we ended up having to do a sensitivity analysis
37 anyway and so they were pretty much all of them were considered.
38 In this bottom panel, that shows the relationship between these
39 points and so the points with the same color -- This is a figure
40 that Richard Appeldoorn came up with.

41
42 The points of similar color are the two different -- Same color,
43 but different shape are the different studies in the same
44 locations and so there is agreement between the studies at the
45 location, but, again, when you look across the different
46 locations, the von Bertalanffy growth parameter is very
47 different among the islands.

48

1 **TODD GEDAMKE:** What's the sample size for Los Roques?
2

3 **MEAGHAN BRYAN:** Los Roques is eighty-one and so the majority of
4 sampling is a little over a hundred and so less than a hundred
5 is -- The sample size is seventy-four to a little over a hundred
6 for the different islands.
7

8 **BILL ARNOLD:** Is there any latitudinal pattern with this? It
9 doesn't look like it, but I'm just curious.
10

11 **MEAGHAN BRYAN:** Lee Stocking Island is here and Belize is a
12 little lower.
13

14 **RICHARD APPELDOORN:** Los Roques is the outlier.
15

16 **BILL ARNOLD:** Where is Los Roques?
17

18 **MEAGHAN BRYAN:** That's off of Venezuela and Asencion is --
19

20 **RICHARD APPELDOORN:** Asencion is way out.
21

22 **BARBARA KOJIS:** It's way out in the middle of the ocean, yes.
23 Can you use that as -- You would think Bermuda would be quite
24 different and the other thing is there's an L infinity or Lmax
25 and what's the closest one to what is happening in the Virgin
26 Islands? That may be the one that's -- Those are the ones to
27 consider, too.
28

29 **MEAGHAN BRYAN:** Right, but in the end, we essentially considered
30 all of them through the sensitivity analysis. Here are the life
31 history parameters for queen triggerfish. There were two
32 studies and although the asymptotic lengths were somewhat
33 similar, the growth studies suggest different life histories in
34 terms of growth and so the von Bertalanffy growth coefficient
35 was 0.3 and the other was 0.14.
36

37 **BARBARA KOJIS:** But the 0.4 was Brazil.
38

39 **MEAGHAN BRYAN:** No, it's Brazil and I realize that that is not
40 the U.S. Caribbean, or even the Caribbean, but those were the
41 only two studies that we could find and consider.
42

43 **BARBARA KOJIS:** What about Jamaica?
44

45 **MEAGHAN BRYAN:** I should say something about Jamaica. That was
46 not based on hard parts and so we didn't consider that.
47

48 **JORGE GARCIA-SAIS:** The Lmax for the Puerto Rico triggerfish is

1 something unreal.
2
3 **MEAGHAN BRYAN:** From the Bohnsack and Harper?
4
5 **JORGE GARCIA-SAIS:** Seventy-six centimeters and how many feet
6 are those?
7
8 **MEAGHAN BRYAN:** These are millimeters.
9
10 **BARBARA KOJIS:** But it's still --
11
12 **JORGE GARCIA-SAIS:** Seventy-six centimeters, that's bigger than
13 a cubera snapper.
14
15 **BARBARA KOJIS:** It's about two-and-a-half feet.
16
17 **TODD GEDAMKE:** Did you use 760?
18
19 **MEAGHAN BRYAN:** Did I use 760? No. We used --
20
21 **JORGE GARCIA-SAIS:** I've never seen one that big.
22
23 **TODD GEDAMKE:** Let's move on.
24
25 **MEAGHAN BRYAN:** Okay, moving on to growth curves resulting from
26 those two studies. I plotted those to show a comparison, just
27 to show you how different the growth rates are, even though they
28 end in a similar asymptotic length.
29
30 **BARBARA KOJIS:** You would expect that, because you're talking
31 about Brazil below the Amazon, right?
32
33 **MEAGHAN BRYAN:** Right, but we need to -- Given that we only had
34 one estimate, you need to consider everything available and so
35 we just wanted to consider it, but yes, you wouldn't expect them
36 to represent the Caribbean.
37
38 Given the available data and the life history information, we
39 did do some individual runs using the estimates from the
40 published literature. First, the model was run assuming that
41 there's no change in mortality and then increased in complexity
42 in terms of the number of changes in mortality over time.
43
44 The models were compared using AIC to determine which were the
45 most parsimonious and best described the change in annual
46 mortality or lack of change.
47
48 Given the uncertainties in the life history parameters, we

1 conducted a sensitivity analysis to characterize those
2 uncertainties in the mortality estimates and so it's very
3 similar, or exactly the same, as what we did in SEDAR-26.

4
5 What I will first do is present some of the individual runs,
6 just to give you a sense of the model selection, and then I'll
7 go into the sensitivity results for each species or each strata
8 and so each species and island group that was analyzed.

9
10 This table just shows the different combinations of input
11 parameters, so the length at full vulnerability, the von
12 Bertalanffy growth coefficient and the asymptotic length, and
13 then the AIC results.

14
15 The first few rows represents a run where the length at full
16 vulnerability was very close to the asymptotic length and I just
17 threw this in here to show that an example of a convergence
18 problem that we had with the model and so whenever the length at
19 full vulnerability was similar to the asymptotic length, the
20 model couldn't find or hit either the upper or lower bounds of
21 the total mortality and so those results weren't considered to
22 have any meaning and were disregarded.

23
24 You can see that pretty much across the -- Well, in a couple of
25 cases, a change was detected in total mortality and this varied
26 and I will show this in the sensitivity results, but the year of
27 change did vary, but, in general, the Z in the first time period
28 was lower than in the second time period and so there was some
29 indication that there was an increase in total mortality in
30 those instances when a change was detected.

31
32 This is just one of the iterations that we looked at and this
33 shows the -- The blue line is the line that is best fit. The
34 bubbles represent the mean lengths and the bubble size
35 represents the number of samples or the -- Yes, the number of
36 samples per year.

37
38 You can see that in this case the model predicted that total
39 mortality changed right after that first year, in 1983, and
40 leveled off in about 1995 and so the first estimate of total
41 mortality was 0.9 and then there was a decline in mean length
42 that was detected and that was associated with an increase of
43 total mortality of 0.4.

44
45 Just to give you a sense of some of the sensitivity results,
46 this just summarizes -- The table to the left summarizes the
47 number of changes in total mortality that were detected and the
48 number of sensitivity runs that either did not detect a change

1 or detected one change or two changes.
2
3 It was pretty evenly split in terms of detecting a change in
4 total mortality or not and when there was one change in total
5 mortality detected, almost every year was chosen by a couple or
6 several of the sensitivity runs, but in 2001, that has the
7 highest frequency of sensitivity runs. Yes, the highest number
8 of sensitivity runs predicted a change in 2001.
9
10 **RICHARD APPELDOORN:** Was that the case of the graph you showed
11 before?
12
13 **MEAGHAN BRYAN:** No, this one actually showed 1983. I can pull
14 up one that shows in 2001, but I think what it was doing is
15 predicting a change after -- Yes, it's less of an increase in
16 2001. It was responding to those two bubbles that are apart
17 from that cluster that starts in 2005.
18
19 **RICHARD APPELDOORN:** It went through there and then came down?
20
21 **MEAGHAN BRYAN:** Yes, it went through there and came down. We
22 did look at proportional change for those sensitivity runs that
23 did detect a change and this just gives you an idea of the
24 percent change in total mortality.
25
26 Some of these are astronomical because -- Those cases hit the
27 bounds and so you should ignore those, but in all cases, these
28 sensitivity runs, the estimates of Z were not hitting those
29 bounds and so there is still a fairly considerable increase for
30 some of these parameter combinations.
31
32 What was happening is that they were -- The model was predicting
33 a very low total mortality in the first time period and a very
34 high total mortality in the second period and so that explains
35 why there was such a high proportional change or percent change,
36 in this case.
37
38 We did derive fishing mortality from the total mortality
39 estimates and so we used a couple of different natural mortality
40 estimators.
41
42 We used the Pauly estimator, the Ralston estimator, and the
43 Jensen estimator that consider just the von Bertalanffy growth
44 parameters, but we also looked at a few estimators that
45 considered maximum age, because we did have some estimates, even
46 though most of the published literature that we looked at it was
47 the reported max age that they read and so we don't know the
48 true maximum age for blue tang, but we used that to see how the

1 natural mortality estimates changed or were different if you
2 used maximum age.

3
4 Generally, natural mortality was a little lower when you used
5 the maximum age than when you just relied solely on the von
6 Bertalanffy growth parameters.

7
8 What I am showing here is just a summary of that ratio between
9 the fishing mortality and the natural mortality, where we're
10 using natural mortality as an FMSY proxy. You can see that in a
11 lot of cases we have this very high frequency of fishing
12 mortalities that were very close or equal to zero, because
13 natural mortality was so much higher than the total mortality
14 estimate.

15
16 Essentially, you can interpret that as there was no perceived
17 fishing mortality on the population, but then when you -- This
18 is just showing that even though a lot of -- A high frequency of
19 the iterations are below a ratio of one, there are some that are
20 greater than one, because of using natural mortality estimators
21 that were based on age.

22
23 There was variability in the interpretation of what fishing
24 mortality was and what that means in terms of overfishing,
25 depending on the natural mortality estimator that you were
26 showing.

27
28 I presented that information in a table in the report and I just
29 thought that maybe this would be a better way to think about it
30 or present it here, just to give you an idea of how variable the
31 interpretation of this ratio is, depending upon the natural
32 mortality estimators. Are there any questions about this before
33 I go on to the next?

34
35 We did the same exact things for blue tang in St. Croix. This
36 is just some of the individual runs that we did when exploring
37 how the growth parameters influenced our estimates of total
38 mortality.

39
40 Again, we did have some convergence problems, in cases where the
41 length at full vulnerability was similar to the asymptotic
42 length, but really, we didn't have -- Just moving on to the
43 sensitivity results, that top table shows the frequency of
44 sensitivity runs that predicted a particular number of changes
45 in total mortality and it was fairly even between no change or
46 one or two changes.

47
48 This bottom panel to the left shows the number of changes in

1 total mortality that were predicted in the first year of change
2 and you can see that, in general, the model was predicting a
3 total mortality changing in 1983, which was the first year that
4 we had some data.

5
6 Then this right panel shows the number of changes in total
7 mortality that were predicted or the year that -- The predicted
8 year for the second change in total mortality if there was
9 support for two or three changes in total mortality and it was
10 anywhere between 1985, 1989, and then in 1996 or 1999, but, in
11 general -- The model wasn't converging on a particular second
12 year of change for total mortality when two or three changes
13 were predicted.

14
15 Now this is just showing -- This table is just showing the
16 percent change in total mortality when for the model runs that
17 predicted a change in total mortality and so you can see that,
18 in general, when a change was predicted, it was over 100 percent
19 from the first time period to the second time period across the
20 various life history parameters and the length at full
21 vulnerability that was considered.

22
23 This just shows the plot comparing the fishing mortality and the
24 natural mortality to try to get a handle on the overfishing and,
25 again, this is -- These were applied to the sensitivity results
26 and three or six different natural mortality estimators that
27 were either dependent on the growth parameters or maximum age.

28
29 You can see that the highest number of these ratios is below
30 one, but there are some -- Some of the sensitivity runs did lead
31 to F ratios, or the ratio between current fishing mortality and
32 natural mortality, that were above one, but, again, it was
33 variable and it was really dependent on which natural mortality
34 estimator was used, where the natural mortality estimators that
35 were based on maximum age generally led to a higher ratio
36 between F and natural mortality.

37
38 That was the analysis for blue tang for St. Thomas and St.
39 Croix. Are there any questions before moving on to queen
40 triggerfish? Okay.

41
42 This table is just showing individual runs using the von
43 Bertalanffy growth parameter estimates from the study that had
44 data from Puerto Rico and the USVI, but the top three rows are
45 Puerto Rico and the center lines are St. Thomas and then the
46 last three rows are St. Croix.

47
48 For this one individual run in Puerto Rico, there was a change

1 predicted in 1990 and I will show a figure here soon, but it
2 does predict that total mortality declined and that is
3 associated with that time period where we started seeing larger
4 individuals in the length frequency data.

5
6 In St. Thomas, and I'll show for the sensitivity analysis,
7 across the board no change was detected in total mortality and
8 then in St. Croix, generally there was a change in mortality
9 detected and it was always an increase in total mortality that
10 was detected.

11
12 This is the model fit to the queen triggerfish length frequency
13 data from Puerto Rico and this was this individual run that I
14 just showed in the table and you can see that there is an
15 increasing trend in mean length. The model is predicting it to
16 start in 1990, but it seems like it starts to increase a little
17 bit later, but it's responding to that increase here and so it's
18 predicting that total mortality is declining.

19
20 We did do a sensitivity analysis for queen triggerfish and, in
21 general, the model predicts either one or two changes in total
22 mortality. When one change was predicted, the majority of
23 sensitivity runs predicted a change in 1999, which I just
24 showed, and that there was -- That was the second year of
25 change.

26
27 The first year of change, if there was one change predicted, it
28 was anywhere between 1986 and 1991. If two changes were
29 predicted, the first year of change was anywhere from 1990 to
30 1993. There is some variability about when that change
31 happened, but it's around 1990, generally.

32
33 This table just shows the different parameter combinations used
34 for the sensitivity analysis and the percent change in total
35 mortality and you can see that in the majority of sensitivity
36 runs that predicted a change in total mortality that there was
37 anywhere between 75 and almost 100 percent change in total
38 mortality and this was a decline in total mortality, because of
39 that increase in mean length.

40
41 Again, we derived fishing mortality from the natural mortality
42 estimates and, in general, there is very few sensitivity runs
43 that indicated that fishing mortality was above the natural
44 mortality.

45
46 As I mentioned before when we were looking at that table, in
47 general, there was no detection of change in St. Thomas and if
48 you remember the length frequency distributions, they were very

1 stable over time.
2
3 **JORGE GARCIA-SAIS:** Meaghan, did you detect a significant
4 increase in triggerfish at USVI compared to Puerto Rico, because
5 I was trying to recall --
6
7 **MEAGHAN BRYAN:** An increase in what?
8
9 **JORGE GARCIA-SAIS:** Differences in size from St. Thomas, like
10 there you're talking about -- Is that thirty-seven?
11
12 **MEAGHAN BRYAN:** Do you want me to go back to length frequency?
13
14 **JORGE GARCIA-SAIS:** I don't know if the one in Puerto Rico will
15 show it.
16
17 **MEAGHAN BRYAN:** Let me look.
18
19 **JORGE GARCIA-SAIS:** It's just out of curiosity, because I think
20 that the lengths are kind of different.
21
22 **MEAGHAN BRYAN:** From Puerto Rico, in the beginning, from 1983 to
23 about 1997, the range is between eighteen centimeters to about
24 forty-three, with a few larger individuals out there in the
25 tails. Then you start seeing a few more of these larger
26 individuals, sixty-centimeter queen triggers, starting in 1998.
27
28 Then in St. Thomas, the lower range is similar, around like
29 eighteen or so centimeters, but, again, supposedly the fishers
30 did indicate that they discard the larger ones and so you never
31 see those larger ones in the data and so they might exist.
32
33 There is a few out here in 2003 and in 2007, you can see a few
34 that are larger than that forty-five-centimeter length when they
35 start to discard, but, in general, you don't see those larger
36 fish in the length frequency data, because of that discarding.
37
38 **TODD GEDAMKE:** The discarding of the larger individuals is going
39 to lead to overestimates of L, because of an assumption of
40 constant mortality above L_c .
41
42 **RICHARD APPELDOORN:** It would lead to an overestimate of Z and
43 it could lead to an underestimate of F over Z, because that's
44 what we're concerned about. We've got these estimates of F over
45 Z that basically keep saying there's virtually no fishery and
46 we're getting an underestimate of F over Z because we're
47 overestimating Z.
48

1 **TODD GEDAMKE:** I was going to ask the -- You also were
2 suggesting virtually no fishery and is that -- You've got those
3 zero values and those seem like they're anomalies, based on
4 valid, bounded runs or combinations. Was there any way of
5 filtering those out?
6

7 **MEAGHAN BRYAN:** I probably should have. Yes, I created that
8 figure last night, but I did look at the -- We did look at the
9 data and I have it, but there were a number -- When you looked
10 at the results, there were still a number that were not at that
11 bound, that were just very low estimates, low estimates of Z, or
12 total mortality, but when you compared it to the derivation of F
13 from mortality, the derived value of natural mortality, it was
14 so high. The estimates of natural mortality were really high
15 compared to Z in the majority of the cases for queen
16 triggerfish.
17

18 **TODD GEDAMKE:** The bounding alone on so many of those runs would
19 suggest to me a misspecification of parameters, input
20 parameters, but that's the same life history problem that we've
21 been faced with before.
22

23 **MEAGHAN BRYAN:** Right and I think too with the two -- You
24 usually think of a negative correlation between the asymptotic
25 length and the growth parameter and you can't tell what should
26 be the higher bound for the asymptotic length, because that
27 relationship wasn't obvious from those two studies. The L
28 infinity was really similar with very different growth
29 coefficients.
30

31 **MICHAEL SISSENWINE:** That's an issue, as to whether all of those
32 frequencies or the histogram down at zero is real or not. Even
33 beyond that, I do think the issue that -- Because of the
34 discarding of large fish and therefore, the overestimation of Z,
35 it creates a problem in terms of confidence in the signal, the F
36 over Z.
37

38 **TODD GEDAMKE:** Unless I'm flipping this around in my head
39 though, that will lead to an increased estimate of F.
40

41 **MICHAEL SISSENWINE:** Your estimate of M comes from -- It's
42 input.
43

44 **TODD GEDAMKE:** It's input and so it's coming from your K and so
45 your Z is going to be derived by this --
46

47 **MICHAEL SISSENWINE:** You're getting an overestimate of F.
48

1 **TODD GEDAMKE:** Yes, which is not being I guess reflected in that
2 histogram. Let me ask you a question.
3

4 **RICHARD APPELDOORN:** We'll have to change the ratio anyway and
5 so we're overestimating Z, which then will lead to an
6 overestimate of F and the ratio is not really changing.
7

8 **MICHAEL SISSENWINE:** We have a bias resulting in an
9 overestimation of our probability of overfishing. My concern at
10 first was just the opposite, but since the M is input, we're
11 going to overestimate the probability of overfishing, which
12 seems strange, because these results seem to show the
13 probability is very low. That must mean it's really, really
14 low.
15

16 **JORGE GARCIA-SAIS:** It's pretty much intuitive, because queen
17 triggerfish is a prized fish in the USVI. They call it the ole
18 wife and they actually target it very much and not so much in
19 Puerto Rico. It's like a second-class fish, but in the USVI, as
20 far as I know, it's a prized fish.
21

22 **BARBARA KOJIS:** But it's prized within a certain size range and
23 even though it's bycatch, bycatch mortality, I believe from the
24 bycatch studies that were done, they indicated that mortality of
25 that was pretty low, from what their observations were when they
26 first released it anyway. If they're releasing large fish,
27 they're probably fairly protected from predation on the way down
28 as well.
29

30 **RICHARD APPELDOORN:** The question was do any fish survive the
31 gauntlet to get to that size and at the analysis itself, the
32 fishermen were showing pictures of giant, I mean really giant,
33 fish that were -- Clearly there's a spawning stock out there.
34

35 **JORGE GARCIA-SAIS:** Yes, but not as giant as the seventy-six
36 centimeters for Puerto Rico. That's a yard. It must weigh at
37 least seventy pounds.
38

39 **TODD GEDAMKE:** I was just wondering if you had looked at any of
40 the snapshots from the St. Croix survey for blue tang or queen
41 trigger to groundtruth.
42

43 **MEAGHAN BRYAN:** Yes, I did, which is another presentation. Do
44 you want me to --
45

46 **TODD GEDAMKE:** No, my question there is that I'm starting to --
47 I guess I'm thinking about input parameters being problematic
48 and at least they don't have any of the behavioral -- You have a

1 trap and so you may have a dome-shaped selectivity on that. You
2 may have the same sort of problem that's not behaviorally
3 driven, but those larger individuals, or at least more of the
4 individuals, should be present in that survey.

5

6 **MEAGHAN BRYAN:** I would have to look at that.

7

8 **TODD GEDAMKE:** I'm just saying if you did a Beverton-Holt, which
9 more or less is what that is right there, given the snapshot
10 from the survey, and you plug the life history parameters into
11 that and you came out with an estimate of total mortality of
12 0.06, you know that your life history parameters -- It would add
13 another suspicion to your input life history parameters.

14

15 **MEAGHAN BRYAN:** I agree.

16

17 **TODD GEDAMKE:** I don't think you can get that much out of it,
18 but it's going to give you a little bit of insight as to whether
19 -- I just looked at a couple of values on the first one and I
20 thought the input parameters --

21

22 **MEAGHAN BRYAN:** It looks pretty problematic for this analysis.

23

24 **BARBARA KOJIS:** Are you going to be covering the size on the
25 onset of reproduction, given the size of catch, as part of the
26 discussion?

27

28 **MEAGHAN BRYAN:** We didn't talk about that, but we didn't come
29 across many estimates of age at maturity, if I recall. I would
30 have to look at the life history paper to make sure, but I don't
31 think --

32

33 **JULIE NEER:** I don't think there was much discussion at all on
34 that.

35

36 **MEAGHAN BRYAN:** No, we didn't talk about the age at maturity at
37 all.

38

39 **BARBARA KOJIS:** I read the life history paper and it was not
40 very comprehensive it seemed, in terms of -- Now, maybe the
41 literature is not out there, but I know Robertson looked at size
42 at maturity or I believe they looked at size at maturity.

43

44 **MEAGHAN BRYAN:** I think that was more age and growth for that
45 paper. The person that did the life history, she really delved
46 in. She spent a while trying to find studies that had life
47 history for these species, because after SEDAR-26, we realized
48 that we needed to get an early start and really try to find

1 something and she was having a hard time finding any published
2 literature on the life history of these species.
3
4 **GRACIELA GARCIA-MOLINER:** Of course, after the fact, there is
5 going to be someone who is going to be doing a study on I
6 believe age of queen trigger.
7
8 **MEAGHAN BRYAN:** Really? I am across a MARFIN proposal. Was it
9 funded?
10
11 **GRACIELA GARCIA-MOLINER:** I have a note in my office saying that
12 I have to call someone regarding that research.
13
14 **BARBARA KOJIS:** I just looked at FishBase for blue tang and it
15 came up with thirteen centimeters.
16
17 **MEAGHAN BRYAN:** Yes and I mean we always start with FishBase to
18 get an idea of what's out there and if we can't find the
19 literature, then we don't report FishBase. We don't consider
20 FishBase as parameter estimates, just because we can't verify.
21
22 **JULIE NEER:** It was the same with the other report and for queen
23 trigger, she cited one paper from 1975 regarding reproduction
24 and it basically just said that they had ripe gonads in Jamaica
25 during all months except April and June, but no size information
26 and then blue tang, she cited I think three different studies
27 from 1988, 1975, and 1984, but the only thing she talked about
28 was when spawning was suggested to occur, but there was no size
29 information associated from the studies she found.
30
31 **BARBARA KOJIS:** I think that was probably Munro and I would like
32 to look at that and see, because they usually have size at onset
33 of reproduction in that, but they may not have.
34
35 **RICHARD APPELDOORN:** Not if all the fish were large enough to be
36 mature. If all the fish were large enough to begin with, you
37 wouldn't catch the onset.
38
39 **GRACIELA GARCIA-MOLINER:** There is an older collection of papers
40 on the exploration around Jamaica.
41
42 **JULIE NEER:** That was the paper cited from 1975. That was the
43 Jamaica paper from 1975.
44
45 **BARBARA KOJIS:** Was that Munro?
46
47 **MEAGHAN BRYAN:** Aiken.
48

1 **BARBARA KOJIS:** Aiken became Munro though. They did that whole
2 thing and gave good summaries of at least some species for
3 Jamaica. My understanding from surgeonfish is that they grow
4 rapidly and start reproducing very young, at maybe seven month
5 for some species anyway, and then reach their maximum maturity
6 at maybe four years or something like that and then stay about
7 the same size the rest of their --
8

9 **MEAGHAN BRYAN:** They reach their asymptotic length very quickly
10 and over a wide range of ages and I guess I didn't mention that,
11 but we did talk about that issue at the workshop and how that
12 may -- How a length-based estimator for blue tang might not be
13 as appropriate as if we had catch to age information. That
14 might be more appropriate to use in an assessment for blue tang.
15 I should have mentioned that earlier.
16

17 Just moving on to St. Croix, this is just the individual run
18 using the parameter estimate from the Caribbean study, where a
19 change in total mortality was predicted in 1985 and total
20 mortality was predicted to increase.
21

22 You can see from this that the sample size kind of peters out a
23 bit after 1990 or so. It's variable anyway over time in the
24 later years in St. Croix.
25

26 **TODD GEDAMKE:** Meaghan, just a gut response on this. I'm
27 looking at that and you've got a 0.7 to 1.0 and you've got a
28 drop of one-centimeter driving that. I was actually reading the
29 first as 0.07 and so it's not changing that much.
30

31 **BARBARA KOJIS:** It's not changing that much, but it's quite
32 different from St. Thomas. The lengths on St. Thomas were
33 thirty-seven and so --
34

35 **MEAGHAN BRYAN:** Yes, they're smaller, on average.
36

37 **TODD GEDAMKE:** Is the Lc the same?
38

39 **MEAGHAN BRYAN:** This is twenty-eight centimeters and I think on
40 St. Thomas it was thirty-four.
41

42 **TODD GEDAMKE:** There's your difference right there. The
43 difference is the Lc selection and so it's selectivity of the
44 years.
45

46 **JULIE NEER:** St. Croix fishermen are taking smaller fish. They
47 don't get the sizes that -- They get much smaller fish than St.
48 Thomas fishermen and that's why they don't discard, because they

1 don't get the big ones that they need to discard, whereas just
2 the St. Thomas guys get the big ones and the Puerto Rico guys
3 have a market for the large fish so that they don't have to
4 discard.

5
6 **BARBARA KOJIS:** One of the reasons probably for that is that the
7 St. Thomas fishermen have a much larger shelf area and it's a
8 deeper area and they're fishing the shelf edge and the shelf
9 edge area, possibly because it hasn't been fished as much, just
10 because of the depth and so on, they probably have larger fish
11 out there and that's what you're catching, whereas on St. Croix,
12 the shelf edge is only about eighty feet deep and so they're out
13 there fishing that whole area and generally the smaller fish
14 tend to be in the shallower water, probably ninety feet,
15 possibly because that's where the highest fishing pressure is.

16
17 **RICHARD APPELDOORN:** You're saying that the smaller size in
18 queen triggerfish is St. Croix is because of higher fishing
19 pressure?

20
21 **BARBARA KOJIS:** It's possible, across the whole shelf.

22
23 **MEAGHAN BRYAN:** They're starting off in St. Croix, at the
24 beginning of the time series, with smaller queen triggerfish
25 than in St. Thomas and so, given that we don't know what the
26 fishery was like, they could have been fished -- Their size had
27 been fished down prior to what we actually are observing, as
28 compared to St. Thomas.

29
30 **TODD GEDAMKE:** The way I heard what you said was that in St.
31 Thomas, they're not getting the small fish.

32
33 **MEAGHAN BRYAN:** In St. Croix they're not getting the big ones.

34
35 **RICHARD APPELDOORN:** Is the selectivity actually different with
36 markets and that St. Croix actually wants a smaller sized fish
37 and so their selectivity on the large size is different?

38
39 **MEAGHAN BRYAN:** The fishermen from St. Croix -- I think he said
40 they keep whatever.

41
42 **JULIE NEER:** They keep everything.

43
44 **MEAGHAN BRYAN:** They didn't indicate that they were highly
45 selective in terms of size for queen triggerfish, whereas St.
46 Thomas, they just talked about that upper bound and maybe
47 there's a lower size, but I don't know. They didn't mention
48 anything like that.

1
2 **BARBARA KOJIS:** It could be habitat differences and it could be
3 fishing pressure differences, because certainly habitat is --
4 Maybe the big queen triggerfish in St. Croix are down at depths
5 of 200 feet or 150 feet and they're not being fished.
6
7 **MEAGHAN BRYAN:** Which actually means that there's like a de
8 facto marine protected area.
9
10 **GRACIELA GARCIA-MOLINER:** I have a question for Reni. Do you
11 see any queen triggers in Lang Bank during your dives?
12
13 **JORGE GARCIA-SAIS:** In Lang Bank, not many, because queen
14 trigger -- Where we find queen triggerfish to be a common member
15 of the community there is in the regolith reefs and in Lang
16 Bank, although we thought that we were going to find regolith
17 reef there, we did not.
18
19 We actually -- The main habitats we found in Lang Bank were
20 coral reefs, very well developed full coral reefs, and colonized
21 pavement habitats of different kind of slopes, but we have not
22 yet found any regolith reef habitats, for which queen
23 triggerfish is one of the top predators, to say it like that.
24 We did not find a lot of queen triggerfish in Lang Bank, we did
25 not. I recall that we have seen some, but not as abundant and
26 as common as when you reach a regolith reef habitat.
27
28 **BARBARA KOJIS:** In St. Thomas, there is extensive regolith reef
29 habitat found at a hundred feet or 120 feet.
30
31 **JORGE GARCIA-SAIS:** They are extensive?
32
33 **BARBARA KOJIS:** Yes.
34
35 **JORGE GARCIA-SAIS:** Then they are there. That's where they are.
36
37 **BARBARA KOJIS:** Hundreds if not thousands of acres of regolith
38 reef habitat.
39
40 **MEAGHAN BRYAN:** They don't generally fish that deep in St. Croix
41 is what you're saying?
42
43 **BARBARA KOJIS:** No, because it's off the shelf edge and they may
44 go off the shelf, but it wouldn't have been -- In St. Thomas,
45 you've got a more gradual shelf area that goes down and goes
46 fairly rapidly to eighty or ninety feet and then certainly
47 around a hundred feet, you've got regolith habitat and there is
48 an area that Fish and Wildlife has as a place where you can put

1 ships and stuff like that under for artificial reef area.
2
3 It's permitted and we dive that area and dive the ships and
4 they're all see in regolith habitat and that's an area of a
5 couple hundred acres and I imagine that that -- I have seen that
6 sort of habitat when I have dived elsewhere and so I imagine
7 that that probably extends -- It's an extensive area around St.
8 Thomas. If Reni is right that that's a preferred habitat for
9 queen triggerfish, that may be why you end up with a larger
10 size.
11
12 **MEAGHAN BRYAN:** Then you have dome-shaped selectivity then and
13 because they're not -- It drops off and those larger, older fish
14 are not being fished and that's what you're saying?
15
16 **BARBARA KOJIS:** Possibly. I don't think there's probably much
17 regolith habitat on the St. Croix shelf edge. It slopes down
18 some and regolith kind of likes a flattened area and I don't
19 know how much of that is available.
20
21 **JORGE GARCIA-SAIS:** One of the main problems with the
22 triggerfish, which I actually talk about this in my fishery
23 independent survey report, is that those things are attracted to
24 divers. As soon as you hit the bottom, they come immediately,
25 three or four of them.
26
27 **BARBARA KOJIS:** Queen triggers.
28
29 **JORGE GARCIA-SAIS:** They come to you and it's very hard to make
30 an assessment of their real densities and so I talk about this
31 in the report.
32
33 **BARBARA KOJIS:** It's a curious fish.
34
35 **JORGE GARCIA-SAIS:** They feed upon disturbances in the bottom
36 and so as soon as somebody hits the bottom, they immediately
37 come.
38
39 **MEAGHAN BRYAN:** Just to proceed with getting through this, the
40 majority of sensitivity results did predict a change in total
41 mortality for queen triggerfish in St. Croix and, in general,
42 that change was predicted to be in 1985 or 1986 and so very
43 early in the time series.
44
45 The bottom of this table got cut off, but this is just showing
46 you the percent change in total mortality, given the parameter
47 combinations that were used and the percent change increased
48 between like say 40 to 80 percent and, in general, again, it's

1 sometime in the early 1980s.
2
3 Then this is just the comparison of the resulting fishing
4 mortality estimates from the total mortality estimates and
5 natural mortality and so, in general, it does seem like, given
6 the natural mortality estimators that were considered, this
7 figure is aggregated across all of the uncertainty in life
8 history and our uncertainty of natural mortality, because all of
9 the natural mortality estimators are aggregated into this
10 histogram.
11
12 In terms of probability of potentially overfishing, it is higher
13 in St. Croix for queen triggerfish than in St. Thomas, but,
14 again, it varied depending upon the life history parameters and,
15 in turn, your natural mortality estimators and what they were
16 relying on.
17
18 In the end, we walked away with not having a clear description
19 of whether or not blue tang or queen triggerfish were
20 experiencing overfishing across the platforms.
21
22 **BARBARA KOJIS:** Was triggerfish the one where you had Brazil and
23 then Puerto Rico and the Virgin Islands?
24
25 **MEAGHAN BRYAN:** Yes.
26
27 **BARBARA KOJIS:** Did you do this just for the Puerto Rico and
28 Virgin Islands?
29
30 **MEAGHAN BRYAN:** This is the sensitivity and so it's a wide
31 range.
32
33 **BARBARA KOJIS:** I realize it's all of it, but I'm looking at
34 this and I'm going -- If you look at $F 0.1$ for F over M , and you
35 go up with 1, then you've got about a 60 percent chance of
36 overfishing, right?
37
38 **MEAGHAN BRYAN:** Yes.
39
40 **BARBARA KOJIS:** That's leading to a fairly high probability of
41 overfishing, more than 50 percent, but is that based on the fact
42 that -- How would the Brazil -- Where would the Brazil
43 parameters come into that as far as the sensitivity? Would they
44 be on the zero to one?
45
46 **MEAGHAN BRYAN:** Let me go back, because I want to see which one
47 had the higher estimate of K . Brazil had a low estimate of K
48 and so it would have a lower M , natural mortality, associated

1 with it and so it would have a higher F.
2
3 0.3, that's going to have a higher K and a higher M and so when
4 you subtract that M from the total mortality, you're going to
5 have a lower F and so in terms of that ratio, that Brazil
6 estimate would be a combination of -- Would it have a higher
7 ratio then too? Yes, it would have a higher ratio. Whereas if
8 you only used the estimates from the U.S. Caribbean, it would
9 have a lower ratio, yes.
10
11 **BARBARA KOJIS:** You do all the sensitivities and you come up
12 with something like this, but I would think that you would put a
13 graph together just using the most logical data, the PR and USVI
14 data, and see what you would come up with.
15
16 **MEAGHAN BRYAN:** You would get one estimate of F and M then.
17
18 **BARBARA KOJIS:** Yes, right.
19
20 **JULIE NEER:** It's just one point.
21
22 **MEAGHAN BRYAN:** What are you asking to compare it to?
23
24 **BARBARA KOJIS:** I am just comparing it to what percentage of
25 possibly the majority of the percentage, cumulative percentage,
26 of all the fishing here is based on the Brazil data and so we're
27 looking at this and what decision would an SSC make regarding
28 overfishing of queen trigger on St. Croix, based on this graph
29 and the information that knowing that this graph is based on
30 Brazil and Virgin Islands data? Maybe I am going off into a
31 tangent here, but --
32
33 **MEAGHAN BRYAN:** The range, the sensitivity range, was developed
34 from the U.S. Caribbean, but it ends up incorporating Brazil
35 because we had to look over a wide range, because we don't have
36 a clearly defined relationship. Were there any other questions
37 about any of this? Okay. Just some general conclusions were
38 that --
39
40 **RICHARD APPELDOORN:** Since I had to go out, was there a similar
41 graph for St. Thomas and St. John or we just decided because
42 that was selection that --
43
44 **MEAGHAN BRYAN:** There it is. It's a really low chance. The
45 main conclusions from the assessment workshop for blue tang --
46 We didn't do an analysis for Puerto Rico and so there is nothing
47 to conclude.
48

1 In St. Thomas/St. John, the results from the mean length
2 estimator suggests that total mortality may have increased, but
3 the year of change and magnitude of change was variable among
4 the sensitivity runs and there was some uncertainty about
5 whether fishing mortality was actually higher than natural
6 mortality, given the range of life history parameters that we
7 used in the natural mortality estimators, but annual length
8 frequency data have been relatively stable over the time series
9 and so we couldn't make a clear conclusion about whether or not
10 overfishing was occurring.

11
12 In St. Croix, the results suggest that total mortality may have
13 increased in 1983, again, but the results were highly variable
14 depending on the input parameters. There was just, in general,
15 uncertainty for all of the analyses. There was uncertainty
16 about whether fishing mortality was actually higher than what we
17 were using as our proxy at the workshop for FMSY, which was
18 natural mortality. Again, the length frequency data was very
19 stable over the time period that we looked at.

20
21 **MICHAEL SISSENWINE:** On the graph you showed, how could you
22 expect to be more certain about overfishing not occurring in St.
23 Croix?

24
25 **MEAGHAN BRYAN:** For blue tang?

26
27 **MICHAEL SISSENWINE:** Was it the one that showed there was very
28 low probability? Maybe I'm in the wrong graph. It's not
29 absolutely certain, but how could you expect to be any more
30 conclusive?

31
32 **MEAGHAN BRYAN:** I don't know. I think that statement was being
33 made just because there was so much uncertainty about the life
34 history parameters and everything that we did was reliant on
35 every derivation of every parameter that we were considering was
36 based on that von Bertalanffy growth parameter, the decision for
37 what the input for the von Bertalanffy growth parameter was or
38 coefficient.

39
40 **MICHAEL SISSENWINE:** But isn't that reflected in this range of
41 outcomes?

42
43 **MEAGHAN BRYAN:** Yes, that's true.

44
45 **MICHAEL SISSENWINE:** That's the sensitivity for those inputs.

46
47 **MEAGHAN BRYAN:** Yes, that's true. I think that also the
48 uncertainty comes from if you were to look at -- Yes, this does

1 incorporate the uncertainties to the natural mortality
2 estimators, but if you look at the individual natural mortality
3 estimators, one -- If you use natural mortality estimators
4 reliant on maximum age, rather than the von Bertalanffy growth
5 parameters, you get a different story than what you would if you
6 only relied on life history invariant relationships for natural
7 mortality.

8
9 **MICHAEL SISSENWINE:** This is also the one where we said because
10 of the discarding the large fish --

11
12 **MEAGHAN BRYAN:** No, that's queen triggerfish, but for blue tang,
13 the growth relationship to -- It erodes at a very early age,
14 given the life span or expected life span, and so there was
15 concern that the length data doesn't adequately reflect changes
16 in mortality or mortality of the species and that it would be
17 better to use age-based methods, but we just don't have any
18 catch at age information for blue tang.

19
20 I think we already talked about these final conclusions and then
21 the main conclusions for queen triggerfish -- The results from
22 the length analysis suggest that total mortality declined some
23 time in 1998 or 1999, which was associated with an increase in
24 mean length.

25
26 I meant to take this out, because this is something that was a
27 discussion point at the assessment workshop, but given the
28 discussions with the fishermen, we don't think that there's
29 expansion into relatively unfished areas and so this increase in
30 mean length is what they do to a reduction in mortality rather
31 than expansion to fishing areas that have been relatively
32 unfished, but it would be nice to have detailed spatial catch
33 data to verify this, but we just don't have that.

34
35 In St. Thomas, we didn't predict a change in total mortality and
36 there were issues with our assumption of selectivity being
37 versus knife edge versus maybe double knife edge, given the
38 selectivity patterns from the fishermen. It makes it difficult
39 to interpret the absolute mortality estimates.

40
41 As we discussed earlier, as Todd brought up, because there were
42 bounding -- A lot of those sensitivity results did run into
43 bounds and maybe the life history parameters are not considered
44 reflective of queen triggerfish. The life history parameters
45 that we used for the analysis might not reflect the life history
46 of queen triggerfish.

47
48 **BARBARA KOJIS:** You may want to make sure that when you put that

1 up, if this is going to be a presentation someplace else, that
2 you separate out St. Croix from that industry representatives,
3 because that just applies to St. Thomas and St. John.
4
5 **MEAGHAN BRYAN:** You're right.
6
7 **JORGE GARCIA-SAIS:** Meaghan, have you considered what's the
8 maximum reported size of queen trigger for the Caribbean, the
9 USVI?
10
11 **MEAGHAN BRYAN:** What's the asymptotic length?
12
13 **JORGE GARCIA-SAIS:** Yes, because at forty-five centimeters, that
14 size fish in the water, someone should -- My opinion is that
15 forty-five centimeters must be pretty close to the maximum size
16 of the fish. If they throw fishes out larger than forty-five
17 centimeters, they are throwing just the huge ones. Forty-five
18 centimeters is an adult fish, certainly. It must be way above
19 its size at first reproduction to start with and it's probably a
20 pretty large fish. It's not a gigantic one, but it's large.
21
22 **MEAGHAN BRYAN:** The length frequency data from TIP, if you
23 remember what I showed for Puerto Rico, there were fish that
24 were sixty centimeters, sixty-two centimeters. Do you think
25 those are all outliers? The fishermen said that they've seen
26 them.
27
28 **JORGE GARCIA-SAIS:** I have never seen a sixty-centimeter
29 triggerfish in the water. I have seen thousands of them and
30 it's like --
31
32 **GRACIELA GARCIA-MOLINER:** But you also have a variation in the
33 depths that you're fishing, that you're sizing fish.
34
35 **JORGE GARCIA-SAIS:** Yes, but you don't see many triggerfish
36 below 165 feet. It's not like --
37
38 **MEAGHAN BRYAN:** They did share those photos. I remember looking
39 at the photos and they were showing -- Granted, it was hard to
40 tell, but --
41
42 **JORGE GARCIA-SAIS:** A forty-five centimeter -- My point is I
43 don't know what's the biggest triggerfish ever caught, but my
44 point is that a forty-five-centimeter triggerfish, it's a large
45 adult fish for that species.
46
47 **RICHARD APPELDOORN:** The selection is occurring actually below
48 forty, because by forty, you've pretty much eliminated --

1 There's a few that get a little larger, but --
2
3 **MEAGHAN BRYAN:** The length at full vulnerability for St. Thomas
4 was I think thirty-four centimeters and then in St. Croix, it
5 was like twenty-eight and twenty-nine in --
6
7 **BARBARA KOJIS:** Those were both in traps.
8
9 **MEAGHAN BRYAN:** Yes, they were all traps and in Puerto Rico, it
10 was about twenty-nine centimeters.
11
12 **JORGE GARCIA-SAIS:** Are we talking fork length?
13
14 **MEAGHAN BRYAN:** Yes.
15
16 **JORGE GARCIA-SAIS:** This is about a sixty-centimeter triggerfish
17 and this is huge. This fish must weigh at least fifteen to
18 twenty pounds and that's not even talk about the --
19
20 **TODD GEDAMKE:** Reni, what's your concern?
21
22 **JORGE GARCIA-SAIS:** My concern is that the lack of individuals
23 larger than forty-five centimeters be in some way limiting the
24 analysis and one of the conclusions is that because those larger
25 fish are thrown away that it's difficult to conclude about the
26 mortality estimates for the population.
27
28 My point is that there shouldn't be that many that are being
29 thrown away, because I don't consider that you will find, in the
30 habitat that has been fished for years and years and years, many
31 triggerfish above forty-five centimeters.
32
33 **BARBARA KOJIS:** So you're saying it's not so much of an issue?
34
35 **JORGE GARCIA-SAIS:** It's not so much of an issue.
36
37 **MEAGHAN BRYAN:** The fishermen indicated that they were throwing
38 them back all the time and that their selectivity pattern was
39 different than what is assumed in the model. We did talk about
40 this for a while and they might be valid as they stand, but
41 there is some uncertainty, given that violation of the
42 assumption of knife edge selectivity.
43
44 **GRACIELA GARCIA-MOLINER:** Again, in St. Thomas, it's a different
45 kind of habitat. It would be really nice and you can suggest
46 that someone just go out there with them or that they check how
47 many they throw overboard over a period of time.
48

1 **BARBARA KOJIS:** They should be reporting their bycatch.
2
3 **GRACIELA GARCIA-MOLINER:** They should be reporting their
4 bycatch, that's true, but we haven't looked at the bycatch that
5 they report, have we?
6
7 **MEAGHAN BRYAN:** It would be nice to see the St. Thomas
8 Fishermen's Association trap data to see, because they're using
9 the same gear as the fishermen that were there and --
10
11 **JULIE NEER:** They were surprised we didn't have the data.
12
13 **MEAGHAN BRYAN:** So that is the analysis for blue tang and queen
14 triggerfish.
15
16 **TODD GEDAMKE:** I will just make a comment. In the summary slide
17 you have before for each one, you said they're relatively stable
18 -- When I started looking at this report, that was the first
19 thing I noticed, is you don't have much of a signal in terms of
20 mean lengths.
21
22 You don't really -- Your driving force in those increases or
23 decreases -- A couple of them were constant or at least you were
24 getting the same signal for percent increase or decrease across
25 the board, but I wouldn't put that much weight onto those, due
26 to the limited signal you have in the data.
27
28 From that, what you're really looking at is more or less
29 absolute estimates that are going to be directly linked to your
30 uncertain life history parameters and, as you indicated, getting
31 absolute values is going to be just really hard.
32
33 Just looking at the initial plots, before I even saw your write-
34 up on there, I knew you were going to have a really hard time
35 getting anything out of it and getting anything conclusive on
36 it.
37
38 **RICHARD APPELDOORN:** You're just saying the power is low because
39 the data are limited?
40
41 **TODD GEDAMKE:** I don't have the sample sizes in my head right
42 now. Blue tang are --
43
44 **RICHARD APPELDOORN:** Fairly limited is not sample size alone.
45 It is other things.
46
47 **TODD GEDAMKE:** Information content for change and like 32,000
48 fish in St. Croix for blue tang is a huge amount of fish.

1
2 **RICHARD APPELDOORN:** Right, but if they're not growing --
3
4 **TODD GEDAMKE:** Right. You've got to determine potential
5 deterministic growth and you've got this really narrow range in
6 there and getting a signal out of that is really hard. Anyway,
7 in the first part, looking at, you're really beating your head
8 against the wall on this one.
9
10 **MICHAEL SISSENWINE:** The length frequencies are stable and they
11 don't change over time. If that's true, of course, it means
12 that the evidence is that Z hasn't changed over time. That's
13 not an unimportant outcome.
14
15 **RICHARD APPELDOORN:** No, but that's not necessarily an accurate
16 outcome, because if --
17
18 **MICHAEL SISSENWINE:** If the length frequencies are a valid
19 sample of the population.
20
21 **RICHARD APPELDOORN:** If the length isn't changing as they age,
22 you're not going to be able to get the --
23
24 **BARBARA KOJIS:** You're talking about blue tang, just blue tang.
25
26 **RICHARD APPELDOORN:** This is what we were talking about.
27
28 **TODD GEDAMKE:** Blue tang is problematic for potential growth
29 patterns and also size range and so that may not be the --
30 Pinpointing, I agree, that it's not a trivial conclusion and we
31 hung our hat on that for a number of things, but pinpointing
32 where that is in relation to whether it's a high Z value or a
33 low Z value and where you started the time series is in relation
34 to virgin, that's really hard.
35
36 I will go one farther on St. Croix and I'm going to, of course,
37 push something I am involved in, but we did the trap survey on
38 St. Croix and your top three species were queen trigger and what
39 was the other one? White grunt.
40
41 **MEAGHAN BRYAN:** I see where you're going.
42
43 **TODD GEDAMKE:** Where I'm going with this is just simply from a -
44 - If you go out and you go fishing, your most abundant signal of
45 species that you're getting in St. Croix is -- These are the top
46 two of the three on the whole island and yes, snapshot during
47 one point in time is potentially --
48

1 **RICHARD APPELDOORN:** Was blue tang in that top?
2
3 **TODD GEDAMKE:** White grunt was the top, queen trigger, and then
4 blue tang.
5
6 **BARBARA KOJIS:** Blue tang has an issue associated with its
7 deterministic --
8
9 **JULIE NEER:** -- data to TIP data at the workshop, because I
10 remember that --
11
12 **TODD GEDAMKE:** You have got to go into interpretive mode on this
13 and what other sources do you have? In terms of catch per unit
14 effort, given September/October fishing in there, your greatest
15 abundance signal that came out of that is in queen trigger and
16 blue tang and white grunt.
17
18 Would I hang my hat on saying that's fantastic and don't worry
19 about these guys? I'm not sure, but I'm just making sure
20 everyone else is aware those were the top three.
21
22 **BARBARA KOJIS:** The top three species that you caught, yes.
23
24 **TODD GEDAMKE:** I think what Meaghan is trying to dig up is the
25 length structure from the survey.
26
27 **JULIE NEER:** Yes, because she showed this, the comparison of the
28 length structure from Todd's survey.
29
30 **BARBARA KOJIS:** Is that survey available, the report from that?
31
32 **MEAGHAN BRYAN:** A technical memo has been published of the
33 exploratory data analysis for the St. Croix trap study.
34
35 **BARBARA KOJIS:** Is it available?
36
37 **MEAGHAN BRYAN:** Yes, it is. I can send it to you and there's
38 definitely analyses in the works, which you could talk to Todd
39 about, but hopefully by the end of year, if time permits, there
40 will be more analysis done on this dataset to see what kind of
41 information could come out of it.
42
43 **TODD GEDAMKE:** My departure has left the process with less
44 working bodies and it ended up with more work on Meaghan's
45 plate.
46
47 **MEAGHAN BRYAN:** This figure shows the a comparison of the TIP
48 data from 2010 on the left, the length frequency data, to the

1 St. Croix trap survey for that one -- I think it was September
2 and October of 2010.

3

4 **JULIE NEER:** The point is that they're not drastically
5 different.

6

7 **MEAGHAN BRYAN:** No, they're not drastically different.

8

9 **TODD GEDAMKE:** It's different bin sizes and it messed me up.

10

11 **MEAGHAN BRYAN:** I thought I put them in the same. It's just the
12 starting point I think is what's throwing you.

13

14 **BARBARA KOJIS:** What was the mesh size of the traps that you
15 used? Was it two-inch or one-and-a-half inch?

16

17 **TODD GEDAMKE:** It's in the report.

18

19 **BARBARA KOJIS:** I know on St. Croix there's a lot of fishermen
20 that were using, in the past at least, 1.5-inch square mesh.

21

22 **TODD GEDAMKE:** I think we went with a bigger one, if I remember
23 correctly.

24

25 **JULIE NEER:** Meaghan, you don't have a presentation of the CIE?

26

27 **MEAGHAN BRYAN:** I don't, but we can discuss them.

28

29 **JULIE NEER:** I don't know how many want to. I didn't think you
30 had a presentation on it.

31

32 **TODD GEDAMKE:** I am just looking at comparing the two and making
33 sure they're not drastically different and then the descending
34 limb is the key.

35

36 The trap survey, you've got a much smoother step-down from those
37 bins and so in the TIP, you've got a big jump at your 200 bin,
38 which if you take that directly over to total mortality, you're
39 going to end up with a greater mortality in your TIP data than
40 the trap survey data and I don't know if that's the case or not.

41

42 The mean length was -- It's not going to mean anything until you
43 do an analysis on that, but my gut would tell me that the TIP is
44 going to have a higher mortality than the trap.

45

46 **MEAGHAN BRYAN:** This is not very pretty, but this is a
47 comparison of the TIP data to the trap survey and it does look
48 like the trap survey caught more smaller queen trigger than what

1 TIP in 2000 from St. Croix.

2
3 **TODD GEDAMKE:** Just for your own interpretive knowledge on that,
4 we used squid for logistic reasons. There are not a ton of
5 people in St. Croix that are using squid and so we may have been
6 baiting in some of the smaller fish that weren't being baited in
7 by their standard rawhide or the weeklong habitat soaks.

8
9 You may have some of your more mobile juvenile stages or smaller
10 stages of the fish that are running in and getting attracted by
11 the scent and so that may be driving the smaller individuals.

12
13 **MEAGHAN BRYAN:** I think it's hard to interpret what that
14 descending limb is for 2010.

15
16 **JULIE NEER:** I think this is one of the slides that brought up
17 the initial discussion of how --

18
19 **BARBARA KOJIS:** This is St. Croix.

20
21 **JULIE NEER:** I am sorry. I was confused.

22
23 **MEAGHAN BRYAN:** I didn't make slides of the reviewer comments,
24 but I can summarize them. There was two of the reviews that
25 suggesting extending this to use a yield per recruit analysis,
26 similar to what I did for queen and silk.

27
28 One reviewer basically was like -- In his mind, given the data
29 limitations in the Caribbean, there needs to be more of a
30 reevaluation, programmatically, in terms of what's the angle of
31 the assessments and what are the approaches that are needed to
32 get to that end goal and what are the data -- What data are
33 needed to be able to adequately assess these Caribbean species
34 to get to the endpoint, whatever that might be in terms of a
35 benchmark ACL.

36
37 Rather than continuing on with discovering these issues for
38 every species, there needs to be a reevaluation before further
39 assessments are done for species that are characterized by these
40 data limitations. I don't think that's a new idea and it's been
41 discussed by many of us, but that was the main commenter of the
42 one reviewer.

43
44 Two other reviewers did suggest delving into the literature and
45 trying to find life history parameters of species, similar
46 species, and developing a prior, some sort of prior, for the
47 life history parameters and characterize the uncertainty that
48 way and develop a sensitivity range from a wider range of

1 species, but similar species, rather than developing the range
2 based on one estimate from the Caribbean and investigating some
3 percentage above or below. That was a suggestion for future
4 assessments.

5
6 Then the application of the yield per recruit, one reviewer was
7 more cautious, saying that given the uncertainty in the life
8 history and the age at maturity, your yield per recruit analysis
9 is dependent on that and so it needs to be explored further, but
10 you could do a yield per recruit and one reviewer suggested that
11 that be done and develop reference points to evaluate whether
12 overfishing is occurring for these species, specifically queen
13 triggerfish.

14
15 **JULIE NEER:** They were all in pretty good agreement that there
16 wasn't a whole lot more that could have been done with blue
17 tang, given all the things that you guys have all talked about
18 here.

19
20 **MEAGHAN BRYAN:** One of the reviewers characterized this as more
21 take a look at what's going on in the Caribbean and formulate
22 your steps based on where you want to go and the other one was
23 like just model your way out of it, if you can.

24
25 I decided not to apply the yield per recruit approach for this,
26 because I wanted to discuss the uncertainties in the life
27 history and see if that was appropriate and if you thought that
28 was appropriate at this point.

29
30 **JULIE NEER:** I don't know if you guys got the CIE reports, if
31 they were passed along to you.

32
33 **BARBARA KOJIS:** They were.

34
35 **JORGE GARCIA-SAIS:** Meaghan, do you have TIP data for Puerto
36 Rico for queen trigger?

37
38 **MEAGHAN BRYAN:** Yes. Do you want to see them? Do you want to
39 see the annual?

40
41 **JORGE GARCIA-SAIS:** The one similar to this one.

42
43 **MEAGHAN BRYAN:** For queen trigger?

44
45 **JORGE GARCIA-SAIS:** Yes.

46
47 **MICHAEL SISSENWINE:** What is our term of reference on this?
48 We've reviewed the presentation and what are we supposed to do?

1
2 **RICHARD APPELDOORN:** Review and give our blessing or not.
3
4 **BARBARA KOJIS:** I think it was in the agenda.
5
6 **MEAGHAN BRYAN:** I have a presentation that kind of walks through
7 the terms of reference.
8
9 **JULIE NEER:** No, their charge and what they choose to do now and
10 not what you --
11
12 **MICHAEL SISSENWINE:** Are we supposed to endorse the reviewers or
13 not? This has been peer reviewed.
14
15 **RICHARD APPELDOORN:** That was my understanding and I read the
16 agenda stuff and it wasn't actually all that clear as to what we
17 were supposed to do.
18
19 **BARBARA KOJIS:** There was an explanation of the role of the SSC,
20 taken from SEDAR-30, the queen triggerfish, description of the
21 SEDAR process. The completed assessment, including the reports
22 of all three workshops and all supporting documentation, is then
23 forwarded to the council SSC for certification as appropriate
24 for management and development of specific management
25 recommendations. That was pulled out of there and Julie might
26 be able to expand on that.
27
28 **MICHAEL SISSENWINE:** There are two parts of that. One is do we
29 have anything to add to the SEDAR process? That is, do we want
30 to make some further suggestions that the reviewers didn't
31 already make or something like that. The second was are we
32 being expected to make some management recommendations based on
33 this at this meeting?
34
35 **JULIE NEER:** If you can.
36
37 **MICHAEL SISSENWINE:** Those are two very different things.
38
39 **JULIE NEER:** Normally what happens is this. Normally you get an
40 assessment -- Up in the Gulf and the South Atlantic, you get the
41 assessment report and you get the report and you get a
42 presentation.
43
44 The SSCs then have discussions amongst themselves and they can
45 decide whether they are happy with the assessment they have in
46 front of them or whether they would like to see additional runs
47 or additional sensitivities or stuff like that done.
48

1 If they are happy with what they have, then they usually have a
2 discussion of whether they certify it. The South Atlantic is by
3 consensus and in the Gulf, it's by votes. It's whether this
4 provides scientific advice that's useful for management and
5 that's step one.

6
7 Then step two becomes we have this assessment and what's our
8 ABC? Can we use this to help develop or change or modify our
9 ABC, in your case? Is it going to make you want to change what
10 you had before?

11
12 If you want additional sensitivities run, usually then it has to
13 come back at the next SSC meeting with the new runs and then you
14 say now we're happy and now we'll make our ABC determinations,
15 if you want to change them.

16
17 Basically, it's whether you think this -- Is there anything more
18 they could have done, that Meaghan could have done, that you
19 would like to see done? That's the first question and the
20 second question is, if not, is this useful for you and do you
21 want to change your ABC recommendations, since you already have
22 them currently on the books?

23
24 **GRACIELA GARCIA-MOLINER:** Also, in terms of the advice to the
25 council and from the council up to NMFS, et cetera, what kind of
26 additional information -- Where should they be looking to add
27 information to this process so that we can improve? I keep
28 writing down age and growth and I added all the other species
29 that we looked at.

30
31 **MEAGHAN BRYAN:** Also, in that respect, you have to think about
32 what kind of assessments do you want and what data will be
33 important for that assessment.

34
35 **JULIE NEER:** That one reviewer pointed out if the SSC as a whole
36 thinks -- Meaghan did the best that she could, but it's still
37 not all that helpful for you guys in perhaps changing the way
38 your ABCs are given now and do you think it's wise that we
39 continue to trundle down this track of doing this over and over
40 and over again if it's not going to be of use to you or do you
41 think we should step back programmatically and try and figure
42 something else out?

43
44 There are SEDARs on the schedule for this coming year and the
45 next year and the following year and I don't think anyone wants
46 to do them if you don't find them useful, but if you say we
47 should stop --

48

1 **GRACIELA GARCIA-MOLINER:** For example, we still are missing
2 fishery-independent surveys for this area. There are a couple
3 of old reports that can be pulled out from NOAA and so I've been
4 thinking about the deeper water surveys that would kind of fit
5 around the islands.

6
7 There is additional things that can be done. If the fishermen
8 are truncating the catch, it's because they don't have a way to
9 sell them or something and is there any suggestions from the
10 social and cultural aspect that we need to look at and does that
11 apply to many other species and things like that.

12
13 **BARBARA KOJIS:** It's obvious that most of these analyses are
14 really thwarted by not having age and growth information that
15 people are confident of that will apply locally and that has to
16 be one of the big focuses.

17
18 **GRACIELA GARCIA-MOLINER:** We can just say in the number of
19 individuals that you have in your TIP data and the data that you
20 need to add age and growth to that.

21
22 **BARBARA KOJIS:** Age and growth and then making sure that you
23 have adequate TIP samples and that they're randomly done and
24 taking as much as possible. It may be that those are very
25 important things, but let's -- Maybe we should take a break.
26 It's twelve o'clock and maybe we should take a break. Mike is
27 heading off at three o'clock and so I would like to have a fast
28 lunch. How fast do you think you can get lunch done? Do you
29 need an hour?

30
31 **WALTER KEITHLY:** Two hours.

32
33 **BARBARA KOJIS:** Two hours? Can you be back by one o'clock then?
34 Two hours should be enough to pretty much, I would think, go and
35 review this and come up with conclusions.

36
37 **MICHAEL SISSEWINE:** The conclusions about this I guess probably
38 we can come up with, but what we recommend in management -- You
39 mentioned how it would be handled in the South Atlantic or the
40 Gulf. In the Northeast, the result of a SARC, which is the
41 equivalent, would go to something called a plan development
42 team, who would then come up with ideas about what should be
43 done and then bring those to the SSC, asking whether we think
44 they're based on sound science.

45
46 **JULIE NEER:** Yes, that's the management options part. We have
47 that in the South Atlantic and the Gulf too, but it's whether
48 you guys think you can use this to -- Is this what you want to

1 do to modify your ABC schedule?
2
3 **MICHAEL SISSENWINE:** Most ABCs are based on an ABC control rule,
4 which is management responsibility and not an SSC.
5
6 **BARBARA KOJIS:** Yes, it is the SSC.
7
8 **JULIE NEER:** Yes, the SSC develops the ABC control rule and the
9 management certifies it.
10
11 **MICHAEL SISSENWINE:** There is an ABC control rule. Who
12 originates it is totally the prerogative of whatever the -- If
13 in fact the council was asking the SSC for advice on ABC control
14 rules, that would be a -- That's a legitimate request, but
15 that's not what is on our agenda.
16
17 **GRACIELA GARCIA-MOLINER:** The information that comes out of here
18 and the recommendations, we are working on an island-specific
19 FMP and, for example, the big difference between the blue tang
20 and the queen trigger among the islands and things like that,
21 that would be brought up to the IPT to talk about and see how
22 that fits and then go back to the council to see how that fits
23 into the island-specific FMPs. In that sense, we are taking
24 that step.
25
26 **JULIE NEER:** It's the same thing.
27
28 **MICHAEL SISSENWINE:** What is the current control rule for ABC
29 for these species?
30
31 **JULIE NEER:** That's what I asked yesterday and the council
32 apparently doesn't have one.
33
34 **MICHAEL SISSENWINE:** So that's the point. We recommend an ABC
35 within the framework of the ABC control rule and, again, it
36 would be fair enough for the council to ask the SSC to be part
37 of a process that developed ABC control rules, but that isn't
38 what was on our agenda.
39
40 **MEAGHAN BRYAN:** But that's kind of what we were presenting
41 yesterday to consider.
42
43 **MICHAEL SISSENWINE:** No, that's a harvest control rule.
44
45 **MEAGHAN BRYAN:** Yes, we're missing an ABC control rule. That's
46 true. I am sorry.
47
48 **MICHAEL SISSENWINE:** That's a useful process and it's part of

1 it, but it's not all of it.
2
3 **JULIE NEER:** You have an ABC control rule now, which essentially
4 is --
5
6 **MICHAEL SISSENWINE:** What is it?
7
8 **JULIE NEER:** Essentially, ex facto, your control rule is you
9 have an MSY proxy, which is your average landings. Your OFL
10 equals your ABC, which both equal your MSY proxy. That is what
11 the council has used to come up with -- That is, by default,
12 currently your ABC control rule and then the council then, at
13 their stage, would then come up with their ACLs as done by
14 whatever percentage based on --
15
16 **MICHAEL SISSENWINE:** So our control rule is average landings and
17 we haven't been presented anything that says anything different
18 about average landings and so we have no basis for saying any
19 different.
20
21 **JULIE NEER:** That's exactly the kind of advice that --
22
23 **MICHAEL SISSENWINE:** In that context then, what difference did
24 the assessment make?
25
26 **JULIE NEER:** That's the next question, which is the broader
27 question of whether these are a worthwhile process for the
28 Science Center to continue to go down the path here to continue
29 to organize and you to consider the reviewing.
30
31 **MICHAEL SISSENWINE:** I don't think they're worthwhile if the
32 process is bound by using management based on some three or
33 four-year-old estimate of what catch might have been that nobody
34 believes.
35
36 They would be extremely useful if in fact there was some
37 management that fit the available knowledge of whether it's
38 overfished or not or do we have an ABC control rule that's
39 geared towards coming up with a catch level, because that's what
40 the management plan has to have a catch level to specify an ACL.
41
42 I guess the relevance of these assessments is if they show
43 things are overfished, then the catch level ought to be lower
44 than some average. If they're not, then it should be at or
45 maybe higher if it showed that it's nowhere near overfished. An
46 ABC control rule would basically say not only that you use
47 average catch, but how you would use it.
48

1 **JULIE NEER:** I would agree that the ABC control rule that's
2 currently what seems to be in place here in the Caribbean is
3 perhaps not --

4
5 **MICHAEL SISSENWINE:** It could use this sort of information, but
6 it doesn't and so maybe that's what our recommendation is, is
7 knowing whether the stock is overfished or not is obviously
8 priority information and that's what this sort of assessment is
9 giving us at least some information about, even if it isn't --

10
11 **MEAGHAN BRYAN:** It's not giving abundance information. It's
12 overfishing.

13
14 **MICHAEL SISSENWINE:** I'm sorry. Overfishing. The wrong jargon.
15 In the F context, which that should be a foundation of a fishery
16 management plan.

17
18 **JULIE NEER:** I think comments like what you've just said --

19
20 **MICHAEL SISSENWINE:** We ought to have an ABC control rule that
21 basically builds off of that knowledge and then these
22 assessments become very valuable.

23
24 **JULIE NEER:** I think comments about those sort of things are
25 important to pass up to the council.

26
27 **BARBARA KOJIS:** Let's go to lunch and we can discuss this
28 afterwards.

29
30 (Whereupon, the meeting recessed for lunch on June 20, 2013.)

31
32 - - -

33
34 June 20, 2013

35
36 THURSDAY AFTERNOON SESSION

37
38 - - -

39
40 The Scientific and Statistical Committee of the Caribbean
41 Fishery Management Council reconvened at the CFMC Headquarters,
42 San Juan, Puerto Rico, Thursday afternoon, June 20, 2013, and
43 was called to order at 1:00 o'clock p.m. by Chairman Barbara
44 Kojis.

45
46 **BARBARA KOJIS:** Good afternoon, everybody. I would like to
47 reconvene the SSC meeting for the afternoon. Thanks, Meaghan,
48 for giving us a summary of what was happening with the SEDAR-30.

1 I believe we have discussed the types of advice that the CFMC
2 would like to get from the SSC, which includes certify if the
3 report provides scientific advice that is useful for management
4 and probably outline what sort of advice that is.

5
6 Is there anything in the report that is useful for changing the
7 ABC? Then is there any additional information that will be
8 required in the further assessment of the -- Information in
9 further assessment for these two species that is needed -- Any
10 further information that might be needed or useful for further
11 assessment of these species that could improve the process. I
12 think those are the three areas that we really need to discuss.

13
14 I guess we could start with the certification, if there's
15 scientific advice available in this report that's useful for
16 management.

17
18 **RICHARD APPELDOORN:** Do we need to make a statement that we
19 endorse the analyses that were done and think that that was a
20 valid process as a first step before whatever we say about
21 management?

22
23 **BARBARA KOJIS:** Certainly.

24
25 **RICHARD APPELDOORN:** I would certainly support that, but I am
26 biased. I was part of the -- Well, I wasn't part of the actual
27 assessment. I was part of the review.

28
29 **BARBARA KOJIS:** I think, Richard, would you like Graciela to
30 type these up? I asked Richard to put a little report together
31 on this and he was just so amenable to doing that, but if you
32 would like, Richard, we could have Graciela type these up as we
33 go.

34
35 **RICHARD APPELDOORN:** Why not, but I will also take notes and I
36 will make sure that they coincide.

37
38 **BARBARA KOJIS:** That would be great.

39
40 **RICHARD APPELDOORN:** Do we have agreement then that we endorse
41 the process and the results or however you would phrase that?

42
43 **BARBARA KOJIS:** Would somebody like to come up with the wording?

44
45 **MICHAEL SISSEWINE:** I actually think that's it, that the SSC
46 endorses the SEDAR-30 process and results.

47
48 **BARBARA KOJIS:** The SSC endorses the process and results for the

1 SEDAR-30.
2
3 **RICHARD APPELDOORN:** The second question is are they appropriate
4 for management?
5
6 **MICHAEL SISSENWINE:** I think we ought to say that the results
7 directly address the status determination for the stock in the
8 context of fishing mortality directly and indirectly biomass,
9 because it hasn't been overfished. It has not been undergoing
10 overfishing and presumably it's not overfished, which should be
11 the fundamental consideration in the design of fisheries
12 management.
13
14 **BARBARA KOJIS:** Except for the fact that for one species, given
15 the range of sensitivities used, 60 percent of the values were
16 over --
17
18 **MICHAEL SISSENWINE:** I didn't say anything about whether the
19 results said that overfishing was occurring or not.
20
21 **RICHARD APPELDOORN:** Then what was the nuance? I know you
22 didn't say that, but I didn't catch the wording to --
23
24 **MICHAEL SISSENWINE:** I don't remember the exact wording, but
25 basically that --
26
27 **GRACIELA GARCIA-MOLINER:** The results directly address the
28 status determination for the stock, directly fishing mortality
29 and indirectly biomass.
30
31 **MICHAEL SISSENWINE:** Maybe we could make it even shorter and say
32 the results address the status of the stock, which is
33 fundamental information of how much fisheries management should
34 be based.
35
36 **BARBARA KOJIS:** Right. It certainly appears that this process
37 is useful for determining status of the stocks.
38
39 **MICHAEL SISSENWINE:** We could make that more simple I think by
40 just saying the results indicate the status of stocks which
41 should be the fundamental basis for fisheries management or such
42 information should be a fundamental basis for fisheries
43 management.
44
45 **GRACIELA GARCIA-MOLINER:** I didn't get the second part.
46
47 **MICHAEL SISSENWINE:** The results indicates the status of stocks.
48 Such information should be a fundamental basis for fisheries

1 management.

2

3 **RICHARD APPELDOORN:** I much prefer the word "address" instead of
4 "indicates", because the status is -- We're not making a status
5 statement here.

6

7 **MICHAEL SISSENWINE:** Right and the results could be inconclusive
8 and so it may not even be --

9

10 **RICHARD APPELDOORN:** Which most of them were, I felt.

11

12 **MICHAEL SISSENWINE:** The results are just as -- I am not
13 disagreeing with you, but I mean on an issue of status
14 determination, the results are always inconclusive. Well, they
15 are always inconclusive and some of these are not especially
16 inconclusive, in my experience.

17

18 **RICHARD APPELDOORN:** I guess we should all feel good about that
19 or your experience really sucks.

20

21 **MICHAEL SISSENWINE:** It sucks that that is my experience. Those
22 are two different things.

23

24 **RICHARD APPELDOORN:** But that's what I meant.

25

26 **TODD GEDAMKE:** In the first sentence, "the SSC endorses the
27 process", are we indicating we endorse the whole SEDAR process
28 or are we endorsing the SEDAR process?

29

30 **RICHARD APPELDOORN:** To me, it's the analytical processes that
31 were used within SEDAR-30.

32

33 **TODD GEDAMKE:** Okay. We could just switch the SSC endorses the
34 SEDAR-30 process and the results for queen triggerfish and blue
35 tang.

36

37 **BARBARA KOJIS:** Just to make it clear.

38

39 **TODD GEDAMKE:** Julie is in the room and I don't want to say too
40 much, but --

41

42 **JULIE NEER:** I prefer clarity.

43

44 **TODD GEDAMKE:** I think what we're saying is we endorse what
45 happened in this and maybe not a blanket approval of the whole
46 SEDAR process.

47

48 **JULIE NEER:** I agree that is what you're saying.

1
2 **BARBARA KOJIS:** Yes.
3
4 **MICHAEL SISSENWINE:** Somebody has endorsed it, based on the --
5
6 **RICHARD APPELDOORN:** It's already been endorsed by peer review.
7
8 **MICHAEL SISSENWINE:** I mean but the process has also been
9 endorsed. The SEDAR process in general has been endorsed by --
10
11 **RICHARD APPELDOORN:** To me, it wasn't the SEDAR process. It was
12 the analyses that were used in SEDAR-30 is what I think I meant
13 by endorsing.
14
15 **TODD GEDAMKE:** So change "process" to "analytical analyses".
16
17 **RICHARD APPELDOORN:** Analytical methods.
18
19 **MICHAEL SISSENWINE:** The SSC endorses the --
20
21 **BARBARA KOJIS:** Analytical methods?
22
23 **RICHARD APPELDOORN:** How about just methods?
24
25 **MICHAEL SISSENWINE:** Method used during SEDAR-30, yes. And the
26 peer review process. I think we're also endorsing that it's a
27 legitimate peer review done.
28
29 **TODD GEDAMKE:** Do we want to specifically say peer review?
30
31 **MICHAEL SISSENWINE:** Yes, I think that is part of what we're
32 endorsing. We're saying the peer review is --
33
34 **BARBARA KOJIS:** The SSC endorses the methods used in the SEDAR-
35 30 process --
36
37 **RICHARD APPELDOORN:** Then a comma and then "including peer
38 review".
39
40 **BARBARA KOJIS:** Yes and including the peer review.
41
42 **MICHAEL SISSENWINE:** And its peer review.
43
44 **BARBARA KOJIS:** And its peer review, okay.
45
46 **RICHARD APPELDOORN:** So it's including the SEDAR-30 process and
47 its peer review.
48

1 **BARBARA KOJIS:** Is that where we start mentioning the caveats
2 regarding the results that we still need better age and growth?
3 Do we want to go into detail with respect to that at this stage
4 or just put that someplace else?
5

6 **RICHARD APPELDOORN:** I think we have to acknowledge that,
7 because it's directly going to affect whether we feel they're
8 appropriate for management and what other specific
9 recommendations can be developed from it.

10

11 **BARBARA KOJIS:** Okay.

12

13 **MICHAEL SISSENWINE:** Maybe that first point ought to be broken
14 in half and the so the first part of it is that we endorse the
15 other methods and the peer review and the second part is that we
16 accept the results, recognizing -- As the best available at this
17 time, recognizing their limitations. Then we can say something
18 about limitations. Recognizing their limitations and then you
19 could have bullet points after that sort of listed what those
20 limitations are.

21

22 **RICHARD APPELDOORN:** That's a good approach.

23

24 **MICHAEL SISSENWINE:** Or recognizing the following limitations.

25

26 **BARBARA KOJIS:** Yes, recognizing the following. That's a good
27 way of doing it.

28

29 **MICHAEL SISSENWINE:** So what's our list?

30

31 **TODD GEDAMKE:** You're saying we want to put key limitations?
32 Seriously?

33

34 **JORGE GARCIA-SAIS:** The list might be too long.

35

36 **TODD GEDAMKE:** Uncertainty in the growth or life history
37 information.

38

39 **BARBARA KOJIS:** Lack of life history information for queen and
40 trigger and blue tang or more specifically, what size at
41 reproduction.

42

43 **TODD GEDAMKE:** Everything, lack of life history information --

44

45 **BARBARA KOJIS:** Then for blue tang, it's the --

46

47 **RICHARD APPELDOORN:** It's the lack of information content of
48 sizes for blue tang.

1
2 **BARBARA KOJIS:** Then it's to explain why. It's the low
3 information content provided by the length frequency data for
4 blue tang, given indeterminate growth or although indeterminate
5 growth is --
6
7 **RICHARD APPELDOORN:** No, it's determinate growth.
8
9 **BARBARA KOJIS:** Determinate, but it's more than -- I guess it is
10 determinate growth.
11
12 **RICHARD APPELDOORN:** What do you call the selectivity on the
13 right-hand side?
14
15 **TODD GEDAMKE:** Dome-shaped selectivity.
16
17 **RICHARD APPELDOORN:** Dome-shaped selectivity for queen trigger
18 in St. Thomas and St. John.
19
20 **BARBARA KOJIS:** The reason for the dome-shaped selectivity is
21 because of the discards of the large -- Owing to discards of the
22 large fish over forty-five centimeters.
23
24 **RICHARD APPELDOORN:** I think it's forty. I think it starts even
25 less than that.
26
27 **JULIE NEER:** Dome-shaped selectivity in itself is not bad.
28 Because it violates the assumptions of this model, that's why
29 dome-shaped selectivity is a problem.
30
31 **TODD GEDAMKE:** Strike the sentence "violation of assumptions".
32 Following "limitations", a violation of model assumptions and
33 then due to or -- I don't think dome-shaped has been proven and
34 so just potential violation of the model assumptions. It just
35 complicates the interpretation.
36
37 We didn't use the catch records, per se, in this, but the
38 process and the results were limited what they could do, due to
39 uncertainty in the landings. Do we want to hammer that home
40 again? In this case, it wouldn't have made much of a
41 difference, because the ratio is -- I don't think we could
42 probably carry those much farther forward.
43
44 **BARBARA KOJIS:** Did you have any issue with the sample sizes for
45 the length frequencies?
46
47 **MEAGHAN BRYAN:** You mean there's been a declining trend in
48 sampling, I think in declining numbers in sampling in St. Croix?

1 I think the report is that maybe they were able to measure only
2 400 fish total in St. Croix, because of --
3
4 **BARBARA KOJIS:** Lack of staff.
5
6 **RICHARD APPELDOORN:** I have a question about the life history
7 information. We did have Puerto Rico and Virgin Islands growth
8 curves for queen trigger and how much more do you need before
9 you say I believe those results are what we should go with?
10
11 **TODD GEDAMKE:** I threw up uncertainty.
12
13 **RICHARD APPELDOORN:** There's always uncertainty in these things.
14
15 **TODD GEDAMKE:** There definitely was some in the literature.
16
17 **RICHARD APPELDOORN:** Obviously if Brazil said the same thing, we
18 would say, okay, let's go with --
19
20 **MEAGHAN BRYAN:** The study was from 1987 and someone had a
21 concern about how the readings were done, I think.
22
23 **BARBARA KOJIS:** Was there validation?
24
25 **MEAGHAN BRYAN:** I don't think there was validation.
26
27 **RICHARD APPELDOORN:** This is Manooch?
28
29 **MEAGHAN BRYAN:** Yes, Manooch in 1987.
30
31 **JULIE NEER:** Validation was not a hot topic in aging in the
32 1980s and so there was probably not validation and there may not
33 even be verification.
34
35 **BARBARA KOJIS:** What is the difference?
36
37 **JULIE NEER:** Validation is independent determination that the
38 bands were laid down in some increment, normally annually.
39 Verification is like using something within the otolith, like
40 marginal increment analysis, to get samples from -- this band
41 for six months and then this band.
42
43 It's verification because it documenting that they're laying
44 down the pair of bands each year, but you're using the same
45 thing you're counting to -- You can't validate and you have to -
46 - Like validation externally is like OTC tetracycline injected
47 and you get the fish back and it was at large for four years and
48 there are four new bands.

1
2 **RICHARD APPELDOORN:** I thought validation was if you get
3 different people that come up with the same counts and
4 verification is what's the timing of that.
5
6 **JULIE NEER:** No, that's reader error. That's coming up with
7 your age estimates, but that's not saying that the bands are
8 laying down annually or at any specific time. That's just
9 looking at your reader error.
10
11 **RICHARD APPELDOORN:** What's the difference between tetracycline
12 and marginal increment analysis?
13
14 **JULIE NEER:** Marginal increment is within the same thing and
15 tetracycline is the same -- You're using what you're --
16
17 **RICHARD APPELDOORN:** One is a better method than the other and I
18 understand that, but I don't see what the -- That is not how I
19 learned it, but that's okay.
20
21 **BARBARA KOJIS:** Things change, Richard.
22
23 **RICHARD APPELDOORN:** I guess.
24
25 **MEAGHAN BRYAN:** Going back to this paper, it wasn't otoliths
26 actually for this paper. It was dorsal spines and that was why.
27
28 **BARBARA KOJIS:** People don't believe dorsal spines so much?
29
30 **MEAGHAN BRYAN:** I think people prefer otoliths.
31
32 **JULIE NEER:** (The comment is not audible on the recording.)
33
34 **BARBARA KOJIS:** Is there anything else that we need to add or do
35 we need to make a statement and add in the information about --
36
37 **TODD GEDAMKE:** Barbara's question about sample size, I don't
38 remember what they exactly were, but the pattern generally is
39 much more noise in lower samples in recent years and the
40 beginning of the time series.
41
42 **MEAGHAN BRYAN:** For blue tang, it was actually decent
43 throughout, but in general, yes. Like overall, the sampling
44 program seems to have fewer samples.
45
46 **RICHARD APPELDOORN:** In the time period we would really like to
47 know about.
48

1 **TODD GEDAMKE:** Yes, but is that something that you would think
2 was a hindrance or a limitation for blue tang? Probably not.
3
4 **MEAGHAN BRYAN:** For blue tang? No, I don't think that would be
5 a limitation.
6
7 **RICHARD APPELDOORN:** What about queen trigger?
8
9 **MEAGHAN BRYAN:** Queen trigger, I think the selectivity was a --
10 That violation of the selectivity assumption, but verification
11 of actually selectivity in all of the island platforms would be
12 good to have. If we could get some information, then we could
13 determine if the pattern we're seeing reflects fishing mortality
14 or is confounded by this dome-shaped selectivity. I think that
15 was a big uncertainty for that particular analysis, but life
16 history parameters are the main uncertainty when using this
17 approach.
18
19 **BARBARA KOJIS:** Should we say that?
20
21 **RICHARD APPELDOORN:** Those bubble plots had a lot of variability
22 and little bubbles here and there. If those were actually
23 aggregate locations and we had a large sample size, this would
24 be a very confusing picture, a much more confusing picture than
25 this. If the large sample size actually shifted the locations -
26 -
27
28 **TODD GEDAMKE:** So it should happen based on sampling periods and
29 that noise should come out.
30
31 **BARBARA KOJIS:** Do we want to say sample size and randomness of
32 samples?
33
34 **RICHARD APPELDOORN:** Consistent sample sizes is what we need.
35
36 **JULIE NEER:** Distribution of samples over time.
37
38 **RICHARD APPELDOORN:** Yes, distribution of samples over time.
39
40 **MEAGHAN BRYAN:** That was a problem for queen triggerfish, for
41 sure.
42
43 **RICHARD APPELDOORN:** Right and the other thing that bothered me
44 about queen trigger for Puerto Rico was those two batches that
45 had those really large fish.
46
47 **BARBARA KOJIS:** That needs to be consistent.
48

1 **RICHARD APPELDOORN:** There isn't a logical explanation for that,
2 not on those time scales, I don't think. So it may have been a
3 sampling -- One person was getting large fish and in those
4 times, he was being questioned and other times not or I don't
5 know, but does anybody find that really odd, that all of a
6 sudden in those two blocks there are these much bigger fish?
7
8 **MEAGHAN BRYAN:** I guess that question is how random is the TIP
9 sampling.
10
11 **RICHARD APPELDOORN:** Given that Puerto Rico didn't have a lot of
12 data -- They're not typically targeted relative to the Virgin
13 Islands, if I recall your initial thing.
14
15 **MEAGHAN BRYAN:** Actually, yes, in Puerto Rico, the queen
16 triggerfish sampling declined. The sample numbers declined over
17 time. You started off with a few thousand and then a thousand
18 and it dropped down to 300 and 500 and 337.
19
20 **RICHARD APPELDOORN:** The big ones are out at --
21
22 **MEAGHAN BRYAN:** Right and they're coming out over here in the
23 1988 or so.
24
25 **RICHARD APPELDOORN:** There's no biological justification for
26 that.
27
28 **MEAGHAN BRYAN:** No, it doesn't look like it.
29
30 **BARBARA KOJIS:** It could be different types of years.
31
32 **MEAGHAN BRYAN:** That's why I questioned whether or not they
33 moved somewhere.
34
35 **RICHARD APPELDOORN:** That's not a biological. That's a
36 sampling.
37
38 **MEAGHAN BRYAN:** I don't know and maybe that fisherman just -- He
39 was a diver and this is looking at pots and traps and I don't
40 know how well he knows the pot and trap fishery and so they may
41 have moved into different areas and there are still larger fish
42 out there, but we couldn't verify that and we don't know.
43
44 **GRACIELA GARCIA-MOLINER:** Those larger animals come from the pot
45 fish or do they have diving in that sample?
46
47 **MEAGHAN BRYAN:** This is just pot and trap separated from
48 everything else.

1
2 **TODD GEDAMKE:** What's the limitation that we're honing in on
3 right now?
4
5 **RICHARD APPELDOORN:** To me, that's a quality of data issue.
6
7 **BARBARA KOJIS:** The quality of data has to be related to the
8 number and random distribution of samples. Samples need to be
9 taking place and then you have to have adequate numbers of
10 samples, right?
11
12 **MEAGHAN BRYAN:** Yes, annually.
13
14 **TODD GEDAMKE:** The bullet above, limitation in distribution of
15 sampling over time, needs to be consistent. That's not a
16 limitation. That's a recommendation. What you're saying is
17 that there's an uncertainty in the data quality due to
18 consistent sampling, consistent and random sampling.
19
20 **RICHARD APPELDOORN:** That would embed that problem.
21
22 **TODD GEDAMKE:** Yes.
23
24 **RICHARD APPELDOORN:** Distribution and randomness of samples.
25
26 **BARBARA KOJIS:** Distribution is kind of -- Doesn't it also have
27 to do with the number of samples over time, annual number of
28 samples?
29
30 **TODD GEDAMKE:** I think distribution of catch gets at it.
31
32 **BARBARA KOJIS:** I did say temporal distribution. Temporal
33 distribution could be whether you are doing monthly sampling
34 throughout the year.
35
36 **RICHARD APPELDOORN:** Inconsistencies in sample size and
37 randomness of samples, annual sample size.
38
39 **BARBARA KOJIS:** It could be that randomness should cover the
40 temporal distribution, shouldn't it?
41
42 **BILL ARNOLD:** It should say lack of randomness.
43
44 **BARBARA KOJIS:** It's the sample size as well. Inconsistencies
45 or --
46
47 **TODD GEDAMKE:** You could do uncertainty of data due to sampling
48 methodology and then parentheses and say temporal distribution

1 and -- Don't type this and let me spit this out first. What
2 we're talking about is the sampling strategy and the sampling
3 limitations and so uncertainty in data due to the sampling
4 strategy and then parentheses and annual sample sizes,
5 distribution, and randomness or something like.
6
7 **BARBARA KOJIS:** So uncertainty in the data due to sampling
8 strategy, e.g., annual sample size --
9
10 **RICHARD APPELDOORN:** In lieu of temporal distribution,
11 consistency, and annual sample sizes. That works for me.
12
13 **BARBARA KOJIS:** Okay. Are there any other limitations?
14 Meaghan, you could even mention things here.
15
16 **GRACIELA GARCIA-MOLINER:** What would make your life easier?
17
18 **BILL ARNOLD:** The lottery.
19
20 **BARBARA KOJIS:** Are you happy with this?
21
22 **TODD GEDAMKE:** Yes and I will just revisit what I mentioned
23 before, but an inability to address ACL or biomass benchmarks
24 due to a lack of reliable landings estimates or something along
25 those lines, because although it wasn't included in there, it
26 wasn't even attempted because of those problems. I am just
27 throwing it out again if the group doesn't want to include it,
28 I'm fine with that, too.
29
30 **RICHARD APPELDOORN:** How would you link that problem to the --
31
32 **TODD GEDAMKE:** We said the results for the queen triggerfish and
33 blue tang is best available, but the limitations are the
34 inability to address biomass-based benchmarks due to a lack --
35
36 **BARBARA KOJIS:** That bullet point should start with inability?
37
38 **TODD GEDAMKE:** Before we start adding this, do people want to
39 include this?
40
41 **BARBARA KOJIS:** Put it in there and we can decide whether we
42 want to include it.
43
44 **TODD GEDAMKE:** Inability to address biomass-based benchmarks due
45 to considerable uncertainty --
46
47 **BARBARA KOJIS:** In the landings data. I think that drives home
48 a point.

1
2 **TODD GEDAMKE:** Lack of life history information and uncertainty
3 in landings data should be hammered home at every opportunity we
4 can.
5
6 **BARBARA KOJIS:** The other part of this is certifying whether the
7 scientific advice is useful for management and do we need to be
8 specific about what advice is provided in this regarding
9 overfishing status, because certainly that was the thrust of the
10 report and for blue tang and whether their difficulty in even
11 determining it because of the determinate life history, but
12 there was no indication of any overfishing, but for queen
13 trigger, wasn't it a little bit different?
14
15 **RICHARD APPELDOORN:** I would say you could probably say blue
16 tang is not overfished in Puerto Rico because there was no catch
17 data, essentially, for it, because it's just not targeted.
18
19 **TODD GEDAMKE:** Meaghan, without reading through the whole
20 report, did you include summary statements that were somewhat
21 like what Richard is saying, that the lack of landings data
22 would suggest --
23
24 **MEAGHAN BRYAN:** I do not recall even considering the landing
25 data. Is this for blue tang?
26
27 **RICHARD APPELDOORN:** Yes.
28
29 **MEAGHAN BRYAN:** I didn't make any comments about blue tang in
30 Puerto Rico, because there was no analysis done.
31
32 **RICHARD APPELDOORN:** The reason there was no analysis done was
33 because there was no data and presumably the reason there was no
34 data was because it's not fished.
35
36 **MEAGHAN BRYAN:** That's fine. I did not make those comments in
37 the report though.
38
39 **JULIE NEER:** The general summary statement that you did agree to
40 in the summary report was that the status of -- Whether it's
41 undergoing overfishing or is overfished is unknown.
42
43 **TODD GEDAMKE:** That's what I expected. I was just wondering
44 whether anything went beyond that, because, like I said, the
45 survey information in St. Croix was one of the most abundant
46 species would suggest a lack of any finding that are going to
47 lead to --
48

1 **JORGE GARCIA-SAIS:** Do they eat the blue tang there?
2

3 **BARBARA KOJIS:** Yes. There are limitations on how many -- It's
4 the older people that eat it, for the most part, I think, and
5 their older population is dying out and so they're kind of, in
6 St. Thomas and St. John anyway, they are probably bringing back
7 fewer blue tang.
8

9 They usually release some blue tang. They catch more blue tang
10 than they can sell and St. Croix, I think they probably keep all
11 of the blue tang for the pot fish. For spearfishing, they may
12 not sometimes target it as much, because they're really going
13 after parrotfish or snapper or grunts. You've got fewer and
14 fewer of the elderly and the fishermen go, there's fewer people
15 coming to buy our fish, our pot fish type of fish.
16

17 **JORGE GARCIA-SAIS:** There's not much meat in them.
18

19 **TODD GEDAMKE:** We can either add a bullet to this or we can
20 start a -- The last one is we endorse the process and results
21 and now we're kind of getting into conclusions, which is a
22 limitation of the assessment was an inability to determine stock
23 status.
24

25 We can either tie one into a bullet there or do the next piece,
26 which is this what do we get for management advice. I think
27 part of the assessment process is determining stock status and
28 our management from there and so I wouldn't fight strongly to
29 have it one way or the other, but --
30

31 **BARBARA KOJIS:** Maybe it belongs after that and one of the
32 results on the status of the stocks should be information should
33 be a fundamental basis for fisheries management and then go on
34 to say --
35

36 **RICHARD APPELDOORN:** These bullets are all under what?
37

38 **TODD GEDAMKE:** Limitations of the assessment.
39

40 **BARBARA KOJIS:** Are we done with limitations then and we can go
41 on to management advice and mention that it's sort of a
42 limitation, but --
43

44 **RICHARD APPELDOORN:** I think we're done with limitations. It
45 could be under this thing as a bullet.
46

47 **BARBARA KOJIS:** Because of the above limitations, the analysis
48 was unable to determine the status of the stocks? I don't know

1 if somebody can word that better or clarify. To determine
2 whether the stocks were undergoing overfishing or are
3 overfished.
4
5 **RICHARD APPELDOORN:** I would prefer "limited indications of
6 whether the stocks are" -- Or just "limited indications of the
7 stock status".
8
9 **BARBARA KOJIS:** Was unable to indicate stock status.
10
11 **RICHARD APPELDOORN:** I just found "unable" too strong.
12
13 **BARBARA KOJIS:** But that's what, in essence -- Didn't Meaghan
14 say that, that they were unable to determine whether the stocks
15 were overfished or undergoing overfishing? Isn't that one of
16 the conclusions of the report?
17
18 **MEAGHAN BRYAN:** I said it was uncertain whether they were
19 undergoing overfishing.
20
21 **BARBARA KOJIS:** Uncertain.
22
23 **RICHARD APPELDOORN:** Uncertain in determining.
24
25 **BARBARA KOJIS:** Then do you want to just say stock status or
26 undergoing overfishing?
27
28 **MEAGHAN BRYAN:** The analysis can't determine if they're
29 overfished.
30
31 **RICHARD APPELDOORN:** Because we don't have a way to get to the
32 biomass benchmarks, which is reflecting back to the limitations
33 that we're talking about.
34
35 **MICHAEL SISSEWINE:** Indirectly, if you concluded overfishing is
36 not occurring and it has not occurred, then you can't be
37 overfished and so under limited scenarios, but I don't know that
38 that needs to be said.
39
40 **BARBARA KOJIS:** Are there any other -- I don't know if an
41 analysis can be uncertain.
42
43 **GRACIELA GARCIA-MOLINER:** This is results.
44
45 **RICHARD APPELDOORN:** Yes, the results.
46
47 **BARBARA KOJIS:** Okay. Anything else that relates to the
48 scientific advice useful for management?

1
2 **MICHAEL SISSENWINE:** Does this mean our conclusion is that the
3 status is unknown for these stocks?
4
5 **RICHARD APPELDOORN:** No, it means it's uncertain.
6
7 **MICHAEL SISSENWINE:** Uncertain would be saying we're willing to
8 take a shot at it and say this is what we believe, but it's
9 uncertain. Unknown is that it's so uncertain we won't even put
10 a label on it.
11
12 **BARBARA KOJIS:** We could go through each of the -- If blue tang
13 is not being fished in Puerto Rico and there's no sign or
14 indication from this analysis that --
15
16 **RICHARD APPELDOORN:** Are we reviewing the report or are we
17 making that as an additional comment to the report?
18
19 **BARBARA KOJIS:** We can review the report, but then look also at
20 the --
21
22 **RICHARD APPELDOORN:** Meaghan, in your final slides, when you
23 were summing it up, did you say anybody was anything?
24
25 **MEAGHAN BRYAN:** I don't recall saying that anyone was undergoing
26 overfishing. I just said there was uncertainty about whether
27 fishing mortality is higher than natural mortality and I
28 qualified that with it was -- The interpretation depended on
29 which estimate of natural mortality you used as the proxy for
30 FMSY, because the natural mortality estimates that were derived
31 using the maximum age, which we had, I think maybe for each
32 species, a few estimates, but they were basically the maximum
33 age that the studies actually aged and so whether or not the
34 maximum age of the fish was unknown -- Anyway, they led to
35 higher natural mortality rates than when using the von
36 Bertalanffy growth parameters when deriving the natural
37 mortality. That's why I did not make any strong statements.
38
39 **RICHARD APPELDOORN:** The only thing that I saw that was coming
40 out of this was St. Croix queen trigger. We did have the drop
41 in size and we had that 60 percent probability of being
42 overfished.
43
44 **MEAGHAN BRYAN:** Yes, I showed that figure.
45
46 **MICHAEL SISSENWINE:** Should we go through this species by
47 platform and look at those histograms quickly and just say
48 whether we want to come to a conclusion or just label it

1 unknown, systematically go through them one at a time and are we
2 talking about the same thing here?

3

4 **BARBARA KOJIS:** I agree.

5

6 **JULIE NEER:** While Meagan is getting that, the language that got
7 into the final summary for it was no clear status determination
8 can be made from the assessments, as the independent reviewers
9 differ about the appropriateness of the assessment for making
10 such determinations. That's just for your information. The
11 CIE, since they had varying degrees of comfort and discomfort,
12 none of them said anything useful to help you at all.

13

14 **MICHAEL SISSENWINE:** I think it helps in that we're saying if we
15 don't come up with that conclusion, we're saying we have some --

16

17 **RICHARD APPELDOORN:** I was jotting them down and for like blue
18 tang in St. Thomas, 80 percent of the things were below the
19 value of one and St. Croix is about 55 percent. I was
20 eyeballing it, but about 55 percent were below the value of one.

21

22 In Puerto Rico, queen trigger was almost at 100 percent below
23 one and St. Thomas was about 80 percent and so it was only St.
24 Croix were it was 40 percent, or 60 percent overfishing.

25

26 **MICHAEL SISSENWINE:** If we think these analyses are unbiased --
27 We know they have limitations and so forth, but if they're
28 unbiased, then we ought to be making the determination that
29 those stocks have less than a 50 percent probability of
30 undergoing overfishing or not undergoing overfishing.

31

32 **TODD GEDAMKE:** Meaghan, with these, I'm a little concerned, I
33 guess, about these percentage values, due to the spike at zero.

34

35 **RICHARD APPELDOORN:** Right and the fact that for blue tang there
36 is a question of whether you're really getting useful
37 information from size and for queen trigger for St. Thomas, the
38 selectivity falls below anyway.

39

40 Yes, you get those results, but the only one that seemed to have
41 room for, to me anyway, for interpretation was queen trigger in
42 St. Croix, because it didn't have the selectivity problem
43 apparently that they have in St. Thomas and the blue tang, to
44 me, is the narrow band of information wasn't broad enough.

45

46 **BARBARA KOJIS:** The selectivity problem in St. Thomas would push
47 the F over M in which direction?

48

1 **MICHAEL SISSENWINE:** Higher and so the fact that it's below
2 would say it's pretty damned robust that it's not going
3 undergoing overfishing.
4

5 **RICHARD APPELDOORN:** If that's overestimating and 80 percent of
6 the values are less than one already --
7

8 **MICHAEL SISSENWINE:** It seems quite unlikely that it's
9 overfished or that overfishing is occurring. I think there are
10 at least a couple of them that we could say overfishing is not
11 occurring.
12

13 **BARBARA KOJIS:** For queen trigger, we would say for St.
14 Thomas/St. John that it's not occurring and for St. Croix?
15

16 **JULIE NEER:** If you believe that the selectivity issue is not
17 important.
18

19 **BARBARA KOJIS:** There's no selectivity issue in St. Croix.
20

21 **JULIE NEER:** I am saying in St. Thomas.
22

23 **BARBARA KOJIS:** Yes, but the selectivity issue was pushing it in
24 the other direction.
25

26 **TODD GEDAMKE:** The cumulative percentage that is there is being
27 driven by that spike. What is included in these summary
28 histograms are bounded runs and so those are spurious results.
29 Those are really not results and those should be excluded from
30 any summary histogram of distribution.
31

32 **MEAGHAN BRYAN:** Do you want me to do that?
33

34 **TODD GEDAMKE:** Like that starting out at 40 percent at zero
35 artificially puts you to the left and so I am just a little --
36

37 **MEAGHAN BRYAN:** I can reprocess those results.
38

39 **RICHARD APPELDOORN:** I've actually got a question about these
40 graphs and I wanted to bring it up. The cumulative percent is
41 as you go across and you're adding those frequencies?
42

43 **TODD GEDAMKE:** In that one there, you're starting at 50 percent
44 and so 50 percent of all runs are in that first bin. In the
45 first bin, and this is starting at 39 percent, that means that
46 39 percent of all the runs are in this first bin.
47

48 **RICHARD APPELDOORN:** Yes and if you look at the distribution,

1 that's not possible. You add all of those up and you're not
2 even going to get 15 percent.

3
4 **TODD GEDAMKE:** But you can't tell, because the scale on this is
5 320, as opposed to what may be twenties in here or tens in here.
6 There may five, eight, ten all the way out here. If you're
7 bounding at five and you're bounding at zero on this, in both
8 cases -- If there are any that are bounded at five, those need
9 to get pulled and if any are bounded at zero -- I think I would
10 filter at 0.01 or something or 0.02, just to remove those that
11 were bounded.

12
13 **BARBARA KOJIS:** The other question is, is this giving us any
14 information anyway, because of the determinate growth of blue
15 tang?

16
17 **TODD GEDAMKE:** It's separate issues I think right now. I think
18 when we've been discussing this, the percentage of runs -- The
19 language "percent probability of being overfished" has been used
20 and this is really the percent of runs that are suggesting that
21 overfishing is -- It's semantics, in some way, but especially
22 the way that it's summarized here, I think that it's somewhat
23 misleading.

24
25 **RICHARD APPELDOORN:** Yes, I agree. Then you go to St. Croix,
26 which had 60 percent of the runs suggesting overfishing for
27 queen trigger and it was the second or third most abundant thing
28 in your trap survey. Those are two different -- I am not sure
29 we can say anything.

30
31 **TODD GEDAMKE:** I am hesitant to do it on these histograms. The
32 only thing that I would be willing to discuss would be -- Not
33 really willing to discuss, but to throw some of those other
34 interpretative aspects of no catch in Puerto Rico, high
35 abundance in the survey, anything like that we think is worth
36 mentioning. I am hesitant to grab percent of these runs off
37 these plots and draw any conclusions from that.

38
39 **RICHARD APPELDOORN:** If you put the limits on that you were
40 talking about to get rid of the unbounded ones, would you feel
41 better about that?

42
43 **TODD GEDAMKE:** Absolutely.

44
45 **MEAGHAN BRYAN:** Do you want me to do that now? I can, but I'm
46 just not going to do it while I'm presenting.

47
48 **BARBARA KOJIS:** Go ahead and we can go on and do this other

1 stuff while you do that.

2
3 **WALTER KEITHLY:** Let me raise an issue that was brought up and
4 it may not be a relevant issue, but I don't know if we can
5 answer it, Richard, but at least one of the reviewers questioned
6 the life parameters, the fishery parameters, and said that some
7 of them just seemed implausible and yet, all of these life
8 history parameters were included in the scenarios. Does anybody
9 have a feeling on whether some of these life history parameters
10 were implausible?

11
12 **RICHARD APPELDOORN:** I don't want to disturb Meaghan, but I
13 thought that she said that yes, some of them are implausible in
14 the totality in which they're presented, but when she was
15 looking at the -- Actually, they were looking at a more limited
16 set of parameters, but to do the sensitivity analysis, she
17 worked the values around, which eventually encompassed
18 everything we were seeing.

19
20 **TODD GEDAMKE:** Walter, I think what Meaghan is doing right now -
21 - It's a judgment call on whether they're implausible or not.
22 Analytically, when the model is bounding out, you have something
23 where it cannot -- When it's bounding at zero, it's basically
24 looking for spontaneous generation rather than mortality and so
25 that's an analytical implausibility. It's not possible to have
26 generation of life.

27
28 That's going to be kicked out right now and so some of the most
29 obvious ones are going to be dumped by looking at these bounded
30 cases and I think the sensitivity -- I think one of the
31 reviewers recommended coming up with priors and getting more
32 sophisticated with the information being fed into the
33 distribution for these life history parameters.

34
35 Yes, I think that some of them are not likely, but I think it's
36 really hard to pinpoint it down, but I would -- As an external
37 reviewer, someone suggested taking comparable species, similar
38 species, and come with priors. We could do that.

39
40 **WALTER KEITHLY:** I also think in terms of the probabilities that
41 we're discussing right now that they're all dependent on which
42 life history parameters you put into the model and if some of
43 these are implausible, then the probabilities are probably --

44
45 **RICHARD APPELDOORN:** That's why we're saying there's uncertainty
46 in the results.

47
48 **TODD GEDAMKE:** That whole thing is that this is a very

1 unsophisticated uniform prior as opposed to a well informed
2 normal distribution prior or something for this. Basically,
3 what Meaghan is trying to do is take the available information
4 and run it over the whole spread uniformly. Hopefully she's got
5 that center point.

6

7 **RICHARD APPELDOORN:** She was encompassing the tradeoff.

8

9 **TODD GEDAMKE:** I mean if you take the uniform prior, if reality
10 is actually all the way at one end of it, you're going to shift
11 your distribution of your model results all the way off to one
12 side, one way or the other, and you don't know what that is
13 until we have better information on where that sensitivity is in
14 relation to reality.

15

16 **WALTER KEITHLY:** In other words, everybody feels that it cannot,
17 apriority at this stage, subtract out some of the life history
18 parameters.

19

20 **TODD GEDAMKE:** I think that was part of the data evaluation and
21 I was not part of that.

22

23 **JULIE NEER:** Basically, there were the two estimates and they
24 almost doubled in their K and for blue tang, one was 0.4 and one
25 was 0.8. The group discussed it and said they were both valid
26 studies and we don't know which one is more appropriate for
27 here. They're both old and neither one of them would get us to
28 that new record blue tang that was just collected, which is a
29 whole other problem, which we know was real and was out there.

30

31 **RICHARD APPELDOORN:** I thought blue tang we had a lot of
32 estimates for. Queen trigger is what we just had the two.

33

34 **JULIE NEER:** We only came to -- We had a lot of them and we only
35 came to -- Wasn't it blue tang that we only came down to using
36 the two that were most realistic for this region?

37

38 **RICHARD APPELDOORN:** No. In queen trigger, we had the Brazilian
39 study and we had the Manooch study.

40

41 **JULIE NEER:** That was the 0.4 and the 0.8? The point is we
42 talked about it, even if I'm confusing the species, and couldn't
43 throw out or keep in any of the estimates and then we came, as a
44 group, came up with the ranges that Meaghan is running for
45 sensitivity. That's where they came from. I remember the
46 discussion of that gigantic blue tang that didn't match.

47

48 **TODD GEDAMKE:** For blue tang, the determinate growth, is

1 everyone in agreement that that's going to negate the value of
2 the ratios and is everyone on the same page there?

3

4 **BARBARA KOJIS:** Yes.

5

6 **TODD GEDAMKE:** Okay and so let's forget about blue tang and
7 looking at any of these histograms for blue tang. We can forget
8 that. For blue tang, the only other things we could do would be
9 to make qualitative comments regarding landings and/or survey
10 numbers. That will take care of blue tang across the board.

11

12 Is anyone comfortable with and would like to come up with a
13 statement that does any qualitative summary of some of the
14 things we've discussed? I am not sure that I feel like going
15 that far with it.

16

17 **MICHAEL SISSENWINE:** I am trying to reconcile our endorsement of
18 doing this sort of stuff and then doing these analyses and
19 having the SEDARs and then saying but we can't conclude
20 anything.

21

22 **TODD GEDAMKE:** That first endorse the process statement was
23 where my concern was there. I mean we can in terms of steps --

24

25 **BARBARA KOJIS:** But the limitations are overwhelming.

26

27 **TODD GEDAMKE:** I think at least before lunch we discussed the
28 statement or at least touched on the statement that it's
29 necessary in this, which is what about the SEDAR process and do
30 we continue to do these things as they've been done?

31

32 I tried to separate that in my head as to what we've attempted
33 versus the ability to really provide management advice out of
34 the results as a first step and then a second step saying should
35 we continue to do this.

36

37 **JULIE NEER:** Can you do anything with the information you have
38 in front of you right now is step one and then, once you're done
39 with that, should we continue down this road if this is the type
40 of stuff you're getting out of it?

41

42 **TODD GEDAMKE:** Although we think this is the best available and
43 the best that could be done for this, it's the inability to
44 provide management advice or draw strong conclusions that makes
45 the SSC question whether this process should be --

46

47 **BARBARA KOJIS:** If the process should be continued until further
48 data is available.

1
2 **JULIE NEER:** Right. Either further data or new methodology is
3 developed.
4
5 **RICHARD APPELDOORN:** That sounded pretty good.
6
7 **BARBARA KOJIS:** That would solve our problem. Meaghan, do you
8 want to show us what you've done here?
9
10 **BILL ARNOLD:** Barbara, there's a second component to this too
11 and that is does the SEDAR process meet the overall goals?
12 That's not just for each individual assessment, but for the need
13 to assess this multitude of species in a timely manner and
14 adjust reference points accordingly.
15
16 Even if you could get the proper data to get a blue tang
17 assessment completed over the course of X, is the total amount
18 of information going to be provided in a timely manner?
19
20 **BARBARA KOJIS:** I assume that's being provided in other
21 locations in that manner, you know in the Gulf or where you've
22 got more data. Here, the difficulty is the data.
23
24 **BILL ARNOLD:** Not completely. That's just not the case.
25
26 **JULIE NEER:** No, you're not getting as much as you would like,
27 but that is not a fault of the process.
28
29 **BILL ARNOLD:** I'm not saying that. I am saying is this the
30 appropriate general process for doing this and this is going to
31 take us literally twenty years to get through -- It would take,
32 in Puerto Rico, twenty years just to get through the snappers
33 and groupers at two a year.
34
35 Maybe that might be a slight exaggeration, but it's not much of
36 one and the question is, is this really the way we want to go,
37 even if individual assessments can be done properly? That also
38 needs to be addressed and that was sort of the idea behind being
39 able to come into a SEDAR and do a multitude of species rather
40 than just two individual assessments using this length-based
41 approach.
42
43 **JULIE NEER:** You can do that if the length-based approach is
44 actually going to give you guys what you need for your
45 assessments.
46
47 **BILL ARNOLD:** That's the question I'm asking. Maybe this is the
48 appropriate approach, but that's a question that needs to be

1 addressed.

2
3 **BARBARA KOJIS:** You guys are much more familiar with it. I
4 certainly see that this is an approach that can give you
5 information about whether overfishing is occurring and so it
6 gives you status of the fishery, if you've got the appropriate
7 data.

8
9 The problem is in most cases you don't have the length data for
10 most of these species, because many of them are not that common
11 or they may not be fished that much or whatever. They may not
12 be target species.

13
14 I don't know if this information then can give you information,
15 provide us information, that's more detailed than that. If
16 you've got the catch data, then maybe you can incorporate the
17 biomass information, but that's a long, long term proposition,
18 probably.

19
20 I don't know. Certainly the status, one of the problems we have
21 is what's the status of the stock to know whether even what we
22 have as far as an ABC is reasonable and that's probably -- This
23 looks like it could do that if you have the data for it, the
24 life history data and the length.

25
26 It looks like it's a relatively quick thing that could be done
27 for a lot of species in one gulp and so that, I think, is
28 important. How much other information you can get from it, I
29 don't know and I don't know what other information you need to
30 have in order to get information like on actual ABCs so that you
31 don't just have average catch, because I'm not a stock
32 assessment person.

33
34 **BILL ARNOLD:** That goes back to establishing clear goals.
35 Exactly what do we want or need out of this process to make good
36 management decisions in a timely manner?

37
38 **BARBARA KOJIS:** Certainly status of the stock is an important
39 aspect and knowing whether a stock is undergoing overfishing or
40 not is crucial.

41
42 **BILL ARNOLD:** It's not just status, but it's also timely data.
43 Using the parrotfish as an example, we spent a lot of money
44 getting that redband assessment done and that leaves six more
45 species of parrotfish that have to be done before we've
46 completed that unit.

47
48 Since we manage by unit, we're really not done until we've done

1 all the species and if we only do one in each of the SEDARs,
2 that's six more years. By the time we get to the end, is the
3 original one still valid?

4
5 **BARBARA KOJIS:** Then the question is do you have the data and
6 can this be put in quickly for all those other species of
7 parrotfish, because just look for their life history information
8 and you're looking for limited information to find out what the
9 status is.

10
11 **BILL ARNOLD:** Part of the question is do you have the data, but
12 more importantly is the recommendation that you need to get
13 these data and this is where the funds need to be spent instead
14 of on SEDARs.

15
16 I am not necessarily making that determination, but I'm just
17 saying these are the kinds of decisions that I don't think we're
18 making very clearly, how to allocate effort to achieve goals.

19
20 **MICHAEL SISSENWINE:** But SEDAR is an agreed process of
21 representatives of three councils, the Center, and the Regional
22 Office and maybe Atlantic States and --

23
24 **JULIE NEER:** Two commissions and HMS.

25
26 **MICHAEL SISSENWINE:** Those are the entities that agreed to the
27 process and routinely the councils have complained that it
28 doesn't deliver assessments fast enough. That's been the
29 situation for ten years and so what are you asking us? We
30 didn't create the process and we all know that it's not
31 delivering assessments fast enough.

32
33 **GRACIELA GARCIA-MOLINER:** Then, on the other hand, it's been
34 modified as we go along.

35
36 **JULIE NEER:** The Caribbean process has changed every single time
37 for the past ten years within the framework of trying to deal
38 with the specific issues here in these data-poor issues and the
39 lack of help from some of the fishermen willing to participate.

40
41 The process is actually extremely flexible. The timeliness is a
42 huge issue that all three councils are complaining about.
43 That's not new and we agree, but the need to have to have three
44 workshops for every single thing, you have an approved
45 methodology, essentially, in this length-based method.

46
47 I don't see that there's anything necessarily stopping you from
48 going -- What this data-poor workshop thing might be is if the

1 data is available to have the Science Center and SEDAR
2 coordinate and do five of them next year and five of them the
3 following year.

4
5 If that you think is a better use of your time as opposed to
6 spending it here working on red hind or queen conch or lobster.
7 That's why I was saying with the terms of your recommendations
8 of time, it's still going to take someone to do it and if the
9 SSC would rather do this sort of here's five species and spend a
10 year whenever the Science Center has time to do it and do that
11 and don't work on lobster. That's a recommendation that you as
12 a group should make up to the council and the council can make
13 that recommendation to the SEDAR Steering Committee when they
14 set the schedule.

15
16 **BILL ARNOLD:** Mike asked what I'm asking and that's what I'm
17 asking, that you make a recommendation, or at least consider
18 making a recommendation, that alternatives at least be
19 evaluated.

20
21 **BARBARA KOJIS:** The other aspect of it is you really shouldn't
22 be doing -- It doesn't look like, from these analyses, that you
23 should be doing any of these analyses until you have the
24 information available and so I think they've already looked at
25 the number of length data that's available for all these species
26 and so they've got an idea there, but the life history aspects
27 are something that are going to be looked at and if the life
28 history information is not there, maybe then that should be the
29 -- The funding and everything else should be focused on
30 gathering the life history information.

31
32 **JULIE NEER:** I think Graciela is working on that now and sort of
33 updating -- There was a data evaluation that was done for the
34 Caribbean stocks in 2009 and Graciela is working on that now, in
35 terms of updating that to see where we stand.

36
37 At that point, that group put together a list of the species we
38 thought we could do this. Now, queen and silk were some of the
39 ones -- That's how they ended up as the first species to go
40 through this in the first place. I think the council is working
41 on coming up with --

42
43 **GRACIELA GARCIA-MOLINER:** The main thing is trying to figure out
44 if we have any life history information and if we can collect it
45 before we do anything else. I also contacted Antonio Garcia at
46 DNER and asked him if that information could be available for
47 the meeting on Monday, because they have the information and so
48 if they can bring it to the council, then we'll know where to go

1 next.

2
3 **BARBARA KOJIS:** Then the question is looking at this, because
4 obviously, for example, if they've done parrotfish otoliths and
5 stuff, did they verify? Do we have age and growth on these
6 things or what do we have and then what is the basis for the age
7 and growth? Is it spines that people obviously have concerns
8 about or is it otoliths and have they been verified?

9
10 You might want to put together a table with respect to this for
11 each of these species and see where we are and then pass it
12 around to the universities and everything else and say get your
13 masters students to do work on these species and let's get
14 going.

15
16 **JULIE NEER:** I just wanted to verify what Todd had said in his
17 summary and everyone asked if he wrote that down, but I said the
18 SSC questions whether continuing to conduct SEDAR benchmark
19 assessments is necessary until more data and/or approved
20 alternative methodologies are available. I was trying to just
21 scribble down what Todd had said and you guys can reword that
22 entirely, but I was trying to say -- Whatever Todd said was
23 perfect, but I didn't get it all written down in time.

24
25 **TODD GEDAMKE:** I was shooting from the hip and I'm not going to
26 stand behind it right now. It might need some wordsmithing and
27 the conversation just got hijacked into something very different
28 and how would you like to proceed, Barbara? Should we continue
29 with the process or go back to where we were?

30
31 **BARBARA KOJIS:** Let's go back. Meaghan has got a graph up here
32 and let's look at Meaghan's graph, because then we can go back
33 to Graciela writing things down.

34
35 **MEAGHAN BRYAN:** This is queen trigger in St. Thomas/St. John.
36 There's still that spike in zeros and when you use the natural
37 mortality estimators based on life history invariants, the von
38 Bertalanffy growth parameters, those estimates for the natural
39 mortality were quite high and so even if it didn't hit the
40 bound, there were still a number of runs that led to negative,
41 or zero, fishing mortality, but it does shift the curve and so
42 there's like 70 percent of the runs -- 80 percent of the runs
43 that --

44
45 **TODD GEDAMKE:** So there are still runs in here that have
46 negative F?

47
48 **MEAGHAN BRYAN:** Yes, but I just removed those runs that hit the

1 bounds.
2
3 **RICHARD APPELDOORN:** This is queen trigger where?
4
5 **MEAGHAN BRYAN:** St. Thomas.
6
7 **BARBARA KOJIS:** This is queen trigger.
8
9 **RICHARD APPELDOORN:** Where we have dome-shaped selection.
10
11 **MEAGHAN BRYAN:** Should I move on to St. Croix?
12
13 **BARBARA KOJIS:** Yes.
14
15 **MEAGHAN BRYAN:** This is St. Croix and 40 percent of the
16 sensitivity runs have a ratio of F and natural mortality that is
17 less than one.
18
19 **BARBARA KOJIS:** So a 60 percent chance of overfishing, right?
20
21 **MICHAEL SISSENWINE:** If we accept the M as our definition of
22 overfishing, which is somewhat conservative, but it's not
23 unreasonable.
24
25 **MEAGHAN BRYAN:** This is Puerto Rico and Puerto Rico had the
26 increasing mean length and so almost all of the runs ended up
27 being less than one. You still have that spike though.
28
29 **BARBARA KOJIS:** So definitely for Puerto Rico and St. Thomas
30 your analysis indicates that there is no overfishing being
31 undergone.
32
33 **MICHAEL SISSENWINE:** Overfishing is not occurring.
34
35 **JULIE NEER:** St. Thomas has the selectivity issues.
36
37 **BARBARA KOJIS:** But that was moving it --
38
39 **MEAGHAN BRYAN:** We brought up that conversation of spatial
40 expansion in Puerto Rico, again, but we don't have any data to
41 verify it.
42
43 **BARBARA KOJIS:** I can't imagine there would be much spatial
44 expansion with respect to queen trigger after they've been
45 fishing there for 500 years.
46
47 **TODD GEDAMKE:** But with GPS -- You may have 500 years, but ten
48 years ago you had the ability for spatial expansion, or fifteen

1 years ago, that you never had before.
2
3 **BARBARA KOJIS:** With GPS? What do you mean, because you go
4 offshore? But offshore where? Unless it's the west coast, but
5 the shelf is --
6
7 **GRACIELA GARCIA-MOLINER:** The TIP should give you the region
8 where that's coming from and you should be able to identify it.
9
10 **TODD GEDAMKE:** I just don't think we negate spatial expansion or
11 movement to new areas.
12
13 **BARBARA KOJIS:** You've got to realize that those shelves, even
14 in Puerto Rico, is fairly narrow. The nine nautical miles
15 encompasses almost all of the shelf of Puerto Rico except the
16 west coast and most of it is probably three nautical miles or
17 two nautical miles, except for the shelf of Puerto Rico on the
18 north and south coast and then it's only in the northeastern
19 part that you start moving twenty miles off.
20
21 **GRACIELA GARCIA-MOLINER:** They went to fish over to St. Thomas
22 for the larger size that they wanted brought over here.
23
24 **RICHARD APPELDOORN:** We know they're going over.
25
26 **GRACIELA GARCIA-MOLINER:** By identifying the area where the TIP
27 came from, we can --
28
29 **BARBARA KOJIS:** They could be going to northeast and --
30
31 **GRACIELA GARCIA-MOLINER:** Or they found a regolith reef that no
32 one had found before.
33
34 **BARBARA KOJIS:** That's far out and it's rough waters and the
35 boats are not that big and they're not going to do it too often,
36 but certainly there you've got 100 percent, don't you, for
37 Puerto Rico that's -- It's 95 percent.
38
39 **MICHAEL SISSEWINE:** If we think these analyses are at all
40 informative, we have to conclude that two of the stocks are not
41 being overfished and the other one is debatable, because it's
42 close to 50 percent F to M ratio and maybe it's a little higher,
43 but one is a fairly conservative reference level.
44
45 **MEAGHAN BRYAN:** We talked about this at the assessment workshop,
46 actually. We didn't have the sensitivity runs completed in
47 total, but we were just comparing the natural mortality
48 estimates with just individual and it did seem like there was

1 some probability of overfishing occurring, but we just didn't
2 have a --
3
4 **MICHAEL SISSENWINE:** You have some of those results where the
5 amount of overfishing would be quite severe, three or four or
6 five or six. I guess I would say that I would report to
7 Congress that this one overfishing is occurring, knowing that
8 these determinations are always uncertain. If we're going to
9 use this information to be your best --
10
11 **RICHARD APPELDOORN:** Yes, but in the trap study, it's one of the
12 most common species.
13
14 **MICHAEL SISSENWINE:** Maybe it would be more common if it wasn't
15 overfished.
16
17 **RICHARD APPELDOORN:** It's very possible.
18
19 **BARBARA KOJIS:** This is one where -- I don't know.
20
21 **TODD GEDAMKE:** Mike brought up to me, when we were tracking the
22 dots from our vetting the methodology to us using it and now
23 we've got two of the three that, given an acceptance of the
24 methodology, we have two that suggest that they're not
25 undergoing overfishing. Do we want to make a statement along
26 those lines?
27
28 **MICHAEL SISSENWINE:** What's the current classification on those
29 two? Is there any?
30
31 **BARBARA KOJIS:** They are not -- It just confirms that they're --
32
33 **MICHAEL SISSENWINE:** The report to Congress says they're not
34 undergoing overfishing and so, okay, we're confirming that. We
35 don't have any basis -- This evidence confirms the current
36 status determinations for those two.
37
38 **JULIE NEER:** For Puerto Rico and St. John and St. Thomas.
39
40 **TODD GEDAMKE:** On the other hand, this shelf in St. Croix
41 suggests that there may be a possibility that overfishing is
42 occurring and further investigation is warranted.
43
44 **MICHAEL SISSENWINE:** What is the status determination on this?
45 It's not undergoing overfishing? The council hasn't adopted --
46 I guess it's not up to the council to say what FMSY is and it's
47 up to us.
48

1 This, to me, just looking at it, is a tossup, because if you
2 want to say that FMSY equals M, then, just on a numerical basis,
3 you would say overfishing is occurring. I guess that would be
4 my bottom-line conclusion, if I'm going to believe these
5 results. If somebody said no, it isn't, I wouldn't say, well,
6 I'm certain it is. That's sort of an objective interpretation
7 of those results.
8
9 **TODD GEDAMKE:** If I hadn't been involved in the trap study, I
10 would probably look at this and solidly land where you just did
11 or unsolidly land where you just did.
12
13 **MICHAEL SISSENWINE:** To me, the fact that there is a lot of
14 something out there doesn't imply anything to me one way or
15 another about whether overfishing is occurring. It might be
16 more relevant to whether they're overfished or not.
17
18 **BARBARA KOJIS:** Graciela, can you type anything up from the
19 statements?
20
21 **GRACIELA GARCIA-MOLINER:** The SSC --
22
23 **MICHAEL SISSENWINE:** Based on the results of SEDAR-whatever-it-
24 was, the SSC concludes that --
25
26 **BARBARA KOJIS:** Queen trigger is not undergoing overfishing --
27
28 **MICHAEL SISSENWINE:** I would prefer to say that the current
29 status determination of whatever the queen triggerfish -- That
30 queen triggerfish is not undergoing overfishing.
31
32 **BARBARA KOJIS:** Concludes that SEDAR-30 confirms the --
33
34 **MICHAEL SISSENWINE:** Confirms the current status determination
35 that queen triggerfish is not undergoing overfishing.
36
37 **JULIE NEER:** For all platforms?
38
39 **MICHAEL SISSENWINE:** Is it for all platforms?
40
41 **JULIE NEER:** I am asking. Was it for all platforms?
42
43 **MICHAEL SISSENWINE:** It was for two of the three, wasn't it?
44
45 **BARBARA KOJIS:** Yes.
46
47 **JULIE NEER:** Right and so you're only saying -- The status is
48 for all three platforms combined, currently.

1
2 **MICHAEL SISSENWINE:** Okay. So it would be based on the results
3 of SEDAR-30, the SSC concludes that the current status
4 determination for queen triggerfish in Puerto Rico and St.
5 Thomas --
6
7 **BARBARA KOJIS:** The current status determination for Puerto Rico
8 and St. Thomas/St. John.
9
10 **MICHAEL SISSENWINE:** That overfishing is not occurring.
11
12 **BARBARA KOJIS:** For St. Thomas/St. John that queen triggerfish
13 is not undergoing overfishing.
14
15 **RICHARD APPELDOORN:** Period.
16
17 **JULIE NEER:** I think his point was the current status on the
18 books is not overfishing and you're agreeing with that. That's
19 not what that statement implies.
20
21 **BARBARA KOJIS:** That queen triggerfish is not undergoing
22 overfishing is confirmed or that is --
23
24 **JULIE NEER:** You should also make a statement about St. Croix.
25
26 **RICHARD APPELDOORN:** The current status determination for St.
27 Thomas that queen triggerfish is not undergoing overfishing is
28 what we are confirming.
29
30 **MICHAEL SISSENWINE:** You know probably the better way to say
31 this, and I hate to see a bunch of retyping, but I think it's
32 the SSC concludes that the results of SEDAR-30 are consistent
33 with the current status determination for Puerto Rico and St.
34 Thomas that queen triggerfish is not undergoing overfishing.
35
36 However, the results for queen triggerfish in St. Croix indicate
37 that the stock is likely to be undergoing overfishing or
38 overfishing is likely to be occurring. You could say simply
39 that -- However, the results for queen triggerfish in St. Croix
40 indicate that overfishing is likely to be occurring.
41
42 **BARBARA KOJIS:** We should say something about blue tang. Do you
43 want to say something about the trap study, Todd?
44
45 **RICHARD APPELDOORN:** I want to change the first sentence. I
46 think after "St. John", I would put ", which is". We made a
47 determination and then we say what that determination is.
48

1 **BARBARA KOJIS:** What do we want to say about blue tang?
2

3 **TODD GEDAMKE:** Can I say something before we jump over? Because
4 of the above limitations, the analysis results were uncertain in
5 determining whether the stocks were undergoing overfishing and
6 the SSC concludes the results are not undergoing overfishing.
7

8 **MICHAEL SISSENWINE:** That's true that it's uncertain, but one
9 could then start the sentence that "Nevertheless, the SSC
10 concludes that" -- In one case, we're saying it's uncertain, but
11 nevertheless we're going to say something. We didn't spend two
12 days here to come up with nothing.
13

14 **BARBARA KOJIS:** Do we want to put that together in one paragraph
15 then? Okay. Where do we put blue tang in here?
16

17 **RICHARD APPELDOORN:** What do we want to say? This is where blue
18 tang goes, but the question is --
19

20 **BARBARA KOJIS:** The other thing is because we have this sentence
21 that because of the limitations, the analysis results were
22 uncertain in determining whether stocks were undergoing
23 overfishing and this was especially true for blue tang, but
24 because of the determinate age structure.
25

26 **MICHAEL SISSENWINE:** We could say that the SSC concluded that
27 the results were too uncertain for blue tang to be used for
28 status determination. That's what we could conclude.
29

30 **BARBARA KOJIS:** The reason it was uncertain was because of the
31 determinate age structure of the length-based length frequency
32 data --
33

34 **MICHAEL SISSENWINE:** Isn't that already in our list of
35 limitations?
36

37 **BARBARA KOJIS:** Yes.
38

39 **RICHARD APPELDOORN:** Can we put in something about, however, the
40 SSC notes that blue tang does not seem to be targeted, at least
41 in Puerto Rico, based on the lack of reported landings.
42

43 **BARBARA KOJIS:** Anything else for this section and conclusions?
44 Okay.
45

46 **MICHAEL SISSENWINE:** I will see you all.
47

48 **BARBARA KOJIS:** I am going let everybody have a break. I was

1 just waiting for Mike to do his farewell, so we could use him as
2 much as possible. Thanks very much, Mike. We really appreciate
3 your input.

4

5 (Whereupon, a brief recess was taken.)

6

7 **BARBARA KOJIS:** We are back about maybe five past three to
8 resume the meeting and Meaghan wants to just bring up something
9 regarding the queen triggerfish on St. Croix and the length
10 data.

11

12 **MEAGHAN BRYAN:** I just wanted to show this figure, because when
13 you look at -- This is something that Richard touched upon
14 earlier, that when you look at the sample size over time, we
15 have fairly high samples early on and, in general, the
16 sensitivity runs -- When it predicted a change, it was
17 predicting a change to happen around -- Anywhere between 1985
18 and 1986 or 1984, 1984 to 1986 or so, and you see that there is
19 a slight decline of maybe a centimeter there and then the sample
20 size is variable and much lower later on in the time series than
21 early in the time series.

22

23 I just didn't know if people wanted to consider this as part of
24 that discussion of making a recommendation about whether
25 overfishing is happening or not, because is that actually a
26 response to the length or the change in samples? This is
27 something that we discussed at the assessment workshop as well,
28 which led to that uncertain conclusion, but --

29

30 **JORGE GARCIA-SAIS:** Meaghan, the fit of that model, does that
31 come with an error to it, because I see so much residual error
32 to both sides of the line.

33

34 **MEAGHAN BRYAN:** A reviewer did ask about diagnostics in terms of
35 error and so far, we haven't reported any sort of residuals or
36 anything. In SEDAR-26 we didn't and in here we didn't.

37

38 **TODD GEDAMKE:** We don't need to have this technical discussion
39 right now, but I don't -- I have gone back and forth with
40 reviewers about this and I think the error estimates that come
41 out of the model fit are not really true error estimates on
42 parameters.

43

44 What comes out, you can get information out of it, but I don't
45 think it's directly -- I have fought numerous times about that
46 determination and the sensitivities on that, instead of
47 reporting the error determinant and there's more work that needs
48 to be done there.

1
2 **MEAGHAN BRYAN:** Right and that is our weighted sensitivities, to
3 kind of characterize uncertainty rather than getting a variance
4 estimate.
5
6 **BARBARA KOJIS:** Given this then, we have made the recommendation
7 that it looks like there might be overfishing occurring on St.
8 Croix and does this figure increase the uncertainty in that?
9
10 **TODD GEDAMKE:** I was leading towards putting something a little
11 softer in the language for St. Croix initially. I don't
12 remember exactly what we have up there.
13
14 **MEAGHAN BRYAN:** I can change presenters and let me do that, but
15 I just wanted to show you guys that.
16
17 **GRACIELA GARCIA-MOLINER:** Given all the problems with the data
18 collection in St. Croix --
19
20 **TODD GEDAMKE:** What I do kind of like in the wording is they're
21 consistent with the current status determination, which is that
22 triggerfish is not undergoing overfishing. We're not really
23 making our own statement there. We're just saying that it's
24 consistent with the current status. What we're doing in the
25 last sentence is basically making a statement that is different
26 than the current status and --
27
28 **BARBARA KOJIS:** We have discussed this, saying that this needs
29 further analysis or further information or something like that
30 regarding the St. Croix situation, but we didn't put that in
31 there.
32
33 **TODD GEDAMKE:** No and that's exactly what I would -- If I were
34 to be writing this sentence, instead of "is likely might be
35 occurring" is "queen triggerfish in St. Croix any chance that
36 overfishing might be occurring and additional analyses or" --
37
38 **RICHARD APPELDOORN:** There were no additional analyses.
39
40 **TODD GEDAMKE:** I know and that's why I hesitated on finishing
41 the sentence.
42
43 **BARBARA KOJIS:** What would be required?
44
45 **TODD GEDAMKE:** Additional analyses would be required to make the
46 determination, which we don't really have.
47
48 **RICHARD APPELDOORN:** Which is queen trigger and so a large

1 number of measurements taken?

2

3 **TODD GEDAMKE:** That's a really good suggestion, actually,
4 because then we could just say, however, the results for queen
5 triggerfish indicate that overfishing might be occurring and the
6 SSC recommends that length samples for this species in
7 particular or additional length samples for this species be
8 collected for further analyses.

9

10 That's going to be the quickest way to address -- Meaghan's
11 question was emphasizing the 30 or 40 range towards the end and
12 300 fish in the next six months, which we could then look at
13 that plot and say it's still falling exactly where it is or it's
14 falling in a different place.

15

16 **JULIE NEER:** Todd, you wanted to change "likely" to "might be"?

17

18 **BARBARA KOJIS:** Yes. Could we be more specific about the length
19 samples, because you really want an adequate number.

20

21 **RICHARD APPELDOORN:** Beaucoup?

22

23 **TODD GEDAMKE:** A significant number of length samples for this
24 species. We don't want to put -- What is the number? That's
25 the question we get all the time and you don't know what the
26 number is. You won't know what the number is until you collect
27 the samples.

28

29 **RICHARD APPELDOORN:** Going back to your bubble plot or your
30 bins, how many were we getting relative to the early years, when
31 we had those big circles?

32

33 **TODD GEDAMKE:** That may be a way of phrasing this, too. Is it
34 comparable to the early part of the time series where sample
35 sizes numbered in the hundreds or whatever?

36

37 **BARBARA KOJIS:** The sample size was over 500.

38

39 **RICHARD APPELDOORN:** In the bins it was. I don't know if it was
40 for the individual years on the bubble plot.

41

42 **BARBARA KOJIS:** I think there was actually 900 in one year.

43

44 **GRACIELA GARCIA-MOLINER:** The origin, before 1983, does that
45 coincide with the council's first attempt at getting --

46

47 **MEAGHAN BRYAN:** I think 1983 is the first year -- Well, that was
48 the first year that I extracted from the database. I don't know

1 if there were samples -- I would think if there were samples
2 before then that I would have had them.
3
4 You wanted to look at this bubble plot and so we have one fairly
5 banner year, 927 samples, at least that are going into the mean
6 length calculation.
7
8 **RICHARD APPELDOORN:** The one above it is --
9
10 **MEAGHAN BRYAN:** It's like three-hundred-and-something. I can go
11 back to the --
12
13 **BARBARA KOJIS:** So more than 300.
14
15 **RICHARD APPELDOORN:** Or the ones at the bottom of the curve,
16 which is also fairly big. I can't read that number.
17
18 **MEAGHAN BRYAN:** Like 300.
19
20 **RICHARD APPELDOORN:** Well, that's 301 that I've seen in the
21 other one and four-hundred-something? The one that's a little
22 smaller is the 301.
23
24 **MEAGHAN BRYAN:** This is -- I think it's off the graph.
25
26 **GRACIELA GARCIA-MOLINER:** So more than 300.
27
28 **RICHARD APPELDOORN:** Yes and maybe something like 500 would be
29 better.
30
31 **BARBARA KOJIS:** At least 300.
32
33 **MEAGHAN BRYAN:** It should be random sampling.
34
35 **TODD GEDAMKE:** It's not.
36
37 **MEAGHAN BRYAN:** That's why I said it should be.
38
39 **RICHARD APPELDOORN:** I would like to see something that says 500
40 would be better, because if you say at least 300, they're going
41 to stop it at 301.
42
43 **GRACIELA GARCIA-MOLINER:** At least 500?
44
45 **BARBARA KOJIS:** Approximately 500 maybe.
46
47 **BILL ARNOLD:** It's just a recommendation and I don't know why
48 you have to say "approximately", but it's up to you guys.

1
2 **GRACIELA GARCIA-MOLINER:** Do you want them over a period of time
3 or just in one month?
4
5 **TODD GEDAMKE:** To be comparable to the early part of the time
6 series, which were collected over the course of a year, it
7 probably should be over the course of a year.
8
9 **JULIE NEER:** And you need it for more than just one year.
10
11 **TODD GEDAMKE:** If you get 500 in one year, it's going to be very
12 -- We're not looking at tracking changes over time now. We're
13 just trying to pin the noise in the last twenty years worth of
14 data and the model will take into account -- If you get 500
15 samples, it will take that into account and fit the lower sample
16 sizes prior to that accordingly.
17
18 **GRACIELA GARCIA-MOLINER:** The only reason why I said it is
19 because a couple of months, which someone dedicated to doing
20 that, you can get the 500 samples.
21
22 **TODD GEDAMKE:** If I were in the manager position with the purse
23 strings on this and saw the results and recommendations from the
24 SSC that said, hey, this might actually be undergoing
25 overfishing, that's what I would do.
26
27 I would send someone down to the docks for the next two weeks to
28 measure every queen triggerfish that comes up and take a look at
29 it and then make another decision as to what's your strategy for
30 the whole year.
31
32 **GRACIELA GARCIA-MOLINER:** I just want to make sure that it's
33 okay to do it over a period of two to four weeks rather than
34 waiting the whole year.
35
36 **TODD GEDAMKE:** Ideally, you would do it over the course of a
37 year, but lengths are so simple to get that not taking advantage
38 of powering up a very quick evaluation -- You do 500 samples in
39 the next month and those samples come out to be significantly
40 lower than what's currently on the books, then you've sent
41 someone out there consistently for the rest of that year. If
42 they're much, much higher, you can lower your sample sizes and
43 kind of monitor it.
44
45 **BARBARA KOJIS:** Do we want to say anything more specific or just
46 say 500? Do we want to say 500 length samples for this species
47 collected for further analysis over the course of a year and
48 then somebody could go out quickly and do a couple of weeks of

1 sampling and say we don't seem to have -- We seem to have an
2 issue and we need to do this 500 or how would you want to word
3 it? I think clarification is important.

4
5 **TODD GEDAMKE:** I don't have anything more specific, but I don't
6 like "length samples collected for further analysis". The
7 samples themselves are not going to be analyzed. What we're
8 getting at is the length measurements will inform additional
9 analyses. Instead of "for further", it's just "to inform
10 additional analyses". Do you want to do like a sampling
11 strategy in this sentence?

12
13 **BARBARA KOJIS:** Yes, I would think so.

14
15 **TODD GEDAMKE:** It's a game of tradeoffs. When you go out and
16 pound them out in the next month, what you're going to get is a
17 mean length that is high sample sizes, but has the caveats of
18 not being collected over the course of a year, but you've got
19 something in a month.

20
21 Then you've got the other one is we don't have the personnel to
22 do it and so let's get them out there and get fifty a month and
23 we're going to get some information back on this in six months
24 to a year out. It's a management call.

25
26 **BARBARA KOJIS:** We can leave it at that.

27
28 **JORGE GARCIA-SAIS:** Do you want to use the word "inform" or
29 maybe we could "allow", allow for further analyses? It sounds
30 strange like that.

31
32 **BARBARA KOJIS:** Yes, because really what you're trying to do is
33 to determine if overfishing is occurring. It might be occurring
34 and let's gather some more data so we can determine if it
35 actually is occurring.

36
37 **MEAGHAN BRYAN:** It's to provide the information in the analysis.

38
39 **BILL ARNOLD:** You want a snapshot, right? That's what you're
40 after?

41
42 **TODD GEDAMKE:** Well, it all depends on what you're talking
43 about. A snapshot is one year or a snapshot is --

44
45 **BILL ARNOLD:** That's what I was going to ask you, is what kind
46 of time interval would you define as a snapshot?

47
48 **TODD GEDAMKE:** The analysis -- What we're working on now is

1 annual numbers and so what we're looking at for continuing that
2 same approach, without having to recode everything, is to do an
3 annual and even if it's collected over a month, it's going to be
4 taken and plugged into the model as an annual estimate. That's
5 the way that's going to go.

6
7 It's just a question of whether you actually collect that over
8 the whole course of the year and we really don't do a whole lot
9 of evaluations, other than maybe visual diagnostics, on monthly
10 samples, to see if there's patterns in monthly fishing activity.

11
12 **BILL ARNOLD:** This is open ended and so you might want to just
13 say within the next year.

14
15 **TODD GEDAMKE:** That is very true.

16
17 **BILL ARNOLD:** I would say to be collected within the next year.

18
19 **TODD GEDAMKE:** This wording is -- 500 length samples for the
20 species be collected and make it "recommends that approximately
21 500 length measurements be taken within the next year". We will
22 just get rid of "for the species be collected".

23
24 Envision this actually working as it's supposed to and they get
25 500 length measurements and it gets kicked up and Meaghan can
26 run it and fly back down and give us a presentation on the whole
27 thing. It's simple.

28
29 **BARBARA KOJIS:** Okay. I think we've pretty much covered things.
30 We can't say anything about ABC. We just can say things about
31 overfishing and we've got recommendations up there.

32
33 **GRACIELA GARCIA-MOLINER:** If anyone has any specific
34 recommendations to -- I have a number of them, but not specific
35 to this SEDAR-30 that you've talked about.

36
37 **BARBARA KOJIS:** Okay. Does anybody have recommendations?
38 Graciela, what recommendations did you write down that we had?

39
40 **GRACIELA GARCIA-MOLINER:** For the two-days worth of discussion,
41 the 2010 expansion factors, the commercial landings and apply
42 the correct factors to the years, because they were carrying
43 2009 over to 2010.

44
45 Age of the queen snapper, blue tang, and queen trigger if they
46 have the information or the otoliths already collected at the
47 lab, if possible. Find out if the TIP data for Puerto Rico for
48 2009 onward for the species that we talked about or any other

1 are available.
2
3 The inventory of otoliths and species and length sample numbers
4 and you already covered the one about the landings and the
5 fisher's history, et cetera. I wrote down something about look
6 at the bycatch data for the USVI, because you said that they
7 were reporting as bycatch and you've seen large queen triggers
8 that were being written down.
9
10 **BARBARA KOJIS:** I don't know that they area.
11
12 **GRACIELA GARCIA-MOLINER:** So look at that. Those are the things
13 that I have written down for you.
14
15 **BARBARA KOJIS:** Could you just start typing them and then we can
16 go over them?
17
18 **GRACIELA GARCIA-MOLINER:** These are not specific to the SEDAR.
19 It just had it here if you had anything specific for this
20 process.
21
22 **RICHARD APPELDOORN:** I think we've already mentioned those.
23
24 **JULIE NEER:** Most of those were in the report.
25
26 **GRACIELA GARCIA-MOLINER:** Yes, but I didn't have a copy of that
27 and so --
28
29 **BARBARA KOJIS:** Is there something here about -- Because the
30 blue tang analysis has to be informed by age and growth.
31
32 **GRACIELA GARCIA-MOLINER:** I was thinking about these 500 length
33 measurements and the age and growth very specifically, because
34 if you don't have the age, that would make a big, big
35 difference. Collecting 500 samples and they don't have the
36 otoliths for it, for the fish already collected, to go ahead and
37 collect them and the spines or whatever.
38
39 **BARBARA KOJIS:** Yes and blue tang, you have to have -- The
40 analysis is useless unless it's an age growth, or almost useless
41 unless it's an age growth analysis, because of the determinant
42 growth, right?
43
44 **JULIE NEER:** The point is that there's multiple ages for any
45 size and so a length-based isn't probably going to work at all,
46 most likely for blue tang. You need age so you can -- But then
47 you also need indices -- You need to do another method,
48 basically. Length-based is not going to work.

1
2 **GRACIELA GARCIA-MOLINER:** Is there any specific recommendation
3 for another analysis for the blue tang?
4
5 **RICHARD APPELDOORN:** Size and otolith analysis or some age
6 analysis. We need an age analysis. If you're going to do that,
7 you need it for each platform.
8
9 **BARBARA KOJIS:** The development of an appropriate methodology or
10 age analysis or something like that.
11
12 **MEAGHAN BRYAN:** There is many age models, but you need the data
13 to be able to do that.
14
15 **RICHARD APPELDOORN:** We need catch at age.
16
17 **BARBARA KOJIS:** Do we want to mention in there, for blue tang,
18 that length analysis is not appropriate and therefore, the SSC
19 recommends using an age analysis methodology or obtaining catch
20 at age data to inform an age analysis methodology or an age-
21 structured model.
22
23 **JULIE NEER:** To inform an age-structured model.
24
25 **BARBARA KOJIS:** It should be like the SSC recommends obtaining
26 or collecting catch at age data for an age-structured model.
27
28 **JORGE GARCIA-SAIS:** What would be the catch at age data?
29
30 **MEAGHAN BRYAN:** How many fish of a particular age that you
31 caught in a given timeframe, a year, say. You would have to get
32 the otoliths to age the fish.
33
34 **RICHARD APPELDOORN:** If you randomly sample your fish for the
35 otolith analysis, you should get the age of the catch.
36
37 **JORGE GARCIA-SAIS:** You do the sampling from -- You construct
38 the empirical relationship of age based on the otoliths first?
39 Okay.
40
41 **JULIE NEER:** To develop an age and growth curve and then you
42 also have information on old all the fish were that you sampled
43 in the catch and you use that to age all of the catch. It's
44 going to be very sloppy anyway, because of the fact that you
45 have multiple ages for different sizes.
46
47 **BARBARA KOJIS:** Blue tang live to about twenty years and if most
48 of the fish you catch are like five years old or less, then you

1 know you've got --
2
3 **JORGE GARCIA-SAIS:** Blue tang live that long?
4
5 **BARBARA KOJIS:** Yes, about sixteen years. Because they grow
6 fast, at about four years they get to their maximum size and
7 then they live a long time. In some places, surgeonfish live
8 thirty to forty years.
9
10 **JORGE GARCIA-SAIS:** That is surprising. I didn't know that.
11 When here we refer to the surgeonfish or to the blue tang, did
12 you also consider that like the doctorfish and the ocean surgeon
13 is in the same category or it's just one species that you are
14 referring to?
15
16 **BARBARA KOJIS:** Blue tang is just one species.
17
18 **MEAGHAN BRYAN:** In the TIP database, it's one.
19
20 **GRACIELA GARCIA-MOLINER:** They are supposed to be.
21
22 **MEAGHAN BRYAN:** They are supposed to identify it correctly.
23
24 **JORGE GARCIA-SAIS:** It's just like I don't see much great
25 difference between the three of them in terms of their
26 ecological value and shape, size, taste. I don't know. It
27 could be.
28
29 **BARBARA KOJIS:** People will -- Fishermen seem to go after
30 doctorfish maybe the most. I don't know whether that's because
31 they're most abundant and ocean surgeon is not oftentimes fished
32 and they may taste different, but I don't know.
33
34 **JORGE GARCIA-SAIS:** Why are we dealing with blue tang?
35
36 **BARBARA KOJIS:** Blue tang is also fished.
37
38 **BILL ARNOLD:** Because they are ranked higher in the probability
39 of successful outcome list.
40
41 **JORGE GARCIA-SAIS:** If you say so.
42
43 **BILL ARNOLD:** It's not me.
44
45 **GRACIELA GARCIA-MOLINER:** But there is also a concern because
46 it's one of the top species in St. Croix. It might not be
47 anywhere else, but it is --
48

1 **BARBARA KOJIS:** It is a top species.
2
3 **BILL ARNOLD:** And the ecological implications relative to a
4 problem. They wanted to do a surgeonfish.
5
6 **GRACIELA GARCIA-MOLINER:** Can I put the 500 length measurements
7 down here also for the queen trigger?
8
9 **BARBARA KOJIS:** Yes, because you really -- People will look at
10 just the recommendations, I'm sure, in some cases.
11
12 **GRACIELA GARCIA-MOLINER:** We can repeat here the need for the
13 age information, urgent need.
14
15 **BARBARA KOJIS:** Yes. Do we want to say something like clearly -
16 - Something about clearly without age and life history -- Local
17 age and life history parameters, availability of the local --
18
19 **JULIE NEER:** Be really specific.
20
21 **BARBARA KOJIS:** SEDARs are unsuccessful or something like that.
22
23 **GRACIELA GARCIA-MOLINER:** So without?
24
25 **BARBARA KOJIS:** Yes, without --
26
27 **JULIE NEER:** Will SEDAR conduct them if you don't have the data
28 and they're still not going to provide the --
29
30 **BARBARA KOJIS:** Just say assessments will continue to be
31 unsuccessful and somebody can word that better, I'm sure. How
32 about will continue to be not very informative? That might be
33 better.
34
35 **JULIE NEER:** The assessment was okay. It's just whether you
36 guys can do anything with it.
37
38 **BARBARA KOJIS:** Yes, how you define unsuccessful.
39
40 **JULIE NEER:** It was not very informative for you guys'
41 discussion to make decisions.
42
43 **GRACIELA GARCIA-MOLINER:** For scientific advice and management.
44
45 **BARBARA KOJIS:** Yes, very good. Should you just put that in
46 with that bullet point?
47
48 **GRACIELA GARCIA-MOLINER:** Should I put it in bold?

1
2 **BARBARA KOJIS:** If you need that, Graciela, then yes.
3
4 **GRACIELA GARCIA-MOLINER:** Because it's the same thing and we're
5 really tired of repeating the same thing over and over and over
6 again and now we've tried everything, from the full length
7 assessments to length-based assessments. It's the same thing
8 time after time.
9
10 **BARBARA KOJIS:** Then are we going to say something about the
11 reliable catch data?
12
13 **GRACIELA GARCIA-MOLINER:** We've got the validation of the catch
14 data using the other -- It's just that I don't have a copy of --
15
16 **BARBARA KOJIS:** I've got it. Graciela, did you have any other
17 points?
18
19 **GRACIELA GARCIA-MOLINER:** No. I have otoliths everywhere. That
20 has been my song for the past I don't know how many years.
21 Maybe I will go do the training and learn another skill. Why
22 not?
23
24 **BARBARA KOJIS:** Does anybody else have any other
25 recommendations?
26
27 **BILL ARNOLD:** Buy low and sell high.
28
29 **TODD GEDAMKE:** The only other thing, the last thing, you could
30 just put expansion factors too, validation of catch data and
31 expansion factors.
32
33 **GRACIELA GARCIA-MOLINER:** Two bullets or one bullet?
34
35 **BARBARA KOJIS:** Make it one bullet, validation of catch data --
36
37 **TODD GEDAMKE:** Including expansion factors.
38
39 **BARBARA KOJIS:** Including Puerto Rican expansion factors.
40
41 **JULIE NEER:** That's the only ones we have.
42
43 **TODD GEDAMKE:** I wouldn't put Puerto Rico in there, just because
44 we know it's necessary in Puerto Rico, because we have it and
45 we've got problems with it. Just the fact that we have punted
46 on the VI, it doesn't mean that they're not necessary.
47
48 **BILL ARNOLD:** So you would not put Puerto Rico in there?

1
2 **TODD GEDAMKE:** I would not.
3
4 **BARBARA KOJIS:** That's fine. Anything else? Graciela?
5
6 **GRACIELA GARCIA-MOLINER:** No.
7
8 **BARBARA KOJIS:** Richard, do you have anything else?
9
10 **RICHARD APPELDOORN:** No.
11
12 **BILL ARNOLD:** I don't know if this fits in here, but Todd and I
13 both talked a little bit, but it's -- When it comes to the
14 otoliths, it's not just a matter of analyzing them, but it's a
15 matter of properly collecting them and validating them.
16
17 **BARBARA KOJIS:** Yes.
18
19 **BILL ARNOLD:** I can just talk with Graciela about this
20 separately, but that's a discussion I want to have with her,
21 about these guys are going to be going out sampling and what's
22 their scheme and what's their plan and what kind of data are we
23 going to get out of this that's actually usable?
24
25 **GRACIELA GARCIA-MOLINER:** That's why my first attempt at doing
26 this was to actually use what we had from the report on the
27 queen snappers and the silk snapper, because we already have all
28 that length and weight information, et cetera. I was going to
29 see how that moved along before doing anything else.
30
31 **BILL ARNOLD:** But they're going out sampling starting now,
32 starting two months from now. They're out there sampling.
33
34 **BARBARA KOJIS:** Who?
35
36 **BILL ARNOLD:** Amy and her fishermen, the ones that we got the
37 EFP for.
38
39 **GRACIELA GARCIA-MOLINER:** Right and they have been sampling.
40
41 **BILL ARNOLD:** Yes, but what, where, how, and why?
42
43 **GRACIELA GARCIA-MOLINER:** I don't think that they have started
44 sampling yet, but I will find out.
45
46 **BILL ARNOLD:** Regardless --
47
48 **BARBARA KOJIS:** Who is Amy?

1
2 **GRACIELA GARCIA-MOLINER:** Remember the woman that gave the
3 presentation on the reproductive biology of so many species and
4 she talked about the information that they collect and --
5
6 **BARBARA KOJIS:** I don't remember that. Was it a council meeting
7 that I missed?
8
9 **GRACIELA GARCIA-MOLINER:** No, it was an SSC meeting, but it was
10 a number of years ago, but she's the one that does the histology
11 and keeps a lab.
12
13 **BILL ARNOLD:** This is who we trained to do otolith analyses.
14 They are building an otolith lab at the Fisheries Lab in western
15 Puerto Rico. They requested an EFP from us and we gave it to
16 them and my understanding is that's so that they can catch fish
17 to do otolith analyses. What we don't know is what their
18 sampling framework is for that and so I'm a little concerned
19 that --
20
21 **GRACIELA GARCIA-MOLINER:** The fishing permit was for the Nassau
22 grouper, wasn't it?
23
24 **BILL ARNOLD:** No, they were catching all kinds of fish and I'm a
25 little concerned that they're catching all kinds of fish.
26
27 **JULIE NEER:** They're doing their own sampling and they're not
28 just sampling the catch?
29
30 **BILL ARNOLD:** That's what I'm talking about, is this is all a
31 mystery. Exactly how they're going about this is a mystery.
32 Are they saying we're going to go out and we're going to get --
33
34 **BARBARA KOJIS:** What does it mean for an EFP, first of all?
35
36 **BILL ARNOLD:** It's an exempted fishing permit. It just allows
37 them to fish wherever for whatever, but whether they're going to
38 get thirty samples of a particular species once a month to
39 create the annual validation scheme for these things or
40 incremental -- What they're going to do is a mystery to me.
41
42 I would hate for them to go out there and do all this and them
43 not be able to validate and so we don't know if they're annual
44 increments or what. There needs to be some sort of rigorous
45 experimental design.
46
47 **BARBARA KOJIS:** We should come up with a recommendation that an
48 experimental design be developed?

1
2 **BILL ARNOLD:** I think that that might carry more weight than
3 just Graciela telling them you need to come up with an
4 experimental design. Nothing against Graciela, but --
5
6 **BARBARA KOJIS:** The Southeast Fisheries Science Center could
7 come up with an experimental design for collecting and analyzing
8 otoliths, right?
9
10 **BILL ARNOLD:** Whatever you guys think, but we've got this
11 otolith component in here and it might need to be --
12
13 **TODD GEDAMKE:** So let's just put it right there. Without a
14 basic life history, the assessment could not be informative for
15 scientific -- The SSC understands a new age growth laboratory or
16 new collection of otoliths is underway and this should be a -- A
17 sampling design strategy should be implemented in the
18 development of this process or something like that.
19
20 **BILL ARNOLD:** It should follow a carefully designed sampling
21 strategy or sampling design or strategy, whatever you want to
22 put.
23
24 **BARBARA KOJIS:** Carefully designed sampling strategy.
25
26 **JULIE NEER:** Strategy or protocol.
27
28 **BARBARA KOJIS:** The collection of otoliths is underway and a
29 carefully designed protocol should be developed or should be
30 followed. Maybe should be developed and followed or just
31 followed?
32
33 **JULIE NEER:** Implemented. Just do it. If you haven't developed
34 it, develop it. I think Todd's started that sentence with "The
35 SSC understands" -- Then you have told them that you recommend
36 that a carefully designed sampling protocol be implemented.
37
38 **BARBARA KOJIS:** And get rid of the "should" in the last part.
39
40 **GRACIELA GARCIA-MOLINER:** I did find one more note here, but I
41 think it might be in Todd's thing from this morning, but to
42 associate the TIP and the catch data.
43
44 **TODD GEDAMKE:** No, that's old. We've already captured that from
45 yesterday's report.
46
47 **JULIE NEER:** Graciela, because the council is meeting next week,
48 are they not meeting in August?

1
2 **GRACIELA GARCIA-MOLINER:** They are meeting in August, because
3 they have to do the selection of officers.
4
5 **RICHARD APPELDOORN:** We're supposed to do a presentation, too.
6
7 **BARBARA KOJIS:** Anything else then? Any further
8 recommendations? If not, is there anything else that we need to
9 do? I think if you go down on that, Graciela, there's something
10 that you have on there.
11
12 **GRACIELA GARCIA-MOLINER:** You've asked that question.
13
14 **RICHARD APPELDOORN:** We've covered that.
15
16 **JULIE NEER:** You did not explicitly say that you are
17 recommending or not recommending changing the existing ABCs for
18 the SEDAR-30 species.
19
20 You should probably make a clear recommendation whether you
21 think you should with what you have or if you should change it
22 or else they're going to come back and ask you, so here's the
23 assessment and are you changing your ABC, like they did for
24 SEDAR-26. This is a very similar report to what you gave for
25 SEDAR-26 and then the council said, so what do we do with this?
26 You may want to say you're sticking or you're changing or
27 whatever you wish to do. I would state that.
28
29 **TODD GEDAMKE:** This is the end of the paragraph. At this time,
30 the SSC does not recommend changing current --
31
32 **RICHARD APPELDOORN:** Let's say the SSC says there's no basis for
33 changing.
34
35 **GRACIELA GARCIA-MOLINER:** The ACLs are based on triggerfish and
36 surgeonfish.
37
38 **JULIE NEER:** So then you're not recommending any modifications,
39 if that's what you're recommending.
40
41 **BILL ARNOLD:** Way up in the previous recommendations, it says no
42 scientific basis for modifying ABC.
43
44 **JULIE NEER:** Perfect. As long as it's in there somewhere.
45
46 **BILL ARNOLD:** There's another group of recommendations further
47 up.
48

1 **JULIE NEER:** That is from yesterday, Bill. That was for queen
2 and silk. You need to say something for queen trigger and blue
3 tang.
4
5 **BILL ARNOLD:** That's not what I have. I have it for today.
6 It's in my notes, but these were recommendations that were being
7 made.
8
9 **RICHARD APPELDOORN:** You're not talking about something actually
10 written by Graciela?
11
12 **GRACIELA GARCIA-MOLINER:** It's from his notes.
13
14 **BARBARA KOJIS:** We need to scroll down.
15
16 **JULIE NEER:** Somewhere, before recommendations, it should
17 probably state, after you've said what your thoughts were about
18 the status, whether you want to change your ABCs for either of
19 these species.
20
21 **RICHARD APPELDOORN:** I would say given the above, the SSC finds
22 no basis for changing the ABCs for queen trigger and blue tang.
23
24 **BARBARA KOJIS:** With queen trigger and blue tang, we're not
25 running into overages, are we, at all?
26
27 **GRACIELA GARCIA-MOLINER:** It's going to be the Snapper Unit 2.
28 We didn't even deal with the groupers.
29
30 **BARBARA KOJIS:** Do we have any information on the groupers? No.
31 The groupers are only two weeks. It's only a two-week closure.
32
33 **GRACIELA GARCIA-MOLINER:** But it's right at Christmastime.
34
35 **BARBARA KOJIS:** Were you expecting anything to happen,
36 especially in St. Thomas, with the groupers, so many regulations
37 and so many monitoring and so many -- It took me by surprise.
38
39 **JORGE GARCIA-SAIS:** Are you talking about red hind?
40
41 **GRACIELA GARCIA-MOLINER:** Groupers in general. They don't have
42 species-specific information and so it's just groupers. It
43 includes all of the larger ones like the yellowfin and the red
44 grouper that they do harvest over there.
45
46 **BARBARA KOJIS:** The other aspect of it is because red hind was
47 on the list now and sometimes when -- Probably coney is on the
48 list as butterflyfish and stuff like that and sometimes butterflyfish

1 went both in the snapper unit before, because people didn't know
2 that butterflyfish were not -- I think they couldn't really tell
3 the groupers from snappers and so some of the smaller guys in
4 particular were not very good at identifying things into those
5 broad categories that were meaningless for them.

6
7 That was clear. I mean I remember David Olsen saying the
8 fishermen can identify the fish and sure they can, but then they
9 identify them as snapper and grouper and so on and they know
10 they're butterflyfish or they know they're ole wife or they know
11 all of these things, but these broader categories may be
12 meaningless to them.

13
14 I think he concluded later on, because he compared what
15 fishermen -- They actually did the catches with the fishermen
16 and looked at the catches of the fishermen for one of the
17 projects and then compared what they had recorded with what the
18 fishermen had recorded.

19
20 There were some substantial differences, especially in the
21 grouper and snapper, but in other species as well. The
22 fishermen were not accurately reporting what they were catching
23 in terms of pounds, but nobody has ever sat down to really help
24 the fishermen -- When you've got 300 or 400 pounds of fish that
25 you're coming back with with traps, how do you separate out all
26 of these things and come up with some sort of reasonable, quick
27 way of coming up with how many pounds of fish you've caught in
28 this area. They'll come in and people buy them. Sometimes they
29 will buy them right on the beach, buy the fish.

30
31 **GRACIELA GARCIA-MOLINER:** Very soon, we will have a catalog of
32 parrotfish for the fishermen.

33
34 **BARBARA KOJIS:** Very good.

35
36 **GRACIELA GARCIA-MOLINER:** That's coming online very soon.

37
38 **BARBARA KOJIS:** Parrotfish are difficult, because they've got
39 the initial phase and the terminal phase.

40
41 **GRACIELA GARCIA-MOLINER:** Then we can do the groupers and the
42 snappers and if these are successful, then we will move on to
43 all the others.

44
45 **BARBARA KOJIS:** It's not only identifying, but it's also how do
46 you actually go out and can you have coolers and you know how
47 many pounds a cooler is and you try to keep all your groupers in
48 this one and your snappers in this one and --

1
2 **GRACIELA GARCIA-MOLINER:** We will see if that's successful.
3
4 **BILL ARNOLD:** Just going back to this Snapper Unit 2 thing, so
5 this morning, we first did a summary of yesterday's stuff before
6 we started in on SEDAR-30. During that discussion, we had a
7 series of recommendations that I wrote down and I don't know how
8 formalized they were, but one of those was what I had said
9 before, no scientific basis for modifying ABC. That's going to
10 be very important for this council meeting and I'm just asking
11 you guys if you want to make that --
12
13 **TODD GEDAMKE:** It's in yesterday's report.
14
15 **BILL ARNOLD:** Is it? So it's clearly stated?
16
17 **JULIE NEER:** That's what you're reading. That's probably the
18 recommendation from this morning.
19
20 **BILL ARNOLD:** I understand we made the recommendation. I just
21 want to make sure it's as clearly stated as our blue tang and
22 queen triggerfish recommendation.
23
24 **BARBARA KOJIS:** It says here, at the very end of this report
25 that Todd sent to me for the queen snapper, it says the SSC
26 concluded that at this time there was no scientific basis for
27 modifying the ABC.
28
29 **BILL ARNOLD:** Okay. That's what I have here and I just wanted
30 to make sure you guys feel it's clear enough.
31
32 **BARBARA KOJIS:** The SSC is concerned about the reliability of
33 expanded catch and uncertainty in life history estimates and
34 then the SSC concluded -- It's clear as a bell and it's the last
35 thing there and that's the summary statement, part of the
36 summary statement. I will read the whole summary statement too,
37 Bill, so that you're confident.
38
39 Both the SEDAR-26 results and the information presented from the
40 new methodology suggests that overfishing is not occurring,
41 although the assessment is too uncertain to be confident and
42 there isn't much room for further development of the fishery.
43
44 It was pointed out that the analysis shows some probability that
45 overfishing is occurring. The SSC is concerned about the
46 reliability of expanded catch data and uncertainty in life
47 history estimates. The SSC concluded that at this time there
48 was no scientific basis for modifying the ABC.

1
2 **GRACIELA GARCIA-MOLINER:** I do have a couple of answers for you.
3 They do have ninety-nine otoliths for the silk snapper, 380 for
4 the cardinal snapper, 328 for the queen snapper, and they are
5 collecting vermilion snapper as we speak.
6

7 I haven't seen the protocol that they use for the collection of
8 the data, but this is basically the same report that they do
9 every year for every species and we were trying to also get them
10 to do fecundity, but I don't think they do and Daniel Matos said
11 that they did not get good results because of the lack of people
12 to collect the information on the expansion factors and so he
13 used 2009 for both 2010 and 2011.
14

15 **BILL ARNOLD:** That's comforting.
16

17 **GRACIELA GARCIA-MOLINER:** That's what you get.
18

19 **JORGE GARCIA-SAIS:** That can cause errors of -- That landings
20 data, with that expansion factor, is -- It's whatever.
21

22 **GRACIELA GARCIA-MOLINER:** He didn't have the people to go around
23 to do anything and so -- I don't know if you can read that, but
24 that's observed pounds landed, the reported by fishers, and the
25 correction factor. It's quite significant.
26

27 **JORGE GARCIA-SAIS:** Look at this, Bill. To use the word that
28 you used, the bogus data, and on top of the bogus data, you put
29 the expansion factor, which is -- What kind of information are
30 we dealing with here? An expansion factor over a bogus data.
31 That's really scientific.
32

33 **BILL ARNOLD:** There it is.
34

35 **JULIE NEER:** If we're on to Other Business, I have one thing to
36 bring up, when you're done.
37

38 **BARBARA KOJIS:** If there's nothing else with respect to this,
39 then go ahead.
40

41 **OTHER BUSINESS**

42
43 **JULIE NEER:** I was just going to say that we are gearing up to
44 start working on SEDAR-35, red hind. The data workshop is
45 October 9 through 11 and the assessment is going to be conducted
46 via webinars between January and April of 2014 and the review
47 workshop is going to be May 13 through 15.
48

1 If any of the SSC members have interest in participating at any
2 of those stages of the red hind assessment, you should let
3 Graciela know.

4
5 **GRACIELA GARCIA-MOLINER:** For the review, they cannot
6 participate at that time.

7
8 **JULIE NEER:** If you are a reviewer, you cannot have been in data
9 or assessment, but you can serve as the review panel chair if
10 you've been on the other panels, because the chair is not a
11 reviewer. We're working on red hind and if red hind is a
12 species near and dear to your heart, let Graciela know that you
13 would like to be involved.

14
15 **GRACIELA GARCIA-MOLINER:** I will be there.

16
17 **JULIE NEER:** I will be there and Meaghan will be there. It will
18 be fund.

19
20 **RICHARD APPELDOORN:** Do you know the timeframe?

21
22 **JULIE NEER:** Data is October 9 through 11 in St. Thomas. The
23 assessment webinars are -- The dates aren't set, but it's
24 January through April. The review workshop is May 13 through
25 15, 2014 in Miami. So it's St. Thomas for data and Miami for
26 review and assessment webinars.

27
28 **GRACIELA GARCIA-MOLINER:** All positions are open.

29
30 **JULIE NEER:** If anyone is interested, let Graciela know. I have
31 sent the memo to the council requesting appointments. That was
32 all I had, just to let you all know it's coming up if you're
33 interested.

34
35 **BARBARA KOJIS:** Is there any other topic that anybody needs to
36 bring up? If not, I am going to adjourn the meeting.

37
38 **RICHARD APPELDOORN:** I don't want to bring it up, but we were
39 sent a bunch of stuff on queen conch and is that just
40 notification to us, the change of the daily catch limit in St.
41 Croix?

42
43 **GRACIELA GARCIA-MOLINER:** That's just information, yes. That's
44 been dealt with.

45
46 **RICHARD APPELDOORN:** And the grouper letter from the St. Thomas
47 Fishermen's Association? That's called the grouper letter in --
48

1 **GRACIELA GARCIA-MOLINER:** With what?
2
3 **RICHARD APPELDOORN:** Notification of definition of overfishing,
4 optimum yield requirement, best available data.
5
6 **GRACIELA GARCIA-MOLINER:** I didn't see that.
7
8 **RICHARD APPELDOORN:** It's largely about red hind.
9
10 **GRACIELA GARCIA-MOLINER:** It was probably in response to the
11 grouper closing in December.
12
13 **RICHARD APPELDOORN:** Yes, I'm sure it is.
14
15 **GRACIELA GARCIA-MOLINER:** I haven't seen that one. Sorry, but
16 if you want to -- We didn't -- What's the date on the email or
17 on the letter?
18
19 **RICHARD APPELDOORN:** The letter is January 23.
20
21 **GRACIELA GARCIA-MOLINER:** January 23?
22
23 **RICHARD APPELDOORN:** Yes and when it was sent to us, it would
24 have been --
25
26 **GRACIELA GARCIA-MOLINER:** That was in response to the December
27 2012 presentation by the Southeast Fisheries Science Center at
28 the council.
29
30 **RICHARD APPELDOORN:** So was this sent to us for our notification
31 and enlightenment or are we supposed to be doing something with
32 it?
33
34 **GRACIELA GARCIA-MOLINER:** I don't have it in my list of items
35 for you, but if you see anything --
36
37 **BARBARA KOJIS:** I don't believe it's on the agenda and I don't
38 know that we can discuss it here, because it hasn't been put on
39 the agenda.
40
41 **RICHARD APPELDOORN:** Stuff is being sent to us and that was one
42 of the things that was sent to us and if it's not on the --
43
44 **BARBARA KOJIS:** I think this was only for SSC information and
45 there was not -- The council hasn't requested that we react on
46 this.
47
48 **GRACIELA GARCIA-MOLINER:** But it's in our list because of the

1 red hind and stuff like that and we're trying to figure out what
2 to do about the ACLs.

3

4 **BARBARA KOJIS:** If there's nothing else, I am going to adjourn
5 the meeting and so thank you very much. I thank everybody for
6 coming and attending and all the input everybody -- Meaghan in
7 particular. Wonderful job and it's been great having Julie here
8 as well, because she was able to keep us on the straight and
9 narrow and get the questions answered that she needs and that
10 the council needs and so thank you. Graciela, thank you so much
11 for typing up this information so quickly and Todd, of course,
12 for doing the queen snapper report and everybody else for all
13 their contributions. Thanks a lot. The meeting is adjourned.

14

15 (Whereupon, the meeting adjourned on June 20, 2013.)

16

17

- - -

18